

BEFORE THE  
CALIFORNIA ENERGY COMMISSION

In the matter of, )  
 ) Docket No. 11-IEP-1N  
 )  
Preparation of the 2011 Integrated )  
Energy Policy Report )

**IEPR Committee Workshop  
Smart Grid Research Road Mapping Projects**

CALIFORNIA ENERGY COMMISSION  
HEARING ROOM A  
1516 NINTH STREET  
SACRAMENTO, CALIFORNIA

FRIDAY, DECEMBER 17, 2010  
10:00 A.M.

Reported by:  
Kent Odell

COMMISSIONERS

Karen Douglas, Chair  
Robert Weisenmiller

STAFF

Suzanne Korosec  
Mike Gravely

ALSO PRESENT

Presenters

Heather Sanders  
Angela Chuang  
Kevin Passo  
Mike Montoya  
Lee Krevat  
David J. Tralli  
Steve Rupp  
Chris Villareal  
Merwin Brown  
Bob Russ

Public

Walt Johnson  
J.D. Stack  
Laura Manz

## INDEX

	Page
Introduction	
Suzanne Korosec, IEPR Lead	5
Opening Comments	
Chairman Karen Douglas	10
Commissioner Robert Weisenmiller	10
CAISO Smart Grid Road Map & Architecture	
Heather Sanders, CAISO	11
Smart Grid Contract Overview and History	
Mike Gravely, CEC	20
Defining the Pathway to the California Smart Grid of 2020 for Investor Owned Utilities	
Angela Chuang, EPRI, Project Manager	31
Kevin Dasso, Pacific, Gas & Electric Company	42
Mike Montoya, Southern California Edison	58
Lee Krevat, San Diego Gas & Electric	66
Defining the Pathway to the California Smart Grid for 2020 for Vendors and Manufacturing	
David M. Tralli, NASA Jet Propulsion Lab	80
Defining the Pathway to the California Smart Grid of 2020 for Publicly-Owned Utilities	
Steve Rupp, RW Beck	104
Questions and Answers Period	113

## INDEX (Continued)

	Page
Implementation of Senate Bill 17 - Chris Villareal, PUC	117
Public Comment Period	129
Action Items and Next Steps Mike Gravely, PUC	137
Adjournment	139
Certificate of Reporter	140

## P R O C E E D I N G S

1  
2 DECEMBER 17, 2010

10:08 A.M.

3 MS. KOROSSEC: All right, we're going to go ahead and  
4 get started here. Good morning, I'm Suzanne Korosec. I  
5 manage the Energy Commission's Integrated Energy Policy  
6 Report Unit. And welcome to today's Workshop on Smart Grid.  
7 This workshop is being conducted jointly by the Energy  
8 Commission's Integrated Energy Policy Report Committee and  
9 the PUC. Unfortunately, Commissioner Ryan from the PUC had  
10 a last minute conflict and is unable to join us, but we will  
11 be certain that her office receives a summary of the  
12 workshop, along with the transcript of today's discussions.

13 This is the second in a series of workshops looking  
14 at the technologies that are available to further  
15 California's Energy Policy Goals and to reduce the impacts  
16 on the California Grid of meeting those goals. On November  
17 16<sup>th</sup>, we looked at energy storage and automated demand  
18 response, and today we're looking at technologies that will  
19 make the future smart grid work. These workshops are  
20 informed by the Public Interest Energy Research, or PIER  
21 Program, which assists the IEPR process by providing the  
22 latest information on what technologies will influence  
23 future policy. Today's workshop will help us understand how  
24 the different key players, the investor-owned utilities, the

1 publicly-owned utilities, and the industry see the Smart  
2 Grid of the future and what technologies will have the most  
3 promise in helping California succeed.

4           Before we get started, I want to cover some  
5 housekeeping items, give some brief context for how the  
6 topic of Smart Grid has been covered in past IEPRs, and  
7 provide a quick overview of today's agenda. For those of  
8 you who may not have been here before, the restrooms are out  
9 in the atrium through the double doors and to your left. We  
10 do have a snack room on the second floor at the top of the  
11 atrium stairs under the white awning, and if there's an  
12 emergency and we need to evacuate the building, please  
13 follow the staff out of the building into the park that is  
14 diagonal to the building, and wait there until we're told  
15 that it's safe to return. And remember to bring your  
16 umbrellas.

17           Today's workshop is being broadcast through our  
18 WebEx conferencing system and parties need to be aware that  
19 we are recording the workshop. We will make an audio  
20 recording available on our website within a couple of days,  
21 and we'll make the written transcript available on the  
22 website in about two weeks.

23           The Smart Grid and the IEPR - the 2009 IEPR  
24 discussed the crucial role of the Smart Grid in California's  
25 future electricity system, particularly as the state

1 implements energy policy goals for increased energy  
2 efficiency and demand response, increased renewable  
3 resources to generate electricity, and also increased use of  
4 electric vehicles to displace petroleum use.

5 Smart Grid Technologies will also increase the  
6 reliability of the electric grid by allowing grid operators  
7 to better monitor grid performance and address problems more  
8 quickly, which reduces the number of failures and faults,  
9 and increases the efficiency and cost-effectiveness of the  
10 Grid. Smart Grid will also provide new methods and  
11 technologies to implement energy efficiency and demand  
12 response through increased two-way communication, smarter  
13 consumers, and products and tools that allow consumers to  
14 make smarter energy decisions.

15 Smart Grid will also help integrate renewable  
16 resources into the Grid through management of energy  
17 storage, distributed generation, automated demand response,  
18 and distribution level renewables, allowing the Grid to  
19 accept much higher levels of renewable resources while  
20 maintaining reliability. Smart Grid is also going to allow  
21 the integration of high numbers of electric vehicles and  
22 plug-in hybrids, without causing major disruptions on the  
23 Grid, and could even allow those vehicles to be used as Grid  
24 assets that could provide ancillary services when parked.

25 In the 2010 IEPR Update, the draft of which was

1 released earlier this week, we discussed cost share funding  
2 from the PIER Program that was used to leverage millions of  
3 dollars in Federal Stimulus funds for Smart Grid research.  
4 PIER has awarded more than \$13 million to 17 Smart Grid  
5 projects, leveraging more than \$400 million in Federal  
6 Stimulus funds, along with more than \$800 million in private  
7 investments. This amount of funding for Smart Grid research  
8 represents a ten-fold increase over what's been done in the  
9 past. And this influx of additional funding is really going  
10 to accelerate the rate of industry growth and allow the PIER  
11 Program to make a quantum leap in achieving its research  
12 goals in support of our energy and environmental policy  
13 goals. This funding is also going to help California  
14 achieve the goals in the Governor-Elect's Energy Plan for  
15 adding 12,000 megawatts of distributed generation and 8,000  
16 megawatts of large scale renewables, as well as using energy  
17 storage to address peak power demand and to firm up  
18 intermittent renewable resources.

19 For the 2011 IEPR, the IEPR Committee released a  
20 scope earlier this year, noting the need to examine energy  
21 storage issues, renewable integration, and electricity  
22 infrastructure planning, and Smart Grid is clearly a key  
23 component of each of those areas. So, for today's agenda, I  
24 will hear first from Heather Sanders, from the California  
25 Independent System Operator, about the CAISO's Smart Grid



1 Objectives and Strategies; next, Mike Gravely from the  
2 Energy Commission's PIER Program will provide an overview  
3 and history of the Smart Grid Research Road Mapping projects  
4 that are being funded by PIER; that will be followed by  
5 presentations on the three projects by EPRI, JPL, and RW  
6 Beck. We will hear about the Smart Grid and the Investor-  
7 Owned Utilities this morning, we'll break for an hour for  
8 lunch, and then we'll resume in the afternoon to the  
9 presentations on the Road Mapping Projects for Vendors and  
10 Manufacturing, and then for the Publicly-Owned Utilities.  
11 And there will be an opportunity for Q&A after each  
12 presentation.

13           Later this afternoon, we'll hear from the PUC on the  
14 status of its implementation of Senate Bill 17, which  
15 requires the Investor-Owned Utilities to develop and file  
16 Smart Grid Deployment Plans with the PUC by July 1 of 2011.  
17 We'll then open it up to public comments, after which Mr.  
18 Gravely will talk a bit about Action Items and Next Steps.  
19 During the public comments section of the agenda, we'll take  
20 comments first from those of you here in the room, and then  
21 we'll turn to the people who are participating on WebEx.  
22 For those of you who are here in the room, it's helpful if  
23 you can speak at the center podium and use the microphone so  
24 we can capture your comments in the transcript, and it's  
25 also helpful if you can give our transcriber your business

1 cards so we make sure that your name and affiliation are  
2 correctly reflected. WebEx participants can use the chat  
3 function to let the WebEx Coordinator know that you have a  
4 question or comment, we'll open your line at the appropriate  
5 time, and we are also accepting written comments until close  
6 of business on January 7<sup>th</sup>. And the Notice for today's  
7 workshop, which is available on the table in the foyer, and  
8 also on our website, gives the procedure for submitting  
9 those comments to the IEPR Docket. And with that, I'll turn  
10 to the dais for any opening remarks.

11           CHAIRMAN DOUGLAS: Good morning. Welcome, everybody  
12 and thanks for being here so late into December, relatively  
13 late into December. I'm certainly looking forward to all of  
14 the presentations and I'm looking forward to hearing from  
15 everyone here.

16           COMMISSIONER WEISENMILLER: Good morning. I'm  
17 Commissioner Weisenmiller. We, again, appreciate everyone's  
18 participation today, and certainly we're looking for - this  
19 is an interesting topic for us in terms of looking at how  
20 the PIER research links to the California policy objectives.  
21 Obviously, Smart Grid is very important on a national level,  
22 California is the home of Silicon Valley, we hope will drive  
23 that process, and at the same time, given the state's policy  
24 goals, particularly the goals of the new Governor-Elect,  
25 we're very interested in seeing how the Smart Grid and the

1 California versions of that should really be fine-tuned to  
2 deal with demand response, distributed generation, and  
3 renewable integration issues. So, again, thanks for your  
4 participation, and let's move on.

5 MS. KOROSSEC: All right, we'll start with CAISO.

6 MS. SANDERS: Thank you. Good morning, Commissioner  
7 Weisenmiller, Chairman Douglas. My name is Heather Sanders  
8 and I am the Director of Smart Grid Technology and Strategy  
9 for the California ISO. I really appreciate the opportunity  
10 to share with you our recently published Smart Grid Road  
11 Map. There's been, as you all know, so much industry  
12 momentum around the Smart Grid, and with all of the  
13 aggressive energy policy goals, the ISO felt like it was  
14 time for us to really solidify our direction, at least at a  
15 high level, related to Smart Grid, and communicate this to  
16 our stakeholders and really start to engage. So, about  
17 early this year, we engaged with EPRI and Internex to  
18 support a road mapping effort for us. So, what we did is we  
19 started out with, you know, the California policy  
20 objectives, as well as the ISO objectives in mind. You  
21 know, you always hear from the ISO, first and foremost is  
22 the reliability. You know, energy policy goals will all  
23 fall by the wayside, you know, if the lights don't stay on.  
24 So, with all of the renewables, you know, a lot of this,  
25 Suzanne already mentioned, we're going to need better

1 visibility into what's going on at the System. We also need  
2 to ensure we utilize all the assets we have to improve the  
3 efficiency as best we can. Flexibility is also going to be  
4 very important for the ISO, as all of these variable  
5 generation resources come into the market.

6           You know, currently we balance the system with  
7 conventional generation, but enabling diverse resource  
8 participation by storage, by demand response, and  
9 conventional generation where needed, we'll have the  
10 flexibility to balance that variability in the most cost-  
11 effective way. And, of course, all of this has to be done  
12 in a very secure way.

13           So, the result of this work, this road mapping  
14 effort, our strategy really centers around five technology  
15 themes, Advanced Forecasting, Synchrophasors, Advanced  
16 Application, Cyber Security, and then a very long name,  
17 Enabling Demand Response Storage and Distributed Energy  
18 Resources. I'll talk about each of these a little bit. The  
19 goal today is to really provide you a high level view of  
20 what's in our road map document that is published. What  
21 we've included, and I've put these on the slide so you'll  
22 recognize them in the road map document, we include a vision  
23 for each of the technology areas, and then there's a  
24 description in there that describes from the ISO perspective  
25 why each of these technology areas are important. And then

1 a 10-year forward look on the road map. Now, we all  
2 recognize, and we did this based on the energy policy goals  
3 we have now and our understanding of the current technology  
4 and what's emerging and its current capabilities, but we  
5 fully expect this to evolve over time. You know, things are  
6 going to change, we're going to engage with stakeholders, do  
7 pilots, do research, and then adjust this through time. So,  
8 looking at advanced forecasting, I'm just going to point out  
9 a couple of highlights from each of those. You know, what  
10 the ISO needs to do is really evolve our renewable  
11 forecasting capability and also increase our visibility into  
12 the distribution system. So, wind blows, sun shines, we get  
13 generation, but we don't know when that's going to happen.  
14 And in order for the ISO to commit resources to meet the  
15 load at that time, which is now not just load that we  
16 understand, that we've understood for the last 100 years,  
17 it's load that is now affected by distributed PV that is now  
18 reducing the amount of load that the Grid sees, it is  
19 changed by the proliferation of the electric vehicles, and  
20 it's also changed by any price responsive demand. And the  
21 ISO has to be able to understand this to most effectively  
22 commit resources, so we have them available, but we also  
23 don't over-commit them, either.

24           So, from a forecasting perspective, you know,  
25 there's really three areas, and if you notice the different

1 colors, it really represents a loose grouping of activities  
2 within each of the technology themes, so wind forecasting,  
3 solar forecasting capabilities, as well as understanding how  
4 we're going to get that visibility into the proliferation of  
5 PV. I mean, there's very aggressive goals about distributed  
6 generation, as we know, so we're trying to look forward to  
7 understand how we model that in our systems.

8           Moving on to the synchrophasor theme again, you'll  
9 notice the vision and the 10-year look ahead on here. You  
10 know, synchrophasors provide measurements very frequently,  
11 more frequently than we have today. Synchrophasors have  
12 been around for a long time. You know, it's only now with  
13 the advancement in communications and the data processing  
14 speeds that we're able to use this data more effectively.  
15 What this can provide us is a real time view of what's  
16 happening on the grid right now. This data can also be used  
17 to trigger automated alerts to operators and, eventually,  
18 automated controls that can resolve problems before they  
19 result in widespread Grid instability.

20           So, once we have synchrophasor measurement devices  
21 out there, we have forecasting equipment out there, we can  
22 start to use this data in advanced Grid applications. This  
23 will help us see it better, use it better, and make sure  
24 it's reliable overall. There's a lot of possibilities in  
25 advanced Grid applications, and a couple things, you know,

1 there are technologies now, there is still a lot of work  
2 that needs to be done, but there are technologies now that  
3 we can understand the conditions that are going on where the  
4 transmission lines are, you know, what is the ambient  
5 temperature, what is the wind speed, what is the tension on  
6 the line. And if we can reliably get this data back in, we  
7 can dynamically rate the transmission lines, therefore,  
8 getting the most out of them at any particular time. We  
9 still have work to do on this, we need to do more research,  
10 we need to make sure it's reliable to ensure we meet all the  
11 reliability criteria, as well.

12 Another advanced application that is important for  
13 the ISO is to improve our what we call "regulation  
14 algorithm" or AGC, Automated Generation Control algorithms.  
15 Right now, those control algorithms help us manage frequency  
16 on a second-to-second basis. They are reactive, in nature.  
17 So, we take a state of the system, we dispatch the  
18 generators to follow that. The system is going to become  
19 more and more dynamic, including all of the renewables on  
20 there, the storage, we need to make sure that those dynamic  
21 models are built into this AGC algorithm and that it also  
22 looks ahead, that this can become a more predictive  
23 algorithm and it will closer bring the market, which is a  
24 forward looking commitment with the AGC algorithms, which  
25 right now are very reactive, so this is a very important

1 part of our research activity, actually, this coming year.

2           So, of course, the more applications you have, the  
3 more equipment out there, the more places where we have  
4 vulnerabilities. Cyber security has to be built in from the  
5 beginning. There is a lot of activity on cyber security,  
6 the National Institute of Standards and Technology, as well  
7 as the PUC proceeding right now is taking hard looks at  
8 security, and I know all of us are, as well. So, this is  
9 pretty straightforward, it is something that we all  
10 recognize needs to be there.

11           Finally, you know, this is the area that really  
12 comes to a lot of the energy policy goals we have right now.  
13 A standard flexible infrastructure that can really push  
14 forward, you know, the demand response and storage and  
15 distributed energy resource objectives. There's a lot going  
16 on in this area, you know, I mentioned this before, but  
17 really from a technical and a reliability perspective, the  
18 ISO has to understand how this is going to work. With what  
19 demand response could provide us, we need to work with the  
20 utilities, work with the demand response aggregators, to  
21 understand what could happen. You know, if we have everyone  
22 respond at once, that causes a frequency problem. We need  
23 to manage this, we need to understand how this could work,  
24 and how it could work together. You know, one observation  
25 is the California Clean Energy Future, you know, strongly



1 mentions Smart Grid technologies and how they will support  
2 the demand response objectives through dynamic pricing, and  
3 also the integration of renewable resources. So, we need to  
4 make sure that we understand how these things could happen,  
5 how they will work, so there aren't any unintended  
6 consequences. So, this is a really big area of focus for  
7 us.

8           So, this red map really represents our initial  
9 thinking and it's at a high level, and really what we want  
10 to do is we want to engage with all of you, we want to  
11 engage with our stakeholders, we want to understand your  
12 objectives, we want to integrate this and work all together  
13 to advance these goals. So, again, thank you very much for  
14 your time, and I look forward to future conversations.

15           COMMISSIONER WEISENMILLER: Hi. I have a few  
16 questions. The first one is, and actually they are  
17 combinations of process, technology, and all that. But  
18 starting out with the process one, I guess, or it's probably  
19 more of an observation, is that one of the things we need to  
20 do this year in the California Clean Energy Vision is to tee  
21 up a process for our three, or for all four of the agencies  
22 to actually spell out the Smart Grid component, and so I  
23 think it's certainly trying to put our staff and certainly  
24 the ISO and the PUC on notice that we need to start building  
25 out that overall vision there and assigning the roles and

1 responsibilities there. And obviously, to the extent this  
2 IEPR can provide a forum for some of that laying of the  
3 groundwork, that is at least part of my objective. I don't  
4 know if you've given much thought to how the three agencies  
5 in terms of their areas of responsibility and work here, how  
6 best can we move forward. I know there is the PUC OIR, we  
7 are seeing the framework, but also in terms of trying to  
8 make sure that what we need to do here, presuming we're PIER  
9 oriented, and what the CAISO has to do, all gets in place  
10 this year.

11 MS. SANDERS: Yeah, that makes a lot of sense. I  
12 think the forum, the California Clean Energy Future and the  
13 work done there, I think that's a really great place to  
14 start and, you know, as that gets built out, it will make  
15 sense to define how it fits into the IEPR.

16 COMMISSIONER WEISENMILLER: Now, the next question  
17 is that, as we - obviously, a lot of our PIER research is  
18 really focused on transmission. You talked about the  
19 synchrophasor part. Now, how far can we go from the  
20 synchrophasor, that system, into reading into the  
21 distribution system, to move out of transmission into  
22 distribution?

23 MS. SANDERS: So, how can we use the synchrophasor  
24 technology to get visibility into the distribution system?

25 COMMISSIONER WEISENMILLER: That is correct. Or do

1 we need to do adaptations or new technology to get that same  
2 sort of MRI-like tracking, not just on a transmission  
3 system, but on the distribution system, particularly as we  
4 put more and more distributed generation on the circuits.

5 MS. SANDERS: Yeah, I think that's a very  
6 interesting concept and, in fact, Michael Montoya from SEC  
7 is doing some of that in the demonstration project, the  
8 Smart Grid Demonstration Projects they have, and so we're  
9 very interested in how that can give us that visibility.

10 COMMISSIONER WEISENMILLER: Does the ISO have a  
11 sense of what circuits in California have very high levels  
12 of DG, so that we can start trying to hone in on tracking  
13 what's going on in those circuits?

14 MS. SANDERS: I don't know that we've done a study  
15 of that yet. I mean, we are not at the penetration levels  
16 now on the distribution circuits to have it, you know, show  
17 up. But it is something we need to take notice of, it's  
18 something that's in our minds, and it is important, and  
19 we'll be working with the IOUs to get something that makes  
20 sense for both sides, to get visibility.

21 COMMISSIONER WEISENMILLER: Yeah, I was told by Jim  
22 Avery that they have some circuits already that are getting  
23 to high levels, and they're seeing voltage swing, so if we  
24 can try to start identifying among the IOUs or POUs anywhere  
25 high distribution circuits - high penetration distribution

1 circuits, we can start trying to monitor those and see what  
2 types of issues come up.

3 MS. SANDERS: That makes sense.

4 COMMISSIONER WEISENMILLER: Okay, thanks.

5 MS. SANDERS: Thank you.

6 MR. GRAVELY: Good morning, Commissioners. Good  
7 morning, everybody here. I'm Mike Gravelly from the Public  
8 Interest Energy Research Program. What I'd like to do today  
9 is just give a little bit of a lead-in to the rest of the  
10 day's session, and talk about the specific research that  
11 we're doing today and you're hearing about, and give you a  
12 little bit of insight of the schedule because each contract  
13 is on a different schedule, so you'll hear different levels  
14 of detail based on how much they've completed. For those,  
15 just a quick review, that the primary purpose today is a  
16 technology review, so this is kind of a technology process.  
17 We are going to be talking policy and questions. We  
18 envision another workshop in the spring that we'll be  
19 talking more specifically about what we've learned and how  
20 we can take this into some policy questions and research  
21 questions and GAP questions, but part of the discussion  
22 today - most of the discussion today - is going to be on how  
23 the technology looks, what technology challenges there are,  
24 what successes are coming, what areas are missing, and how  
25 that view may be different from the perspective of the large

1 utility, smaller utilities, and the vendors and the  
2 providers of those services. But, throughout the day, we'll  
3 talk about other PIER research in Smart Grid areas, and  
4 we're certainly willing to have some questions, if they're  
5 asked, throughout the day to answer some of those questions,  
6 and ultimately this is an opportunity for us to discuss a  
7 view looking ahead, and also to highlight as we've already  
8 begun to discuss things that we should look into, like, for  
9 example, the synchrophasors at distribution level vs.  
10 transmission level, that's a good topic for us to begin to  
11 look and see what is being done, and what should be done, as  
12 we do more and more distributed resources.

13           For those online and those here that aren't familiar  
14 with the PIER program, we have been around since 1996,  
15 started in 1997, we look at electricity, natural gas, and  
16 the transportation sectors, about 80 million, used on the  
17 average by 85-86 million a year. In research, there are  
18 quite a few active projects. We focus a lot on clean  
19 energy, we focus a lot on research to address the policies  
20 in California, and move us forward, so we see Smart Grid as  
21 one of the key enabling technologies, I don't think Smart  
22 Grid is the end of the road, Smart Grid in our mind is the  
23 technology that makes everything else work and brings it  
24 altogether.

25           Why Smart Grid is important to us, it's just a quick

1 summary that we use a lot in the presentations I give, it's  
2 certainly in the recent election in California, we  
3 reevaluated how important the environment is to California.  
4 Smart Grid is an enabler to allow the green grid and green  
5 technologies to operate more efficient, more effective, and  
6 better use of existing resources, as well as providing new  
7 low cost technologies that may provide more for less. We  
8 have, for example, one of the research areas that we do in  
9 the PIER Program is we look at long term research in certain  
10 areas, and the goal is to have something that is 10 times  
11 the cost, 10 times better performance, that goes out there  
12 and meets the needs so we have the opportunity to reduce  
13 costs and increase performance with technology.

14           Grid operations, being able to operate with  
15 distributed resources, as well as essential resources, and  
16 have better reliability than we have today. For example,  
17 one of the things people measure in reliability is not only  
18 how often you're out or down, but how long you're down and  
19 how fast you can recover, so the ultimate goal is to have  
20 less outages, when you have an outage, to recover faster,  
21 and also to be able to detect it sooner.

22           The big picture here today, of course, is this is  
23 all about the customers of California, and the ratepayers  
24 that are out there, making the system better for them,  
25 overall lowering the cost as we go into the future, giving

1 more choices to the customers, and also providing better  
2 products. We use an analogy here a lot in the cell phone  
3 arena, you know, if you look at a Smart Phone today and you  
4 say, "Is that a phone, or is it a lot more?" And most  
5 people will say a Smart Phone is a lot more than just a  
6 telephone, and so the Smart Grid, it is a lot more than just  
7 electrons flowing around the Grid.

8           As we mentioned earlier, we are in a real  
9 interesting time in the research community. The PIER  
10 Program, as a result of the ARRA awards nationally, there is  
11 some \$8 to 10 billion, if you figure the government money  
12 plus the match money, over \$1.3 billion of that is coming to  
13 California, a lot of technology demonstrations, lots of  
14 information to learn. So, one of the challenges we have is  
15 to, as you'll hear from the utilities, is to learn from this  
16 and to move forward. So, some of the concepts today are  
17 looking at what we will learn from these different projects  
18 and how that will affect the Grid in the future.

19           This research that we have today actually came out  
20 of a project that we did, the report is available in a paper  
21 copy for those that are here, it is available online, the  
22 link to it is in the announcement for this workshop. So, we  
23 actually asked EPRI to look at us and say, "What are all  
24 things Smart Grid?" And this report explains all the  
25 elements of Smart Grid, it explains what some of the

1 challenges are and what the future view was, and as a result  
2 of that, we evolved the work we see today, and that was we  
3 really need to sit down and develop kind of a vision of how  
4 it all integrates, and we started off thinking about that we  
5 want a utility view and we want an industry view because how  
6 a utility processes things and the schedule they do, and  
7 their way of doing it is one perspective; how commercial  
8 industry and for-profit business operate and think is  
9 different also. So, we wanted to hear two different  
10 perspectives, and then merge the two to come up with kind of  
11 a consolidated or combined perspective for California. And  
12 as we got into it, we realized that the public utilities  
13 have some unique perspectives, different from large  
14 Investor-owned utilities, and so we added to that  
15 perspective the third contract, which you'll hear about  
16 today, which is going to look at the view of Smart Grid from  
17 the public utility perspective. And also, those of you who  
18 are familiar with SB 17, the Investor owned utilities have a  
19 deadline of 1 July 2011 to come up with their deployment  
20 plan, the public utilities have 1 July of 2012, so they are  
21 also part of SB 17, and they also will be developing  
22 deployment plans and road maps for each of their own  
23 utilities.

24           One of the important things about the presentations  
25 today and the work we've done is we didn't ask a national



1 question, we wanted to look at California. California is  
2 perceived by most, both nationally and internationally, as  
3 the Smart Grid state. We have a lot of very aggressive and  
4 very environmentally sensitive and customer oriented  
5 policies. The Greenhouse Gas Reduction, AB 32, the RPS  
6 Goal, the Efficiency Goals, the Distributed Generation  
7 Goals, Transportation Goals, and so we wanted our Smart Grid  
8 to support California's future view, and that would be  
9 different than other states. And when I've given this  
10 presentation all around, I always point out the fact that we  
11 have to look at where we're going. We have made decisions  
12 to install smart meters and we're installing smart meters.  
13 We have made a decision that we need more renewables and  
14 we're installing renewables, so it's important for this  
15 Smart Grid discussion you hear today, to hear how California  
16 will proceed, and other states and other agencies that look  
17 at it, it could be different for them because they may not  
18 have the same combination, but they're looking to us to lay  
19 the groundwork. And I think we've found in my travels and  
20 discussions and research that a lot of people are looking to  
21 California to help resolve some of these questions so they  
22 can follow in the footsteps of what we're doing.

23           Two quick challenges you'll hear a lot about,  
24 obviously the integration of renewables, this shows the wind  
25 perspective, it's one of the best charts I've seen, to show

1 the difference in how it affects the systems that provide  
2 the generation. On the upper left, you can see the lower  
3 parts, those systems, nuclear systems and other systems that  
4 like to just turn on and operate and not vary, and in the  
5 lower right, you see that they have to move a lot of  
6 variations, and so those are not operations that are  
7 supportive for their performance, and their long-time life,  
8 and so we need to find ways to level off those peaks with  
9 distributed assets, with storage, and other things so we can  
10 operate the Grid successfully in the future with large  
11 penetration of renewables as we do today with the smaller  
12 penetrations. So, you'll hear today about different  
13 technologies that will help us do that. And solar itself,  
14 in California we already have a lot of solar energy, but it  
15 does ramp up very fast, and it does ramp down very fast in  
16 the evening, and so, as you've heard from the ISO, that  
17 creates some challenges. If you know what's going to happen  
18 and you plan for it, that's one thing, if you know it's  
19 going to happen and it doesn't happen the way you planned,  
20 that's the second problem, and if it happens and you didn't  
21 even think about it, that's the third problem, and we have  
22 all those problems occurring with these systems, but they  
23 are all manageable and there are options of how to handle  
24 this so that we can continue. It's pretty clear, certainly  
25 in California and a lot of the country now, that the desire

1 to use more and more renewables is everybody's desire, and  
2 nobody seems to be backing off from that.

3           Just a quick understanding, so the contracts we have  
4 today, you'll hear this morning from EPRI, the three IOUs,  
5 and their contract is actually almost over, they have  
6 drafted their final report and we expect to publish that  
7 report in a few months. You will hear the details of those  
8 reports and analysis, so questions and answers, they have  
9 done their whole project, and so they should be able to  
10 provide some pretty good answers and some pretty good  
11 questions. Obviously, every time you learn something new,  
12 there may be something they would like to do, but they are  
13 at the point of wrapping up their contract and sharing  
14 everything from there, so this is a first discussion. We  
15 have a little more time because we envision one more detail  
16 and two more questions, and I would encourage people to ask  
17 questions.

18           In the afternoon, the contract with JPL is about  
19 half over, so they have just begun doing their stuff,  
20 they're just getting their assessments, and they're  
21 interested in feedback on what they should think about, as  
22 well as what they've done, so you'll hear a little bit about  
23 how far they're going, how they're thinking, and what  
24 they're going to do over the next several months as they  
25 complete their research and wrap up their report. And then

1 RW Beck, you will hear that their contract - Steve, has it  
2 been signed? I think we're really close, but - so we have a  
3 signed contract in days, so you will hear from them on what  
4 they propose to us as a plan, and they will listen and be  
5 interested to learning what the questions and issues are so  
6 they can address those, and they'll talk to you about some  
7 of the challenges that they see going forward as a spokesman  
8 in developing a centralized view for the Public Utilities.  
9 So, we'll have the three perspectives. After each  
10 discussion, there's time for questions on that particular  
11 speaker and, at the end of the day, there will be some  
12 discussions for any of the topics. And, again, if questions  
13 come up, in addition to these what kind of PIER research is  
14 going on, that may address a separate question, we'll be  
15 glad - either myself or my staff - we'll be glad to answer  
16 questions on that from there, and then we'll see. It is a  
17 Friday, which most people consider the last work day before  
18 Christmas, so I appreciate everybody around here, and we'll  
19 do our best to be efficient, but we do want to answer  
20 questions and we do want the feedback to both our staff, as  
21 well as the researchers that you'll hear from, from there.  
22 And with that, I guess I'll just do one quick thing and that  
23 is, can we get some confirmation from somebody on WebEx that  
24 they're hearing okay and we're not going to miss anything,  
25 just somebody that can type in chat that everything is okay.

1 I know one of our previous workshops, we had a little  
2 problem with the voice, and I wanted to be sure before we  
3 got into the discussion that everybody is okay online.  
4 Yeah, would somebody just raise your hand on the chat box,  
5 or type in the fact that the quality of the sound is okay  
6 and you're seeing the picture, just before - okay, thank you  
7 all very much. And with that, I will introduce our first  
8 speaker here.

9 COMMISSIONER WEISENMILLER: Okay, Mike, I had one  
10 more question for you, just to make sure we're all on the  
11 same page. Do you have a concise definition of Smart Grid?

12 MR. GRAVELY: Uh, well, I think - I want to answer  
13 that question by saying part of the questions that you'll  
14 hear today from the presenters is to come up with a  
15 definition of what Smart Grid is today at 2010 and what will  
16 it be in 2020. I think, in general, what we have used a lot  
17 from the research perspective, I do not believe a unified  
18 definition exists, I don't think a policy definition exists.  
19 I think, depending on who you go to, Smart Grid is  
20 everything to everybody. What we have consistently seen,  
21 though, is that the Smart Grid is a merging of the  
22 information technology communications world and the utility  
23 power industry. And one of the challenges when we first  
24 started three or four years ago, and we actually were doing  
25 Smart Grid research before it was a recognized Smart Grid,

1 certainly for the policy in the country was approved, is in  
2 fact one of the challenges is you have to merge the Internet  
3 protocol world with the power engineering world. And  
4 actually, I have talked with people from four or five years  
5 ago that said they would be getting a room, and people would  
6 walk out, they didn't communicate. And I think we're way  
7 beyond that now, but early on. And the standards and  
8 concepts, so the concept of how an IP standard is addressed,  
9 and how they handle problems, is not the same process that  
10 is handled for a power engineering Grid related issue. And  
11 so there were some real challenges to get the two together,  
12 but I'd have to say, there is a definition that says what it  
13 is physically, and there's a definition of what it's capable  
14 of doing. But I have seen, I can share with you from  
15 another presentation a verbal just definition of what Smart  
16 Grid is, I don't have it in this presentation, but I haven't  
17 seen two people in two presentations use the same definition  
18 yet, personally.

19 COMMISSIONER WEISENMILLER: Thanks, Mike.

20 MR. GRAVELY: I don't know if there's anybody in the  
21 audience here who has a definition that they've used in  
22 recognition, but it's probably something we might work on as  
23 what the infrastructure issue of this year's IEPR, but it's  
24 very important to do that. So, with that, I'll turn it over  
25 to Angela Chuang, who is our Project Manager for this, and

1 her three partners are from the three IOUs today, and so  
2 she'll be giving an overview, and all three IOUs will be  
3 speaking, and I encourage everybody online, as well as here,  
4 to ask tough questions. Thank you.

5 MS. CHUANG: Thank you. Good morning,  
6 Commissioners, ladies and gentlemen. It's my pleasure as  
7 Project Manager for EPRI on this project to kick off our  
8 EPRI IOU team presentation on the California Utility Vision  
9 of Smart Grid for the State of California by Year 2020, and  
10 the road map to achieve the vision.

11 So our presentation will be presenting the findings  
12 from our project that has been ongoing since late January  
13 this year, including a little bit about our project  
14 assumptions, the background, and the policy drivers for  
15 Smart Grid that we investigated up front, then the meat of  
16 the findings, which is the 2010 baseline for Smart Grid, the  
17 2020 vision, and examples of technology writing those road  
18 maps to achieve the vision that we will share. Also,  
19 towards the end of our group presentation, we'll discuss  
20 policy concerns and overall conclusions and recommendations.

21 The overall goal of our project was to work in  
22 partnership with the California investor-owned utilities to  
23 define what is a Smart Grid for California by the year 2020,  
24 define the vision and a road map to achieve the vision, with  
25 2010 as our baseline. The fundamental assumption is that,

1 given the energy policy drivers for Smart Grid are what are  
2 really driving Smart Grid in the state, that the Smart Grid  
3 vision and roadmaps that we define need to support the  
4 energy policies that exist in California. And so, that was  
5 the fundamental assumption and a requirement in our project,  
6 that the Smart Grid supports the energy policies of the  
7 state.

8           In order to proceed, then, we had a detailed  
9 investigation of what the policies are, and we classified -  
10 Mike Gravely had a similar slide to this - this has been  
11 updated since the initial classification of policies in our  
12 2008 California Smart Grid Report. And it shows a number of  
13 energy policy targets in different categories from  
14 greenhouse gas emission reductions to renewable energy  
15 targets, and energy efficiency demand response type targets.  
16 Most of these on the slide are targets, some, just a few of  
17 them on this slide, are incentives. After looking at the  
18 policies in the various varieties here, our team asked,  
19 well, what about reliability? So we also added that to the  
20 slide. And, on the bottom of the slide, we can see a number  
21 of reliability reporting type activities, emergency  
22 standards for operations, and safety, and so on, and  
23 inspection and maintenance type standards. Also, the  
24 California Resource Adequacy Requirement that has been  
25 instilled a few years ago, that is also for reliability



1 purposes.

2           Our project went through a number of stages. In the  
3 beginning, we brought the leadership team together to define  
4 what are the assumptions for the project, what are the  
5 guiding principles, and what types of frameworks should we  
6 develop that we can give to the rest of our project team to  
7 fill in the details. So, we started off defining guiding  
8 principles and frameworks for our project, then we came  
9 together as a team to vet and review and provide further  
10 details for the baseline, the vision, and the technology  
11 readiness road map exercises that all three IOUs, EPRI, and  
12 some subcontractors concentrated on, in a series of  
13 workshops that spanned from April through July of this year,  
14 and we have drafted the final report and presentation that  
15 resulted from the workshop series. And we're currently  
16 under the review process prior to publication of the final  
17 report.

18           So, in the beginning, the first stage of the  
19 project, one of the activities we conducted was to identify  
20 the basic assumptions for the project. As mentioned  
21 earlier, the energy policy targets are met by year 2020, the  
22 existing ones. We studied them and it was just the basic  
23 assumption, that they are met. How do we define a vision  
24 road map to support those policies and targets? And another  
25 assumption is, as increasing renewable penetration markets

1 continue, there are certain amounts, certain types of  
2 uncertainties, that need to be managed and handled  
3 logically, and we assume they are. And that includes the  
4 ownership of the resources on the customer side, the  
5 uncertainties in the face of aging infrastructure and  
6 equipment failures which will more likely occur before that  
7 aging infrastructure is replaced, those sources of  
8 uncertainties are handled logically. And in this  
9 environmental of Smart Grid, with the customers now owning  
10 resources that could be relied on by the Grid, we assumed  
11 that rates make sense to encourage fair behavior, including  
12 customer participation by lending their resources to support  
13 the Grid, so there are rates in place that make sense to  
14 encourage the cooperation on end use.

15 Smart Grid accommodates market enablement and  
16 customer driven choices; this is as opposed to a traditional  
17 paradigm of utility driven type demand response and demand  
18 side activities. So, in the 2020 paradigm, the customer has  
19 choices and the markets enable those choices, and the  
20 choices are customer driven to meet their needs. Finally,  
21 that Smart Grid will accommodate the integration of  
22 alternative resources, whether it be plug-in electric  
23 vehicles, renewables on a distribution or transmission  
24 system, distributed storage, bulk storage, these alternative  
25 type of resources will be accommodated. Those are our basic

1 assumptions. So, we organized our project team into six  
2 areas of technical expertise which we called "domains,"  
3 domains of technical expertise, which are listed here in the  
4 first heading, the top row of this diagram, spanning from  
5 communications infrastructure and architecture domain team,  
6 to customer systems, Grid ops control, renewable and DR  
7 integration, capital asset efficiency, and workforce  
8 effectiveness. Within each of these domains, we define  
9 Smart Grid uses, broad areas of what would the Smart Grid be  
10 used for, and these are the areas that our team decided that  
11 we will focus on. There are a total of 19 of them. We  
12 developed technology readiness road maps for each of these,  
13 each of the 19, so we have 19 and we'll provide some  
14 examples of these road maps later.

15           One question that is important to address besides  
16 what are the uses of a Smart Grid are, well, what's the  
17 objective for that particular use? What's the reason? Why  
18 are you using the Smart Grid for that? So, we categorized  
19 here, this list comes from a previous EPRI report, Possible  
20 Categories Objectives in the first column, from  
21 environmental compliance like a use to meet renewable  
22 portfolio standards, it's for environmental compliance or to  
23 reduce greenhouse gas emissions, it's for compliance, all  
24 the way to enhancing customer choice, improving system  
25 economics, maintaining enhanced system reliability, and

1 improving power quality. So, keeping the Smart Grid uses in  
2 the different 19 categories I showed earlier on the previous  
3 slide, plus these possible reasons for using the Smart Grid,  
4 we asked our team, tell us what are the top priority Smart  
5 Grid uses and associated objectives for that use. What are  
6 the top ones? And these here were almost unanimously  
7 identified by our IOU team members. For example, bulk wind  
8 and solar integration to meet RPS and reduce greenhouse gas  
9 emissions, unanimous top priority here, all the way to why  
10 there is situational and data integration for system  
11 protection restoration. The color coding here shows the  
12 different types of objectives, the green being the  
13 environmental compliance, the blue here, customer needs,  
14 that's about enhancing customer choice, and reduced peak  
15 demand, reduced losses, is about enhancing system economics.  
16 So, these are the top priority ones and this list shows the  
17 high priority Smart Grid uses and associated objectives.  
18 For example, high priority, the top priority, was basically  
19 the IOU's, most of them saying, "This is the top priority,"  
20 whereas high priority is one level lower in ranking, it is  
21 "a high priority." So, this is a result for the second  
22 level of priority, for example, demand response for  
23 enhancing service innovation under capital expansion. So  
24 the use is demand response in the black, and the color  
25 coding is the type of objective. So, it ranges. And it's

1 interesting to note, on the previous slide, that we have PV,  
2 plug-in electric vehicle integration, the objective of that  
3 is reducing greenhouse gas emissions, for example, and  
4 meeting customer need. The meet customer need is  
5 representing the pool of the customers, they are going to go  
6 out and they're going to buy the electric vehicle, and the  
7 Grid needs to support that pool from the customer side of  
8 the market.

9           So, after we did that exercise, then we also wanted  
10 to make sure we covered all the bases of all the different  
11 dimensions of consideration for Smart Grid Vision and Road  
12 Mapping exercises, so we looked at - we had our technical  
13 team of great experts looking at what's operationally  
14 possible, what's physically possible with technology, and we  
15 had done the exercise of looking at the policy drivers on  
16 the top plane, and the cost benefits, as well, among the  
17 leads in our group, of Smart Grid in general terms. And  
18 this slide shows that there are many dimensions of  
19 consideration that need to be taken into account in a road  
20 mapping effort and vision exercise because the regulatory  
21 and the commercial dimensions on the top plane, they are the  
22 drivers for Smart Grid, and they determine what's probable  
23 with Smart Grid, whereas the bottom plane, the technical,  
24 the operational, the physical, that determines the means, or  
25 what's possible with Smart Grid. And together, you kind of

1 close the domain space of what's possible and what's  
2 probable, and so we considered all these dimensions. And  
3 these types of factors, policy regulations, technology  
4 operations, they're evolving over time, so in our road  
5 mapping exercises, we pretty much say what technology stages  
6 will occur, in what order, it's not a prediction of when  
7 exactly that will happen because there are all these  
8 evolving considerations over time that impact the actual  
9 outcome.

10           So, in the baseline presentation, we offer - the  
11 Baseline 2010 Presentation of our findings offers a  
12 framework to describe Smart Grid technologies. This comes  
13 from the 2008 EPRI Smart Grid study for the California  
14 Energy Commission, where we show the power system resources  
15 on the very bottom level, which starts from generation all  
16 the way down to transmission substation and distribution and  
17 end use, so this is the power level of technologies, the  
18 resources themselves, and the assets. And everything else  
19 above has to do with the logic, the remote sensing, and  
20 controls, the algorithms for controls embedded in the  
21 devices, for example, of the Grid. And the communications  
22 infrastructure that serves as a medium to take the  
23 information from the control sensors and exchange it with  
24 the data integration layer that provides one source of truth  
25 for data to the applications that require it. So everything

1 above the bottom level of this technology framework,  
2 everything has to do with the sensing and the controls and  
3 the logic to manage the resources. So, this can be thought  
4 of as the logic level of technologies, and the bottom is  
5 actual physical power assets. So, given that, and one other  
6 thing is that these columns represent the different parts of  
7 the electric power industry from generation to transmission  
8 distribution, and end-use. So, looking at this technology  
9 framework, we can more simply describe what is a smart grid,  
10 and from our 2008 findings, it was described as the  
11 intelligent use of information across traditional  
12 boundaries. So this one example shows the distribution  
13 operator, for example, interested in using advanced metering  
14 data to inform certain applications like outage management,  
15 for example, and that crosses traditional boundaries, and  
16 there is a lot of initial activities using advanced metering  
17 to inform distribution operations. And then, this second  
18 example we have is the Transmission Grid Operator expressing  
19 interest during our interviews back in 2008 of using  
20 advanced metering capabilities to enable demand response to  
21 balance intermittent generation on the transmission grid.

22           And finally, an activity with another group, also  
23 CEC funded, where the procurement team and the customer  
24 service side of the utilities working on a project with EPRI  
25 this past several years to value, to come up with a

1 methodology, to value how much voided cost can be captured  
2 on wholesale settlements from 1 megawatt demand response, by  
3 location, by resource. So, that project also spanned  
4 traditional boundaries. So, this is our simple one-sentence  
5 description of what a Smart Grid was, it is the intelligent  
6 use of information across traditional boundaries where every  
7 vertical line here, and every level of technology represents  
8 a traditional boundary. If there are no clarifying  
9 questions, we have our next presenter, Kevin Dasso from  
10 PG&E, who will describe the 2020 Vision Findings from -

11 COMMISSIONER WEISENMILLER: Okay, actually I have a  
12 few clarifying questions. First of all, when you talked  
13 about back on - I think it was slide 4 - that basically this  
14 system is dealing with the reliability standards, I just  
15 wanted to clarify that, by that, you included the NERC  
16 reliability standards?

17 MS. CHUANG: Categorically, that would be included,  
18 definitely.

19 COMMISSIONER WEISENMILLER: Okay. The next question  
20 is, on your slide under Assumptions for Projects where you  
21 talked about rates make sense, that's, I think, slide 7,  
22 again, specifically are you referring to dynamic pricing?  
23 Or what?

24 MS. CHUANG: Just the - not specifically, but  
25 dynamic pricing is included in the area of restructuring of



1 rates.

2 COMMISSIONER WEISENMILLER: Okay, so what are the  
3 other elements, then?

4 MS. CHUANG: Other possibilities of structures could  
5 be - there's things I've seen that we don't have in the U.S.  
6 that are broad, like demand subscription, for example, or  
7 alternative pricing structures, other than charging  
8 customers on the basis of energy, just energy. It could be  
9 also, for example, based on power, which you can find in CNI  
10 customer rates, all kinds of examples, those are just a few  
11 examples. But the whole space of rate restructuring is what  
12 we're referring to here, alternatives.

13 COMMISSIONER WEISENMILLER: Okay, now, on Slides 10  
14 and 11, I was just trying to find - this is the top  
15 priorities, so I was trying to check on whether the  
16 integration of distributed gen is listed as a top priority.

17 MS. CHUANG: Yes, all kinds of distributed  
18 generation. In this area, the broad term of distributed  
19 generation, it could include PV, for example. So we have PV  
20 in the list here.

21 COMMISSIONER WEISENMILLER: Okay, but basically you  
22 want to make sure that distributed gen, distribution level,  
23 localized generation, is part of this vision.

24 MS. CHUANG Oh, definitely. It includes like  
25 electric rail and electric - integration of PV, example

1 here, to reduce greenhouse gas emissions, there is PV, we  
2 looked at CHP, as well, different types of generation in our  
3 ranking exercises.

4 COMMISSIONER WEISENMILLER: Okay, and last question  
5 is, as you go through the Smart Grid definition and vision,  
6 was there agreement among the California Utilities and you  
7 on what the hardware and software pieces of that are, or  
8 would be, in terms of how to translate the vision and goals  
9 into specifics?

10 MS. CHUANG: We would like to present some examples  
11 of that in our Technology Road Map exercise examples later  
12 on, but, yes.

13 COMMISSIONER WEISENMILLER: Okay, that's fine.  
14 Thanks.

15 MS. CHUANG: Kevin Dasso from PG&E is up next.

16 MR. DASSO: Good morning, everybody. My name is  
17 Kevin Dasso. I'm PG&E's Senior Director of Smart Grid and  
18 Technology Integration. I'm happy to be with all of you  
19 this morning. So, I'm going to talk a little bit about the  
20 vision, kind of building off of what Angela laid out in  
21 terms of some of the introductions. This is a tag team  
22 presentation, so I'll be handing it back to Angela and we'll  
23 hear from the other team members as we go forward.

24 So, in terms of 2020 vision, one of the first things  
25 that we did was really to take a look at what have others

1 said about Smart Grid. So, I think it was alluded to by Mr.  
2 Gravelly that, you know, many people have definitions of  
3 Smart Grid, they've taken positions on it, so we thought it  
4 would be useful to just do an inventory and at least say -  
5 get an understanding of what are the characteristics that  
6 various organizations have put out there, that we ought to  
7 be thinking about and that California ought to be thinking  
8 about as it looks at its development of its 2020 vision.  
9 And one of the aspects of any time you talk about Smart Grid  
10 and the vision around that is, it is useful to think about  
11 characteristics which are different from what the actual  
12 Smart Grid is versus what it can enable, and so I think some  
13 of the language which needs to be - you have to think about  
14 that a little bit. And we've tried to parse that out as  
15 we've gone through this.

16           So what we've put up on this slide is just three  
17 examples of kind of listings of Smart Grid characteristics  
18 that have been put out there, the first is EPRI's view and  
19 EPRI's membership in terms of how they see the Smart Grid,  
20 what those characteristics are, the second is really coming  
21 from the DOE and their modern Grid strategy development  
22 work, and then the third is essentially some of the  
23 characteristics that have been described by the California  
24 Public Utilities Commission in the ongoing Smart Grid OIR,  
25 which built very much on the characteristics that were

1 described in Senate Bill 17 that is kind of driving, you  
2 know, at least State policy as it relates to Smart Grid  
3 characteristics. So, there are a couple key themes here  
4 that I wanted to point out. The first is around  
5 reliability, so we've got, you know, self-healing,  
6 resilient, higher quality power, reduced impacts on outages,  
7 so reliability is a theme. The second is customer  
8 enablement and customer participation, so those are  
9 expectations in terms of characteristics. The next one is  
10 around markets, so enabling markets and making markets more  
11 robust, that's a component, a characteristic. Integrating  
12 renewable resources at all levels, so bulk system as well as  
13 distribution system. And then, last but not least, it needs  
14 to be secure, so secure from a Grid perspective, but also  
15 secure from a customer information perspective, those are,  
16 again, some of the characteristics that we considered as we  
17 developed our vision.

18           This is the actual vision statement, and I'm going  
19 to read it first, but I'm going to break it down a little  
20 bit; the vision statements can be a little dense and I think  
21 it's worth kind of identifying the key components to this.  
22 So, I'll just read it off first. The Smart Grid will link  
23 electricity with communications and computer control to  
24 create a highly automated, responsive, and resilient power  
25 delivery system that will both optimize service and empower

1 customers to make informed energy decisions. So, a lot  
2 there, and I'll kind of break it down a little bit, but  
3 first I wanted the focus on is what is the Smart Grid, so I  
4 think Commissioner Weisenmiller, your question, you know, do  
5 we have a concise definition of the Smart Grid? Well, what  
6 is it? It really is the linking of electricity with  
7 communications and computer control, so that is the what, or  
8 that is the what is the Smart Grid. The second part of this  
9 vision statement also goes to how does the Smart Grid  
10 accomplish what we're setting it out to do. And the how is  
11 that we're highly automated, responsive, and resilient, as  
12 we think about the Smart Grid. And then, the last part is  
13 around benefits, so why do you do this? You know, what are  
14 the benefits and there are many but we characterized them  
15 really in two basic statements, that is, to optimize service  
16 and also to empower consumers, that those are the main  
17 elements.

18           And I want to just talk a little bit about  
19 optimizing service for a second. There are many demands  
20 that are being placed on the Grid going forward, so we've  
21 touched on some of those already. New requirements, so more  
22 intermittent resources, distributed resources,  
23 electrification of transportation, those are all things that  
24 can be enabled in multiple ways. We believe that the Smart  
25 Grid is about how to optimize that, enabling those new

1 services while still considering costs and reliability,  
2 overall. So, there is this, I think, important concept here  
3 of optimization and, you know, the balancing of those  
4 elements.

5           And then, again, the last point here, but clearly  
6 not the least, is that consumers are really at the heart of  
7 all of this, so how can we help consumers make good choices,  
8 have control over their energy usage going forward? So  
9 that's the vision statement that we've used and developed  
10 and would offer for consideration here.

11           The last point I'm going to make, or the last slide  
12 I'm going to cover is, again, kind of going to the  
13 capabilities that we highlighted as investor-owned utilities  
14 to focus on. Again, the Smart Grid, and there are many  
15 capabilities that can be enabled by the Smart Grid, and I  
16 often hear people talk about all the things that it can do.  
17 I think that if we really wanted to take a shot at trying to  
18 prioritize those, you know, you really don't want to try to  
19 do everything. If you try to do everything, you're probably  
20 not going to do very much. So we really wanted to focus  
21 this around what are those key capabilities that we're  
22 after. And so the first is around empowering consumers in  
23 the open market. So, again, that's a key theme, lots of  
24 things you could do, these are things that we think are  
25 important. The second is, you know, very much front and

1 center for California, and that is, you know, renewable  
2 resources. And, again, distributed, as well as bulk system.  
3 The third bullet is, you know, kind of one of my favorite  
4 themes here and that is don't forget about the Grid, you  
5 know, that there are elements of this that, as we think  
6 about capabilities, that we can't forget about, in our drive  
7 to integrate renewables and enable customers, there are some  
8 grid elements that we have to think about, and that is  
9 around reliability, around economic efficiency, and around  
10 security, and in the face of very complex and changing  
11 environment.

12           And then, last, again, from the utilities'  
13 perspective, we also need to focus on how can we increase  
14 safety and productivity of our utility workforce to the  
15 benefit of our customers and providing a safe environment  
16 for our customers. So, those are kind of the key  
17 capabilities that we wanted to highlight. So, those are my  
18 prepared remarks and if you wanted to ask a few questions,  
19 we can do that, and then I'll hand it back to Angela to  
20 cover the next section.

21           COMMISSIONER WEISENMILLER: That would be great,  
22 thanks Kevin. I had a couple of questions. If you go back  
23 to the Vision Summary for a second. I guess my question to  
24 Mike and to Heather is whether both of you agree with that  
25 definition.

1 MR. DASSO: I'll yield to Mike.

2 MR. GRAVELY: I would say it has all the elements  
3 that we've talked about. I have to be honest with you, we  
4 haven't really taken - you'll hear different perspectives  
5 today a little bit from this, but it has all the elements  
6 we've discussed. Well, this is the utility perspective, I  
7 would say it has a utility perspective.

8 COMMISSIONER WEISENMILLER: Okay.

9 MR. GRAVELY: I would say if you had a vendor  
10 provide this, and maybe - I don't think we're going to talk  
11 about it - but it certainly provides all the information,  
12 but I would have to say that it is, in my eyes, through the  
13 eyes of the utility vs. the eyes of the customer vs. the  
14 eyes of someone else. So, we haven't actually vetted it  
15 out, but it certainly has all of the elements that we  
16 consider critical for Smart Grid.

17 COMMISSIONER WEISENMILLER: Okay, Heather?

18 MS. SANDERS: I would agree with Mike. The one  
19 thing I would add to this is the visibility aspect, you  
20 know, the automated response of resilient power delivery  
21 system, as well as the optimization is very important, but I  
22 would just add the visibility aspect to this.

23 COMMISSIONER WEISENMILLER: That's good, thank you.  
24 Okay, Kevin -

25 MR. DASSO: Can I respond, maybe I'll address



1 Heather's point.

2 COMMISSIONER WEISENMILLER: Sure.

3 MR. DASSO: So, in resilient, I think we have that  
4 notion, I mean, in order to know what to do and be capable  
5 of responding, you have to have visibility, so that's an  
6 element of it.

7 COMMISSIONER WEISENMILLER: Kevin, in terms of the  
8 PG&E circuits, are there any distribution circuits that, at  
9 this stage, have very high levels of DG?

10 MR. DASSO: We do have a number of distribution  
11 circuits that have a large number -- of distributed  
12 generation or PV, in particular?

13 COMMISSIONER WEISENMILLER: Yeah, PV in particular.

14 MR. DASSO: We do. We have not - we don't have any  
15 circuits where the penetration has created huge concerns  
16 yet, however, we have approximately 42,000 customer-owned  
17 solar panels located in our distribution system, kind of  
18 throughout our service territory. Those panels tend to be  
19 concentrated in certain areas, particular neighborhoods,  
20 subdivisions, and so on. We're beginning to see some of the  
21 impacts of those high concentrations, but at a very  
22 localized level. We're not seeing them causing any problems  
23 at a circuit level, the issues are a little bit more  
24 localized. However, these are concentrated in certain  
25 areas, some circuits have a lot more of those units than

1 others do and we know which those are.

2 COMMISSIONER WEISENMILLER: Yeah, no, my impression  
3 was that PG&E has really led the nation in solar PV  
4 installations on the DG, so in terms of looking for data,  
5 I'm assuming if anyone has circuits that are very high  
6 penetration rates, it would be PG&E.

7 MR. DASSO: We do have a rich database. I think one  
8 of the challenges we have, though, is that today, in the way  
9 those PV units were installed, or today and historically, is  
10 many of those are a net metering kind of arrangement, so we  
11 do not generally have visibility into what those PV units  
12 are doing, and so that's an area we'd like to leverage and  
13 expect to leverage some of our Smart Meter capabilities to  
14 get a better understanding of going forward. We know where  
15 they are, we know what they're supposed to be doing, we can  
16 see the implications of them on our grid from our side,  
17 however, we can't tell you at any given time what is the  
18 output of that unit, and is it performing at the level it  
19 was expected. Those, I think, are future enhancements that  
20 we would expect to be able to add to that database.

21 COMMISSIONER WEISENMILLER: Did you have a sense of  
22 what the highest penetration rates you have on these  
23 circuits?

24 MR. DASSO: By number or -

25 COMMISSIONER WEISENMILLER: Percentage.

1           MR. DASSO: Percentage, generally less than 10  
2 percent of the capability, we have not reached that. At a  
3 circuit level, we do have certain segments of those circuits  
4 where the penetration, or where the actual PV output is  
5 greater than 10 percent of the peak demand.

6           COMMISSIONER WEISENMILLER : Yeah, I guess the last  
7 question for you is, having been sort of Ground Zero on the  
8 Smart Meter installation, coming from those lessons learned,  
9 what are your takeaways for the Smart Grid?

10          MR. DASSO: I think one of the key elements is how  
11 to engage customers, I think that's - we have been on the  
12 cutting edge of all of that, and to some extent the bleeding  
13 edge in some of that area. I think we've learned a lot of  
14 lessons, we are applying those lessons going forward, I  
15 think, with a very different type of response. We have a  
16 very expansive outreach program now before we go into  
17 communities where we have been reaching out almost two  
18 months before we install any of the meters with elected  
19 officials, with various consumer groups, we're coming in  
20 with answer centers, with displays, and ways in which we can  
21 inform customers about how they can use these devices, and I  
22 think with a much different outcome. A couple things I  
23 would like to mention, you know, kind of highlight there  
24 that often get lost in all of the energy around PG&E Smart  
25 Meter Program, we have over six million Smart Meters that

1 are fully enabled, meaning that they're being used for  
2 billing, they can support communication with customers about  
3 what's happening on their usage. We have over 250,000  
4 customers that are accessing, or have accessed, their hourly  
5 data through Smart Meters via our PG&E website, so people  
6 are beginning to use those tools. One of the other features  
7 that we think is kind of neat and interesting is that, with  
8 the Smart Meters, the interval billing capability, that  
9 we're able to use hourly data and inform customers when they  
10 are about to reach - as they move into a higher cost tier,  
11 we call it "tier alerts," we have over 20,000 customers that  
12 have signed up for tier alerts over this last year and we're  
13 getting positive feedback on that. So, again, there are  
14 benefits and things that are being enabled here.

15           COMMISSIONER WEISENMILLER: I guess the other issue,  
16 obviously you've been hit with the concern on health issues,  
17 and, again, looking back at that issue, is there anything  
18 else we should worry about in the Smart Grid context?

19           MR. DASSO: Well, again, I think there's lessons to  
20 be learned. You know, the wireless communications is one of  
21 the components and elements that we have to think about. If  
22 we're going to be talking with, whether they are Smart  
23 Meters, or whether they're sensors or other devices, you  
24 know, out distributed in the distribution system, depending  
25 how deeply they go, the most economic, cost-effective, and

1 safe, we believe, and many also believe, way to do that is  
2 through wireless capabilities. And I think we do have to  
3 make sure we're addressing consumers' concerns and answering  
4 those to the best of our ability.

5 COMMISSIONER WEISENMILLER: Okay.

6 MR. DASSO: Thanks. I think this goes back to  
7 Angela.

8 MS. CHUANG: So we have a few technology readiness  
9 road map examples to share. The ones chosen, for example,  
10 because we have 19 of these in the final report, but we  
11 decided to share the ones more on the customer side because  
12 it reflects more of the newer capabilities of the Smart  
13 Grid. For example, plug-in electric vehicle integration  
14 technology readiness road map. Each stage here in the row  
15 is reflective of a certain level of capability and we start  
16 in the short term, which means the next five years, so  
17 through 2014, we move to the medium term, which is the next  
18 five years after that, and then the long term means 2020 on  
19 out. So, the first stage in this area of PEV integration is  
20 going to be all about Smart charging, about handling the  
21 vehicle as a load. So, the capabilities there include off-  
22 peak charging, demand response, down regulation as opposed  
23 to up because it's about turning it off when it's on, it's  
24 about managing the load from the electric vehicle when it's  
25 charging. And then, the stage after that in the medium term

1 with the vehicles to home, using the battery of the electric  
2 vehicle to support electricity uses in the home, just  
3 locally, and then, in the long term, getting vehicle to  
4 grid, which is using the battery, then also to be able to  
5 also support the Grid, which involves another level of  
6 complexity when we allow export of power to the Grid to  
7 support it. And, finally, renewables integration, which is  
8 about using the battery of the vehicle to support the Grid,  
9 to balance fluctuations in intermittent renewable  
10 generation, which is an additional level of complexity  
11 because of the intermittent nature that needs to be handled.  
12 So, those are the stages and the basic capabilities. The  
13 enablers to reach each of the stages are listed on the  
14 right-most column. So, for Smart charging, we need bi-  
15 directional communications, for example, between the grid  
16 and the vehicle, standards to be able to support the Smart  
17 charging, and we need implementations to test standards and  
18 so on. The vehicle to home requires bi-directional power  
19 transfer on-board the vehicle, and a proven value  
20 proposition to do vehicle to home. And you can see that  
21 repeated, the proven value proposition to do vehicle to  
22 grid, for example, is a key enabler in the long term, as  
23 well as to support intermittent renewable generation.

24 Just some examples, the next one we'd like to share  
25 is demand response readiness, integrating demand response,

1 what are the stages for that in the next 10 years. So,  
2 today, we have reliability-based demand response programs,  
3 that's part of the baseline. And in that, we just listed  
4 here to contrast with the subsequent stages, so DR, Demand  
5 Response triggered emergencies, system emergencies, and  
6 other critical conditions where the trigger uses is some  
7 kind of system-level emergency condition to trigger the  
8 demand response. And we need - we do equipment retrofits,  
9 we have to enable communications and remote control  
10 capabilities today, we do that. And we have customer  
11 adoption and program participation to increase program  
12 participation as a key enabler. The energy market  
13 integration is in the short term, where we have activities  
14 today to get to integrating demand response with wholesale  
15 electricity - energy markets of wholesale electricity  
16 markets. So, to do this, we need DR to be triggered based  
17 on wholesale energy prices, so we're working towards that in  
18 the day ahead, or day of, so energy-based trigger. And to  
19 do that, the key enabler would be tariff approval for some  
20 kind of dynamic energy pricing, energy-based pricing for  
21 retail customers. And this requires two ways, smart end-use  
22 devices - I'm sorry, one way communications for energy-based  
23 triggering, one-way communications, not two-way yet. The  
24 next stage in the medium term includes distribution  
25 management system integration, where basically now we have

1 localized event conditions being detected and triggers based  
2 on local conditions, let's say distribution system  
3 conditions, so using demand response to support the  
4 distribution system, let's say preventing a distribution  
5 transformer from overloading, for example. So, DR in this  
6 stage can be used to extend facility and asset life, and PEV  
7 charging is one example here, to avoid the transformer  
8 overloads. We need Smart end-use devices with two-way  
9 communications to get to this stage, as a key enabler. I  
10 mentioned localized event triggers; also, tariff approval  
11 for perhaps demand-based retail rates, and the PEV charging  
12 is an example for that, where the value of demand is very -  
13 it's something that will need to be addressed. The  
14 ancillary service market integration is also in the medium  
15 term, so we're talking 2015 to 2020, reaching this stage.  
16 DR is providing operating reserves to support Grid  
17 operations in this medium term stage, and to get to this  
18 stage, we need Smart end-use devices with integrated  
19 communications and controls, some kind of cost justification  
20 for the telemetry requirements, the monitoring requirements  
21 that are required by the Independent System Operator to  
22 provide operating reserves. The cost needs to be justified  
23 because the requirements are more stringent, or the  
24 requirements need to be relaxed, or some combination, and  
25 some cost allocation method if the market participant



1 decides to sell supply reserves using DR, for example. And  
2 then, finally renewable integration, the most complex level  
3 in this roadmap, we're not just using PEV, but any type of  
4 DR to help balance the intermittency of bulk renewable  
5 generation, for example, or even distributed renewable  
6 generation. So, to get to this stage, deep situational  
7 awareness, Smart end-use devices with the capability of  
8 rapid automated response, that's in the long term - 2020 on  
9 out. And we have one example on the Grid side, and many of  
10 our technology readiness roadmaps, whether it be at the  
11 distribution or transmission level of preparing the grid  
12 side, it has a basic trend of, we need the ability to  
13 monitor remotely those resources on the distribution system,  
14 for example, whether it be electric vehicles, or other types  
15 of demand side resources, and have that capability  
16 integrated with existing SCADA systems, for example, so that  
17 the operators can make decisions, have the visibility, make  
18 the decisions, and further down the line have the advance  
19 protection control capabilities in place to operate the Grid  
20 with these distributed resources, including customer-side  
21 resources and intermittent resources, so the proper  
22 protections and controls in place, then the ability to  
23 operate with some level of automation and advance  
24 applications, the general trend.

25 We would like to cover policy issues and

1 recommendations and conclusions and leave enough time for  
2 that, so our next speaker is Mike Montoya from SCE.

3 MR. MONTOYA: Good morning, everybody. My name is  
4 Mike Montoya. I'm a Director of Grid Advancement for  
5 Southern California Edison. And I want to talk a little bit  
6 about what the team thought about as we went through this  
7 whole process on the policy issues as we go forward between  
8 now and 2020.

9 So, we broke it down into three different areas, the  
10 regulatory role, who should be doing what, the deployment  
11 pace, when you think about between now and 2020, in a couple  
12 of weeks we're going to have less than 10 years to go  
13 through all of this and really shore ourselves up such that  
14 we can meet all of those goals and make sure the  
15 technologies that we use are capable of meeting those policy  
16 goals. And then, the customer readiness, you know, it's  
17 been alluded to that customers are going to be very very  
18 important in this piece, there are a lot of goals around the  
19 Smart Meter arena that are around demand response and other  
20 issues that the customers are going to have to be very well  
21 informed and be a part of this in order for it to be  
22 successful.

23 So, around the regulatory role, we think the  
24 jurisdictional clarity is going to be very very important  
25 because of the fact that the Smart Grid is going to

1 encompass so much from the transmission level, bulk power,  
2 wider controls, and distribution substation automation,  
3 field area networks for our field workers, and asset  
4 utilization, and all the way to the home area network where  
5 our customers are going to be involved. And when you think  
6 about just the utility piece of that, there is so much  
7 integration, and we think that end-to-end security is  
8 paramount for that integration. And then, on top of that,  
9 you hear folks, including the Chairman at FERC say that one  
10 day I will be able to bid my washing machine into the ISO  
11 market. And so, when you expand that into the millions of  
12 devices, if that were to come to fruition, the integration  
13 of this really needs to be at a national level such that the  
14 standards are for all of us and all of the different  
15 manufacturers are all building to the same standard so that  
16 we have an interoperable system and the capabilities for,  
17 you know, like the computer world, where there is plug and  
18 play.

19           And another issue around the regulatory role is all  
20 the IOUs are in different places in Smart Grid, and that is  
21 all driven by different business reasons, but as policies  
22 are developed and as they move forward, that should be a  
23 consideration such that it doesn't put one company in a bad  
24 situation and another company in a better situation, so that  
25 should be taken into consideration. And then our customers,

1 as we develop policies, they're all different, they all have  
2 different needs, and so we need to at least have that Litmus  
3 test to make sure that we're not doing something that was  
4 really unreasonable from a cost perspective or technology  
5 perspective for a certain customer that doesn't need those  
6 different technologies. And then, the notion of least cost,  
7 best fit, when you think about all these policies that we're  
8 going to have to meet by 2020, we can do it brute force, you  
9 can invest in different types of investment to try and do it  
10 brute force, or you can look at it from a technological  
11 perspective and see if the technologies will help us  
12 accomplish those 2020 policies. And when you go into that  
13 arena, you're going to be dealing with a lot of new  
14 technologies, a lot of things that you'll look at in the  
15 lab, you'll look at when you first start deploying, but as  
16 you scale that whole Smart Grid across your system and you  
17 get more variable energy out there, you know, you may find  
18 that it doesn't scale, or other issues as you go through the  
19 technology, and so these thing will be the least cost - and  
20 because there's going to be some uncertainty as we go  
21 forward.

22           On the deployment pace, as I say, one of the areas  
23 that we think should be avoided is for regulators and others  
24 not to mandate or pick winners. In other words, we  
25 shouldn't be regulating one technology, or that one

1 technology vendor would have an advantage in that arena.  
2 This should really be across the board, let the market and  
3 the vendors, and the experts and the systems, look at what  
4 the best fit and what technology is best for us to be able  
5 to accomplish the goals.

6           And then, I kind of alluded to it before, but there  
7 is a need for treatment of emerging technologies from a  
8 contingency perspective when technology may not scale, or  
9 technology may not perform like you thought it would in the  
10 laboratory, or if you get out there and the generation or  
11 the different technologies that are going to be  
12 interconnected with the Grid don't play the way you think  
13 they would. And then, I think Kevin mentioned this, is that  
14 we need to remember as we go through this thing, that we  
15 still need to have a reliable system and that we really want  
16 to make sure that our customers are served properly with a  
17 reliable service, while trying to achieve these goals.

18           And then, on the customer perspective, we need to  
19 really make sure that there are incentives out there and  
20 outreach programs that will really get them engaged to help  
21 us meet these goals, they are going to be a big part of it,  
22 and so we really have to ensure that they come along with  
23 us. On the third-party access to this, I think everybody in  
24 the room knows that there's a lot of other folks looking  
25 into getting into this business, you know, you have the

1    Googles and the Microsofts of the world looking at how they  
2    could maybe help our customers, you know, reduce their costs  
3    through better information and technologies, so one of the  
4    things we think is very important is that the customer  
5    privacy issues should be very important as we develop these  
6    policies, and make sure that the customer not only  
7    understands what's going on, but agrees that their  
8    information goes out.

9           And the last point is that the customer needs to  
10   anticipate that the future electric costs are probably going  
11   to go up because of the policy goals, but that if we do this  
12   right, with the right technologies, and we're very  
13   thoughtful about it, they will not go up as much as the  
14   brute force way of doing things. And so, in summary, that's  
15   just kind of the areas we think as we go through this whole  
16   journey from now to 2020, these are the areas we think  
17   should be kept upfront and in mind as we develop future  
18   policies. Thank you.

19           COMMISSIONER WEISENMILLER: Yeah, Mike, a couple  
20   policy questions. One of them is, obviously, as we rolled  
21   out the Smart Meters, they've been more or less utility by  
22   utility, and I guess part of the question is, are we at a  
23   stage, you know, if you look vs. having meters rolled out on  
24   a utility basis versus, say, nationwide, presumably the cost  
25   would be driven down, the more we can get the common

1 technology. But then, part of the issue is, for this area  
2 of innovation, you're not quite sure what the [quote  
3 unquote] "winners" are. So, the question in part is, how do  
4 we do the right balance between continuing to encourage  
5 innovation at sort of the local level, while at the same  
6 time trying to achieve some economies and cross  
7 communication at the state and the national level.

8 MR. MONTROYA: Well, I think when you look at  
9 technology, in general, manufacturers are going to build two  
10 standards, and so if you have a national standard, you're  
11 going to have a lot more manufacturers building to that than  
12 if you have individual state standards, and the costs would  
13 be much higher if you had individual standards because, you  
14 know, they're building X for California and Y for Wyoming,  
15 and all that. So, I think it's important to keep that in  
16 mind, you know, the manufacturers are going to build towards  
17 standards and if we can have a standard that is  
18 interoperable and goes along the way of plug and play, I  
19 think that will help us with economies of scale and bring  
20 the costs down.

21 COMMISSIONER WEISENMILLER: Good. Do you have a  
22 sense of what a reasonable estimate of the timing to get  
23 there will be on the national standards?

24 MR. MONTROYA: Well, it depends which one you're  
25 talking about. We're working, all the utilities and all the

1 stakeholders are working on the standard for the  
2 communications, for instance, on the Smart Meters, on the  
3 Home Area Networks, and so, you know, it's been worked on  
4 for a year or so and it's probably going to be worked on  
5 through the summer of 2011. We're anticipating that that's  
6 when it will be finalized. But there are a lot of other  
7 different areas out there that are being reviewed by NIST  
8 and, so, each one of those individually will take its time  
9 to get there.

10 COMMISSIONER WEISENMILLER: Yeah, I was going to ask  
11 the harder question, if you think about what are the central  
12 functions for Smart Grid, then the question is, when will we  
13 have those standards in place for at least the central  
14 pieces of the puzzle?

15 MR. MONTOYA: Well, it depends on the technology  
16 again, but if you look at communications standards, a lot of  
17 those are already in place. If you look at communications  
18 within the substations as an example of that, IEC 61850 is a  
19 standard today, and utilizing that, which is our intent when  
20 we move forward on our automation, so if you look at it from  
21 that perspective and you pick the standards that are in  
22 place today, and that they're interoperable, the whole thing  
23 is interoperability here because you're going to have the  
24 Home Area Network that's going to influence, you know, the  
25 controls at the highest levels on the system eventually when



1 you have enough penetration. And so, what we need to keep  
2 in mind is interoperability and security as we go forward  
3 with the technologies that we do.

4 COMMISSIONER WEISENMILLER: Just the last question,  
5 in terms of Edison's distribution system, what are your  
6 experiences at this point in terms of PV installations? Are  
7 you finding it similar to Kevin? I assume you don't have as  
8 many PV systems out, at least not as many affected circuits?  
9 Is that right?

10 MR. MONTOYA: Yeah, that's correct. One of the  
11 things that we do have that's a little different is we have  
12 to install 100 megawatts of solar rooftop PV per year for  
13 the next five years. And what we're finding is that the  
14 roofs that are big enough to handle a one or two megawatt PV  
15 array are few and far between, and they're usually  
16 clustered. And so, as we've looked at the queue of where  
17 these PV arrays are going to be installed, or are proposed  
18 to be installed, we're finding, you know, a 10 megawatt  
19 circuit that as a queue in it with 21 megawatts of PV. So,  
20 what we've done is we've actually developed some models and  
21 we've done a lot of modeling of the PV inverters, we've  
22 actually physically tested the inverters to verify the  
23 models, and we're finding some interesting things like very  
24 high voltages when the inverters and the solar are isolated  
25 with the low loads, and so we're looking at what is the best

1 way to really achieve the controls that are going to be  
2 necessary for the higher penetrations of the solar PV.  
3 We're taking the view that we're going to try and make it  
4 successful to integrate all of that PV and other PV, so  
5 we're looking at tools to help us do that.

6 COMMISSIONER WEISENMILLER: That's great.

7 MR. MONTOYA: Okay, now I'd like to introduce Lee  
8 Krevat from San Diego Gas and Electric.

9 MR. KREVAT: All right, thank you very much for  
10 welcoming me here. I'm going to talk about some conclusions  
11 and recommendations, a lot of which you have already heard  
12 spread throughout not only this EPRI presentation, but the  
13 earlier presentations from this morning. So, feel free to  
14 ask questions if I need to clarify anything that I say or  
15 that is up on the slides.

16 As we talked about probably that the main driver of  
17 a lot of what we are doing in Smart Grid right now are the  
18 energy policy goals, you know, all the IOUs have seen that  
19 there are issues, even asking about distributed generation  
20 and photovoltaics. At the end of 2009, we had 10 circuits  
21 of our approximately 900 that have - this is just San Diego  
22 - for example, 20 percent or more, with five having 40  
23 percent or more at certain times of photovoltaics. So, we  
24 are already seeing various types of issues. We're starting  
25 to use different types of sensors, we have plans to use

1   synchronphasors to measure what's happening so we have some  
2   data with that, and we think we have a couple of solutions  
3   coming online to smooth out that intermittency on the  
4   distribution level, although that is going to be harder to  
5   do as it becomes more and more circuits over time. A second  
6   driver that has really come on strong over the past year to  
7   two years is really empowering the consumers to take  
8   advantage of more open markets, so, because the Smart Meters  
9   are out there, we're approaching two million in probably a  
10   month from now, but we'll take two million out of our 2.3,  
11   so we're closing in on completion here. Our customers are  
12   hearing more and more, and I think all IOUs have this, where  
13   they understand that the data is out there, so now they're  
14   starting to say, "What are we going to do with the data?"  
15   Various consumer advocacy groups are asking, "What can we do  
16   with the data?" So, it's really driven very quickly Smart  
17   Grid investment into that area and, again, all the IOUs are  
18   working in conjunction to move in that area. I will say  
19   what is exciting about the process that we did is that the  
20   utilities, the major utilities in California, are all very  
21   much, although we're doing different things and for  
22   different reasons, because of what is evolving in our Grids,  
23   we are in the same direction. There is nothing that we  
24   absolutely disagreed about, it was really more fine tuning  
25   to get statements we could all come to agreement on, and

1 that is a very good thing since we are trying to get  
2 standards and not having to individually shoulder the burden  
3 of all of the advancements we're trying to make. I was in  
4 New York last week and a New York Commissioner spoke about  
5 no desire to go first, and instead to just look at  
6 California. So I think it's really important that, while  
7 the rest of the country - it may not be moving like we are,  
8 but we at least in California are in sync.

9 Another big thing to come out of not necessarily  
10 just this effort, I'll give a lot of credit to the SB 17  
11 effort to put together a Deployment Plan, is that in  
12 addition to the different utilities looking together, the  
13 domains within each specific utility are working together  
14 more than ever. Really, at the beginning of this effort,  
15 each domain customer, service provider, or transmission  
16 distribution operations really looked at it from a very  
17 within their domain perspective as to what they wanted to do  
18 as they went forward. And as we're trying to build a  
19 cohesive road map across the different domains, it has  
20 forced us to get all the players together in the room and  
21 talk about solutions and how they impact different domains  
22 with the utility, and it's exciting to go from a few number  
23 of people that really have that kind of broad knowledge to,  
24 through discussion, having a much larger number of people  
25 within the utility that understand how the different parts

1 of the utility work together.

2           And then, and you've heard the benefit areas that  
3 we've talked about, it is a concern of all of ours that  
4 people might think that this is all going to be about cost  
5 payback, and some of the projects will lower costs, without  
6 a doubt, but many of the projects we're doing, you know, the  
7 benefits lie in continuing to provide reliable energy in the  
8 face of great change. And also, something that has been  
9 talked about very much today is the national security  
10 perspective of having distributed generation and being able  
11 to leverage it in case transmission-based energy is lost in  
12 some amount of time, also a benefit of the Smart Grid.

13           So, recommendations, you asked a question earlier,  
14 Commissioner, about how we avoid - this is how I interpreted  
15 the question, you can correct me - at one point, we have an  
16 urgent need to move forward because we have these - our  
17 customers have goals to be able to leverage their data and  
18 save costs, we have the energy policy goals which are also  
19 customer driven, as we've seen, and we have the reliability  
20 goals out there, so our customers also, it looks like, and  
21 in California we have a huge number of orders for Nissan  
22 Leafs, I think about 40 percent are California, of all the  
23 orders that were made, so this is really about the customer  
24 and we do have an issue with - it's coming on fast, but we  
25 don't have the standards in place. And, really, the answer

1 there is to be careful and to start doing these  
2 demonstration projects where we do try to get out in front  
3 and understand how this is going to work, and I would  
4 caution that it's not going to be perfect, we are going to  
5 make mistakes. I think each utility probably has some  
6 directions they've moved in that they've had to back out of  
7 in order - because they went a little too fast, although  
8 there were reasons that we went that fast, we had to solve  
9 issues, so some of those solutions didn't work out as well  
10 as we wanted, and we've had to re-do some programs, but we  
11 want to minimize that. And even if you choose right, I'll  
12 give an example, not the Beta Max VHS, I'll use VHS and CDs,  
13 you know, so VHS was a standard, the price was driven down,  
14 you could buy a VCR for under \$50.00, but still, eventually  
15 came a better technology. So, we're never going to expect  
16 that, just because we say something is a standard, it isn't  
17 going to prevent a better technology to come along. So  
18 we're going to see that also and that's going to create some  
19 issues because where utility assets are there for a long  
20 time, it's likely that, while we're happy with the  
21 technology we've chosen, while it does become a standard,  
22 that there might be following standards that we won't be  
23 able to take advantage of as soon as we want because of what  
24 we put in early.

25 Also, I already pointed out, I guess the video

1 technology, if you look at number nine, as far as leveraging  
2 experiences from other industries, so you really could look  
3 at any industry where technology, digital technology, has  
4 come into play, and it's really totally changed that  
5 industry, so we're certainly looking at Telecom, but we're  
6 really looking at a number of industries beyond Telecom  
7 where standards played a big role. Also, where competition  
8 played a big role, we haven't talked about that much, but  
9 it's certainly clear that advancements in technology from a  
10 distributed generation perspective, storage, other energy  
11 resources, fuel cells, for example, are going to bring some  
12 - have already started to bring, and will continue to bring,  
13 more and more competition to the energy industry.

14           So, really, again, I think as has been said a number  
15 of times, but the Smart Grid is not the energy policy, but  
16 if we're going to meet the energy policy that we have, as  
17 well as just customer facing empowerment policies and meet  
18 our reliability goals, then we really need Smart Grid to  
19 make advancements quickly, and by the way, we've put these  
20 road maps together, but in our experiences, every time we  
21 take a new look at our road map for the next 10 years, we  
22 haven't pushed anything back yet, and things continually are  
23 moving up. In the last year, we moved maybe 40 percent now  
24 of our road map up five years. Two years ago, people  
25 weren't talking about electric vehicles, they weren't

1 talking about customer data, they weren't talking about  
2 managing that with an iPhone and an iPad because there  
3 wasn't an iPhone or an iPad. So, this is really moving fast  
4 and will continue to move fast, which is why we're not  
5 really trying to make a prediction or a forecast of exactly  
6 what this going to look like, but we are trying to put a  
7 vision out there, a road map that we can use as a guide,  
8 understanding that it's going to change a lot as we move  
9 forward.

10           And then the last caution is just the three IOUs for  
11 really good reasons are focusing on different aspects of the  
12 Smart Grids, in some places we're looking at doing it the  
13 same way, or similar ways, but I think that's good because  
14 that also brings innovation and, when we see one of the  
15 other utilities do something, this is really - I should say  
16 it's globally - we just met recently with Country Energy in  
17 Australia, and actually it's them, that they have a  
18 potential solution for the intermittency on the distribution  
19 side, so I think it's healthy to talk to other utilities.  
20 But within California, because we're kind of in the same  
21 place, I will say, I know PG&E struggled with their  
22 deployment, I think that, if you look, they have a lot of  
23 customers now getting their data, looking at their data,  
24 getting alerts, so it's also very positive story there if  
25 you choose to look at the positive. And even another



1 positive, while it might not feel like it, PG&E, Edison, and  
2 San Diego Gas & Electric got to look at results based on how  
3 they did certain things, and we were able to learn from it.  
4 And I think that we have to all be open to sharing our  
5 mistakes so that we can learn from each other and not repeat  
6 them.

7 COMMISSIONER WEISENMILLER: Thank you. I have three  
8 areas I want to talk about. One is, of the Nissan Leaf,  
9 what percentage of those are in San Diego? My impression is  
10 you guys are really focused on trying to be a leader there.

11 MR. KREVAT: Yes. So we have an approximate number  
12 from Nissan, they have not committed to this number. And  
13 they may deny giving it to me, but approximately 2,000, so  
14 about 10 percent of the Leafs nationally. I know that,  
15 supposedly, on the 23<sup>rd</sup> of December, or next week, there's  
16 another shipment coming of Leafs down to San Diego and  
17 another one soon after that.

18 COMMISSIONER WEISENMILLER: And how are you dealing  
19 with the potential for multiple vehicles on a single  
20 circuit?

21 MR. KREVAT: Yeah, so, when I was ordering my Leaf,  
22 my daughters were with me and my teenager, who is 17, who  
23 I'm looking for a used car for said, "Dad, get me one also."  
24 So it wouldn't have been the same, you know, transformer, we  
25 live in the same house, and I was telling that story to a

1 San Diego organization, and the head of that organization  
2 said she was looking at buying two, as well. So I think  
3 these are real issues that are going to happen and what  
4 we're doing now is we're actually leveraging the Smart Meter  
5 data that we have hourly, so we're looking at a transformer  
6 and the meters that are attached to that transformer, adding  
7 up the hourly data hour by hour, and therefore building a  
8 load profile for each transformer. And from that, we have  
9 already gotten data that shows some transformers on the  
10 hottest day of the year are over 200 percent capacity  
11 already, a number are at over 150 percent. So, if you look  
12 at that data, and then you're aware of an electric vehicle  
13 and someone signs up for an EV rate, calls us up as part of  
14 the process, then we'll be able to apply that predictive  
15 data to that load profile on a hot day and see where we're  
16 going to have issues. And luckily, even though there are a  
17 lot coming, we will have some time as it ramps up to learn  
18 and continue to improve the process.

19 COMMISSIONER WEISENMILLER: Good. Another question,  
20 a lot of the electric system historically has had  
21 depreciation over many decades, depreciation schedules over  
22 many decades, and still in use 50 or 60 years later, where  
23 obviously your iPhone or whatever has got a much shorter  
24 life. What sort of depreciation schedule are you using for  
25 the more computer electronic aspects of the Smart Grid? Or

1 what would you suggest?

2 MR. KREVAT: Okay, that's a difficult question.

3 What we are trying to - we have a project called "Grid Com"  
4 which is basically a wireless cloud over San Diego, and so  
5 we're trying to build it out so that the communications  
6 aspect is modular and depreciate that over five to seven  
7 years, whereas the parts that we expect to last longer were  
8 depreciating over a more traditional length of time and in  
9 some areas we can't do that, and with the Smart Meter,  
10 that's difficult to do the Smart Meter, I think it's a 17-  
11 year depreciation on that product.

12 COMMISSIONER WEISENMILLER: And I guess,  
13 historically, it was about 30 for the old meters?

14 MR KREVAT: I believe so. And the software on the  
15 back end, that's more of the - I think we're going for seven  
16 or 10 years on the software on the back end, and the  
17 hardware five years or seven years for a refresh, so  
18 different aspects of the system, different timelines.

19 COMMISSIONER WEISENMILLER: That's good. Obviously,  
20 we've looked at lot at Smart Grid implications for the  
21 electric system. As a joint gas and electric system, you  
22 know, is there any synergism here with your gas pipeline  
23 system and distribution system, elements that you can and  
24 should be rolling out there?

25 MR. KREVAT: And so we're investigating that now,

1 especially, again, with Grid Com coming into play, we'll  
2 have communications systems. So, we're looking into how we  
3 can leverage technology. If you look at the definition, it  
4 could apply to gas, we're just trying to find some of those  
5 positive benefit implications for our customers, trying to  
6 identify those. But we already do have a piece, our gas -  
7 in order to get the benefits from not having to read meters  
8 manually, we have gas modules on our gas meters that  
9 communicate with the electric meters. So, in a way, we're  
10 already having it touch our gas system.

11 COMMISSIONER WEISENMILLER: I was at a hearing last  
12 week in San Bruno on that incident and I was trying to  
13 figure out also if there are any implications of Smart Grid  
14 for those types of concerns.

15 MR. KREVAT: Well, I will say we are looking - I  
16 can't go into details because we haven't really figured our  
17 investigation, but we are looking at how to be able to  
18 measure more remotely and respond to things, you know,  
19 leveraging - again, it's about applying digital technology  
20 to the Grid. And that could apply to other grids, as well.

21 COMMISSIONER WEISENMILLER: Okay, thanks.

22 MR. KREVAT: Thank you.

23 MR. GRAVELY: So we have a few minutes, if there are  
24 burning questions in the room here, I would say for online,  
25 if you have questions and would type in the questions, we

1 can potentially address those at the very beginning of the  
2 second hour after lunch. Is there anybody here who would  
3 like to talk to the utilities or Angela about their project  
4 at all? Okay, we'll break for lunch. If you have  
5 questions, give them to myself or Suzanne, maybe we'll start  
6 with just a couple questions beginning at the next session,  
7 but we'll come back and we'll hear from -- after lunch at  
8 1:00, we'll reconvene and we'll hear the other two  
9 technology road map statuses. Thank you very much.

10 (Off the record at 11:59 a.m.)

11 (Back on the record at 1:06 p.m.)

12 MR. GRAVELY: Go ahead, Merwin.

13 MR. BROWN: Okay, thank you. I'm Merwin Brown with  
14 the California Institute for Energy and Environment with  
15 University of California. And the question I'm asking  
16 combines a number of points that I heard in the  
17 presentation, so it doesn't necessarily go to any one point.  
18 And what's behind this question is trying to get a sense of  
19 the urgency for the development of new technologies for the  
20 Smart Grid, and perhaps this also goes to the need for  
21 changing certain policies, but that's not my direct  
22 interest, it's the new technologies in order to meet the  
23 State's energy policy goals, particularly renewable  
24 integration by 2020. And there were some points made that  
25 I'd like to follow-up on. One of them was that, in the road

1 map, it showed demand response not really being utilized  
2 until after 2020. And also, a comment was made that, if we  
3 had to, we could meet those goals with brute force which I  
4 interpret to mean sort of we would build our way out of this  
5 problem with the traditional transmission lines,  
6 distributions lines, traditional power plants, using  
7 traditional old technology. And I guess I would ask the  
8 question, how comfortable or confident are we that, one, we  
9 won't need demand response before 2020, and that we won't  
10 need these other new technologies, that we will find it  
11 increasingly difficult and expensive to try to build our way  
12 to meeting the 2020 goals? And, again, I'm asking the  
13 question in the context of is there a sense of urgency that  
14 perhaps the road map doesn't bring to bear on new technology  
15 development.

16 MR. GRAVELY: Angela can help me, but I've read the  
17 chart to say that the DR's ancillary service was in your  
18 five to 10 year window, not your after 20-year window, so it  
19 was a medium - not a short term, but a medium, so it would  
20 still be prior to 2020, but not necessarily right away. Is  
21 that correct?

22 MR. BROWN: I'll take the demand response out of the  
23 question, but I still have the one about the brute force.  
24 Can we build our way out of this problem?

25 MR. GRAVELY: Right, so anybody want to address

1 that? So I'll help a little bit from my exposure with them  
2 before, and that is, I think we realize from the California  
3 perspective, permitting and other things, that the brute  
4 force approach will work only in a dire emergency and a  
5 small amount of the problem, so I suspect we will - and  
6 Commissioner Weisenmiller, I do think over lunch your  
7 question about the vision, and I would say, as we go into  
8 the next presentation, I think the piece that I saw that  
9 wasn't clear there was the desire and a vision of the Smart  
10 Grid creating opportunity for commercial growth, creating  
11 opportunity for new products, and encouraging the expansion  
12 and growth of the commercial market, so we're going to  
13 actually start now hearing a little bit more from the  
14 vendors and the commercial side, but I would say most of the  
15 vendors I've talked to, if we developed a vision in the  
16 state, they would like that vision to include a desire or a  
17 goal to open the market up for competition to allow  
18 commercial products to grow and thrive, so that we actually  
19 take that extra step, as opposed to just take what comes.  
20 And with that, I'd like to turn it over to, I guess, David  
21 is speaking today here? There are a couple of people here  
22 from the Jet Propulsion Lab. So a reminder in this case  
23 that they're about half way through their contracts, so they  
24 have begun research, they are holding many of the technical  
25 discussions, and they have begun to formulate their

1 information, so you have the ability to influence them, but  
2 they may not have all the answers to questions you have.

3 MR. TRALLI: Thanks, Mike. It's my privilege to  
4 represent the perspective of the manufacturers and vendors  
5 on our team. The title of our project as we proposed it was  
6 "Road Mapping the California Smart Grid through Risk  
7 Retirement." Risk Retirement is a term that we used in the  
8 Aerospace industry to define the set of actions that one  
9 must do in the course of a program or project to mitigate or  
10 move those risks to your requirements, to meeting your  
11 requirements. So, one of the things I want to say before we  
12 get started is how do we know as a community that we have  
13 met our goals of 2020? How do we know that we've met our  
14 goals of 2020? How do we know that we have the Smart Grid  
15 that we thought we would? And how do we know over the next  
16 decade that we're making progress towards meeting that 2020  
17 Smart Grid?

18 So, I'm proud of listing everybody who contributed  
19 to this study because it shows the amount of interest that  
20 we have from this community in giving their perspectives to  
21 what we were doing. It was our responsibility as a project  
22 lead to gather all this information and put it in a manner  
23 that makes sense and that is quite a challenge and we are in  
24 the middle of that. We've held three workshops, one in  
25 Pasadena, one in Sacramento, and one in Washington, D.C.,



1 and we have an incredible amount of information. A lot of  
2 these companies were members of our trade organizations that  
3 are part of our project advisory committee through the  
4 American Council on Renewable Energy and the Electrical  
5 Manufacturers Association, and then also the Gas Technology  
6 institute. So, what we have here is some preliminary  
7 findings and recommendations from what we've been able to  
8 put together for the purposes of today's joint workshop.

9           The Commissioner asked a question at the beginning  
10 that we share the view that we have to offer a definition of  
11 Smart Grid in any conversation or presentation on Smart  
12 Grid. This is the one that we went with in our proposal  
13 which is attributed to Austin Energy: "Smart Grid is the  
14 seamless integration of electric grid, communications  
15 network, and necessary software and hardware to monitor,  
16 control, and manage the generation, transmission,  
17 distribution, storage, and consumption of energy by any  
18 customer type, industrial, commercial, residential." But  
19 more than that, for us, it also encompasses the integration  
20 of renewable energy and electric vehicles, and also reflects  
21 the importance of appropriate policy, regulations, and  
22 standards.

23           Now, while I will not talk specifically about policy  
24 and regulations, I will say that our first workshop back in  
25 June, most of the time of that two-day workshop, was spent

1 on looking at issues and barriers related to regulations  
2 that might get in the way to meeting these targets, and that  
3 will all be part of the final report.

4           So the landscape, as we see it is this, that major  
5 changes are need in the electric and the natural gas  
6 infrastructure to meet the anticipated energy needs and to  
7 address climate issues in the next decade and beyond. The  
8 key point in natural gas is the fact that it is a major  
9 component in the distributed generation space, and we'll  
10 talk about that. The concept of the Smart Grid is driving  
11 the development of advanced energy conversion, storage, and  
12 reliable power delivery technologies and also the  
13 integration of renewable resources and more efficient grid  
14 operations. And this last point, that clean transportation  
15 and greenhouse gas emissions from the grid itself also  
16 forces us to examine our efficiency and consumption  
17 considerations, this points to the California loading order,  
18 that you don't just look at clean supply, that we need to  
19 start by reducing consumption and garnering greater  
20 efficiencies.

21           Our vision is this, luckily this wasn't a business  
22 school exercise of seven words or less: "Reduction in  
23 energy consumption and greenhouse gases from electricity  
24 production and clean transportation are linked to provide  
25 electricity producers, distributors, and consumers with

1 options for their preferred business models and operations  
2 choices, means that we need to have sustainable, cost-  
3 effective, secure, and reliable solutions that not only must  
4 be developed, but demonstrated in the field, matured, and  
5 then implemented." So, we start pointing to the natural  
6 progression of technology maturation and technology risk  
7 reduction through the demonstrations and scale-ups so that  
8 we can engender commercialization not only first year risk  
9 reduction by the Government and the State, but also  
10 investment from the investment community.

11           We feel that a new paradigm is evolving where  
12 generation, storage, and control are more distributed, along  
13 with attendant modification to grid interconnections.  
14 Commissioner had a lot of questions on distributed  
15 generation, which we'll talk about. And in terms of  
16 enabling that distributed generation, we feel that  
17 microgrids are at the heart of this paradigm, providing co-  
18 generation options with integration of renewables, including  
19 rooftop PV systems and combined heat and power, while also  
20 enabling options for reduced consumption through such things  
21 as demand aggregation, distributed storage, EV  
22 accommodation, and ultimately net zero buildings with the  
23 2020 residential target. This will ultimately lead to a  
24 Smart Grid that provides the ratepayer with a greater voice  
25 in energy flexibility, efficient operations, and cost

1 structures. Some of these elements have been touched upon  
2 in the morning sessions.

3           So, in terms of generating our baseline for 2020,  
4 there were some key technologies which I'll list in a couple  
5 of slides that we asked our project members to define for  
6 us, not only the current state of technology, but what  
7 technology is going to be in 2020, and how do we get from  
8 2010 to 2020. It's what they call their current state in  
9 these various key technologies that we're defining as part  
10 of our 2010 baseline. I won't read them all, but solar and  
11 wind integration, on the solar side, we have the CSI, you  
12 guys can look this up in the presentation package, in demand  
13 aggregation you have some very early projects in net zero  
14 buildings that touch a little bit on that, or demand  
15 management zones, which we'll talk about later.

16 Distribution automation, there is a lot of proprietary  
17 products developed by a small number of OEM's, and there's  
18 research needed to see how much this AMI with all these  
19 meters out there can be suitable for stretching distribution  
20 automation applications beyond the substation, more to the  
21 meter part. Government is leading a lot of the development  
22 of standards and the control and protection products and  
23 deployment like transmission communication systems and AMI,  
24 and these are snapshots from our project team.

25           EV accommodation, there is a lot of technology

1 factors and a lot of load impacts that have been mentioned,  
2 and a lot of this needs to evolve, it obviously needs  
3 advancements in battery technology, charging infrastructure,  
4 and also that communications and control that enables the  
5 accommodation of EVs on the Grid. In net zero construction,  
6 you have the start of distributed generation at the  
7 community residential level, energy efficiency, tax credits,  
8 distribution generation, energy efficiency, AMI and control,  
9 again, for proprietary products, by a small number of OEM  
10 vendors, some source proprietary technology by smaller  
11 numbers. A lot of discussion on bandwidth issues and mesh  
12 networks and options there, and the communication space,  
13 large and small vendors, government leading standards, and  
14 customer benefit is not really clear.

15           And then microgrids, three different scales,  
16 substation level like in the Maui project, feeder level like  
17 DOD 29 Palms with GE, multi-facility direct load control,  
18 and single facility, like a project going on in British  
19 Canada. So, we can start seeing things happening, but our  
20 message really, as you'll see, is that we need to look at  
21 the Smart Grid as a system, and see how we can better  
22 integrate all these demonstrations and stuff towards meeting  
23 the 2020 target. Lastly here, storage. There is some  
24 storage starting to meet daily electrical demands, energy  
25 storage is derived from the shifting of energy production

1 from load demand periods to high demand periods, pumped  
2 hydro-compressed air, steam generator options, and we need  
3 development of more options for large-scale stationary  
4 storage and lithium ions, ultra capacitors, flywheels, there  
5 is a flywheel company in California, a recipient of Stimulus  
6 funding, in Mike's list, in his presentation, flow  
7 batteries. So, that's kind of our snapshot of some key  
8 technologies 2020.

9           In terms of microgrids, our definition of microgrids  
10 really refers to a document, a CEC report of 2007, a joint  
11 workshop between CEC and Department of Energy in 2007, where  
12 the microgrid was defined as an integrated power delivery  
13 system consisting of interconnected loads and distributed  
14 energy resources, often with its own storage. This connects  
15 with the Grid or macro-grid, so you have an interconnect  
16 there, integrated DR, it's capable of providing continuous  
17 energy to a significant portion of the internal load. The  
18 Grid possesses independent controls and can island from the  
19 larger Grid. I think there is a lot of discussion of  
20 options of the Microgrid as an architectural option for what  
21 we're trying to accomplish. The Microgrid is an  
22 architectural option for enabling distributed generation.  
23 It's an option for modularity, for introducing technologies  
24 out of modular levels so that we can then replace them with  
25 more advanced technologies as the years go on, as Lee

1 pointed out from San Diego Gas & Electric. It also offers  
2 more control, possibly more of a security risk, maybe it  
3 minimizes the number of interconnections with the Grid, but  
4 I think another interesting thing that we need to look at  
5 with microgrids is from the point that Mike mentioned when  
6 he introduced me, which is from the perspective of  
7 generating new business and new market opportunities and  
8 capabilities that we can develop in the state as a fleet  
9 leader not only for the nation, but exporting capabilities  
10 that we know in the Third World and in other parts,  
11 microgrids are the way that they're going to go because they  
12 don't have the old electric power infrastructure that we  
13 have in this country, that we have to maintain, while we  
14 also re-architect things to meet a 2020 goal.

15           So this report is available online, I recommend that  
16 you take a look at that, it's 2007. How do we get there?  
17 This was the key question. The Smart Grid we recognize is  
18 an engineering system whose complexities not only span  
19 technological and operational issues, but obviously policy,  
20 regulatory market, and social factors. And the discipline  
21 that we're trying to bring into this study and onward is to  
22 plan for the design development, deployment, and  
23 sustainability, by looking at what those top level  
24 requirements of the Smart Grid are. Those top level  
25 requirements are given to us by the IEPR, okay, and we'll

1 get to that. So, advanced energy conversion storage,  
2 reliable delivery, renewable resources, clean  
3 transportations in the form of EVs are all integral to that  
4 system architecture. And we must not forget that the  
5 expectations and benefits to the ratepayer must also be part  
6 of that optimal solution. So the risk retirement is a  
7 system level enterprise that we need to do through an  
8 integrated series of key demonstration projects. We're  
9 going to start in the next three years by looking at the  
10 progress of all those projects on Mike's list that are  
11 taking place in California, a lot of those are in placement  
12 of advanced meters, some of them are energy storage, there  
13 is one that is looking at flywheels, and we need to see  
14 where all that stuff takes us and to find over the next 10  
15 years what additional risk reduction demonstrations we need  
16 that tie back to all the objectives that we have from the  
17 IEPR, so that we know we're getting to where we need to be  
18 in 2020. So, these demonstrations are to identify,  
19 prioritize, mitigate, and systematically buy down the risks  
20 of key technology and Smart Grid subsystem areas, and it is  
21 for validation and verification of integrated systems within  
22 the Smart Grid. Not only did you ask the question, did we  
23 do what we wanted to do, but are we doing the right thing to  
24 get to 2020 and beyond? So, these demonstrations,  
25 assessments, and evaluations look at technical performance



1 and cost, they look at controls and interfaces,  
2 interoperability, they look at the possibility of scale-up,  
3 safety, reliability and security, codes and standards,  
4 business model feasibility for the utilities, for the  
5 vendors, for the consumer, market transformation needs, and  
6 the leveraging between applications. And again, as was  
7 mentioned earlier, the lessons learned, lessons learned  
8 amongst and between utilities, technology developers, and  
9 the ratepayer. We benchmark, we develop best practices, we  
10 learn from that, and we march to the 2020 target and beyond.

11           So, as part of our study, we designed a couple dozen  
12 questions that we offered to ACORE on our project advisory  
13 committee and they distributed this to their membership, 214  
14 people participated, and these are just a sample of the  
15 questions and the answers that came from that membership  
16 survey. The greatest barrier to establishment of the Smart  
17 Grid, 1) lack of consumer knowledge and education; I think  
18 we've seen that before; potential loss of consumer autonomy  
19 and control, that was a concern; not enough financial  
20 incentives, which of course we know; and then, no regulatory  
21 regulation. In the interest of time, I won't read these  
22 sub-bullets, but we can talk later, you obviously have a  
23 copy of the presentation online. What are the three most  
24 important technologies for Smart Grid implementation and  
25 why? Control and communications, of course, is big;

1 advanced metering infrastructure, which of course we are  
2 moving forward with that; and then, the integration of  
3 photovoltaics and wind, and storage for firming up  
4 intermittent resources.

5 Study approach. Basically, as the project lead on  
6 this, we wanted to rely on the input of a wide range of  
7 Smart Grid technology manufacturers and vendors through a  
8 series of workshops and surveys, and continual e-mail and  
9 exchanges and discussions, and to develop the top down  
10 system engineering approach to road mapping or proscribing  
11 what the key actions need to be to meet the objectives. I  
12 will share with you key technologies and use cases. We've  
13 held some workshops and the underlying engine of process to  
14 what we're doing, which we're not going to talk about today,  
15 is that Risk Retirement approach of understanding, what are  
16 our high level objectives, which are coming, and you should  
17 know them, and we listed it through workshops, what are the  
18 risks and barriers at all levels? Physical, functional,  
19 market, operational, regulatory, okay, that are in the way  
20 or potentially in the way of meeting those objectives, and  
21 then what do we do to mitigate those objectives in time so  
22 that the more we beat down those risks or buy down those  
23 risks through demonstrations, the more we know that we are  
24 attaining the objectives set forth.

25 So, the key technologies that came out of our

1 workshops were storage, rooftop PV, demand aggregation, the  
2 biomass base CHP, microgrids, CCUBE, Command Communications  
3 and Control, distribution automation, AMI, EV accommodation,  
4 and integration of solar and wind towards meeting the RPS  
5 targets. We defined six use cases which are the core of  
6 maybe defining some interesting, or pulling together some  
7 interesting future demonstration projects around the role of  
8 natural gas and DG for CHP, combined with biomass, looking  
9 at command and control, and distribution automation,  
10 including what we can do with AMI, communications and  
11 control for the accommodation of plug-in hybrids and plug-in  
12 electric vehicles, biosources, biomass as part of the RPS  
13 target with a proscribed target for biosources and for fuel  
14 cells for energy storage and working with CHP, and then  
15 large scale storage to firm up wind and solar. The policy  
16 goals are these nine - it's kind of funny that there are  
17 question marks - those should be 1 through 9, that's not me.  
18 So these are the ones that we pulled out of the IEPR, these  
19 are the ones that the top down system analysis speaks to.  
20 We have to do things that we can link through our system,  
21 have something to do with doing a better job of attaining  
22 these objectives to 2020 and beyond. And then we also  
23 looked at six additional objectives that came out of a DOE  
24 study for their Smart Grid work, but we're really speaking  
25 to these top nine here.

1           So what we did here, and we can talk about this  
2 later, we have the charts up on the wall behind the  
3 Commissioner, but what we wanted to do was develop a  
4 framework for our roadmaps, and I think somebody, I think it  
5 was Angela that said, you know, we have road maps for  
6 different technologies. I don't think we're going to have a  
7 singular roadmap because there's going to be a series or suite  
8 of roadmaps where each one of these key technology areas are  
9 core components of the Smart Grid system. But what we did  
10 is identify the fact that we have the reduced consumption  
11 side, and then we have the clean supply side, okay? And  
12 that pays attention to the loading order in the State. And  
13 down the middle comes the existing infrastructure, this is  
14 a timeline from left to right. Down the middle is the  
15 existing infrastructure of the electric grid and the natural  
16 gas distribution grid. And so, what we noticed was that out  
17 of those nine objectives, there are not nine independent  
18 objectives, they are nestled, you start with number one as  
19 33 percent RPS; we have small hydro, we have geothermal, we  
20 have centralized PV, centralized wind, we have biomass, but  
21 now within that, there's a specific target for biomass in  
22 the IEPR, and there's a specific target of 5.4 gigawatt  
23 increase in CHP, and the biomass is linked to the CHP, and  
24 the CHP is linked to natural gas to supplement biogas  
25 generation. And then you have rooftop PV. Rooftop PV is

1 part of reaching a solar renewable target, and so these PV,  
2 CHP, biomass, are increasingly distributed, and how do we  
3 enable and accommodate those distributed energy resources  
4 into the utility grid? Well, one architectural option is  
5 microgrids, and that is something we want to look at.

6           On the consumption side, or demand side, there's  
7 overall reduction target, a target and reduced consumption  
8 overall, there is reductions in peak demand, there is the  
9 ability to meet that peak demand through demand response,  
10 either dynamic pricing signals, voluntary programs, or  
11 something exercised by the utilities. Then, you also have  
12 efficient production, distribution, net zero construction,  
13 this notion of demand management zones, net zero  
14 construction that is kind of stalled right now because of  
15 the state of the real estate market and the economy, so we  
16 need to understand where these things are going to start  
17 happening and how they're related. And then you have EV  
18 accommodation. EV accommodation that will put a load on the  
19 grid, EV for resident storage, for frequency regulation, how  
20 is this all going to play out, and how do we accommodate  
21 electric vehicles? And microgrids, multiple scales -  
22 commercial, industrial, residential. Where do we need to do  
23 Risk Retirement demonstrations so that we know that these  
24 demonstrations address multiple targets, and one  
25 demonstration is linked to the other and related to the

1 other, and make an assessment midstream, like five years  
2 from now, to see how we're doing, where do we need to re-  
3 architect, and where do we move forward on to 2020?

4           So, the preliminary findings were that barriers  
5 cited by our industry partners are not exclusively  
6 technical, they are economic, financial, regulatory, and  
7 social. Stimulus funding is good, but it's not enough to  
8 overcome the lack of capital needed for large scale  
9 deployment. Distribution grids are not set up to evolve  
10 into grids or microgrids, there will be increased  
11 opportunities for physical attacks, modularity, microgrids,  
12 breaking up the grid into smaller chunks affords you a lot  
13 of benefit on one hand, but also introduces other portals  
14 for cyber threats, so that needs to be traded off. Time of  
15 use retail pricing changes that interface between retail and  
16 wholesale market systems, and then Smart Grid system models  
17 that look at all the stakeholders are badly needed. I think  
18 it was Recommendation 6 out of SDG&E that said we need to  
19 look at architectural options and look at things as systems  
20 to systems, we couldn't agree more. And there is much  
21 development needed in storage.

22           Energy storage is needed for a variety of Smart Grid  
23 applications, peak shaving, bar support, renewable energy  
24 integration, electric vehicles, frequency regulation, and  
25 islanding - islanding, that is another benefit, perhaps,

1 that if you have a potential brown-out or something, you can  
2 maybe control it in near or real time from cascading by just  
3 breaking things down in to localized load and supply  
4 domains. Distributed generation in combination with  
5 distributed storage offers many opportunities to achieve  
6 greatest efficiency and operational benefits. Biomass for  
7 reducing greenhouse gasses, and the interplay with that,  
8 with natural gas a clean fossil fuel in the CHP, and the  
9 impact and benefits of electric vehicles. I will move on.  
10 This was through a discussion with folks we know at General  
11 Motors, the primary goals of OEM's, of course they have to  
12 develop a product that is saleable and welcomed in the  
13 marketplace. Everybody knows that we want to reduce our  
14 dependency on oil and reduce greenhouse gas emissions, there  
15 is the whole issue of charging standards and interfacing  
16 with the grid.

17           Impact on the grid - you must integrate with the  
18 Smart Grid infrastructure with minimal effort and expense,  
19 so there is a lot of communications and control issues that  
20 need to come in there, on top of the issue that we talked  
21 about earlier, which is, if the electric vehicles are very  
22 clustered, they put a load onto the circuit, that creates a  
23 problem, so how are we going to manage that. And other uses  
24 for EV's, I won't get into this because I'm probably out of  
25 time soon.

1           Let's see, Incentives. We need to incentivize the  
2 consumers to engage in Smart Grid related activities, maybe  
3 some joint projects between the ratepayers and utilities,  
4 utilities and industrials and commercials, conduct studies  
5 and analyses, education campaigns, we saw that earlier  
6 today, conduct additional demonstration projects for Smart  
7 Grid functions and Smart Grid elements under the context of  
8 a complex system, microgrid demos of which there are some  
9 already in-state. Let's see, ensure that regulations do not  
10 unbalance value propositions, EERS for the net zero issue,  
11 and others here. So, these are all documented. Energy  
12 storage, lack of appropriate energy storage was the most  
13 frequently mentioned technological barrier towards meeting  
14 the Smart Grid related goals by supplier representatives at  
15 our workshop, that's how we would use storage.

16           Recommendation - California should undertake a  
17 carefully planned campaign to address the need for language  
18 updates and tariffs and standards to ensure proper  
19 evaluation of storage and a range of Smart Grid  
20 applications. Let's see, energy storage - incorporation of  
21 energy storage and microgrid operations, coupled with  
22 microgrids, and then looking at this. Let me mention that,  
23 on the electric vehicle accommodation, our lead for that was  
24 General Electric, who also provided some stuff on the  
25 communications and controls for accommodation for Electric



1 Vehicles. National Electrical Manufacturers Association  
2 took a cut at distribution, automation, and demand  
3 management zones. We have A123 Systems on the team that  
4 helped us with some of these stationary storage barriers and  
5 ideas, Fuel Cell Energy on the combined heat and power space  
6 for load following stuff, base load, supply, and I'll show  
7 you a representative example. Gas Technology Institute also  
8 on the CHP and microgrid arena, Sun Power on the rooftop PV,  
9 and a host of others that were part of Slide 2. Microgrids  
10 -- very much interested, the industry participants in the  
11 project, in looking at the microgrid as an architectural  
12 option for meeting the California goals. And there is some  
13 stuff in there that I certainly would like to understand. I  
14 mean, does the microgrid - I'll just throw that out there as  
15 a question - are there architectural options that engender  
16 more business than market development opportunities for the  
17 state and attendant job creation and capabilities for  
18 manufacturing in the state, that can also be exported  
19 nationally for the national grid, and abroad across the  
20 Pacific where there is going to be a lot of growth in this?  
21 So, it's another, you know, architectural options are not  
22 just technical and physical, okay, they are functional,  
23 operational, market driven, economic, and so, when you do  
24 the tradeoff analysis, you're not just focused on technical  
25 performance and cost, but all these other issues, and so is

1 this an architectural option that would leverage more of the  
2 things that we're trying to do?

3           Microgrids are inhibited right now from growth  
4 because of the readiness of the consumers, system knowledge,  
5 the need for more system architectural trades,  
6 recommendation 6 of the EPRI Report, stuff that we're trying  
7 to do here, energy storage, looking at issues and  
8 regulations and standards for communications,  
9 interoperability, and the availability of financial  
10 arrangements. Okay, stimulus funding is good, it reduces  
11 the first tier of risk and technologies that need to be  
12 rapidly commercialized, marketed, and scaled up, so what are  
13 the analogs to clean technologies, to biotech and IT of the  
14 previous Silicon Valley runs that the state has had? We  
15 need to understand that, okay, and that is part of the  
16 trade-off space, as I mentioned last. And, again, lastly,  
17 which was I think mentioned in the modularity discussion by  
18 Lee and I think alluded to by Merwin as understand that the  
19 Grid and the technology that supports it is not static,  
20 things will be evolving, technology will be maturing, and  
21 how do we best do that and not lock ourselves into options  
22 right now that are going to be costly to replace, albeit  
23 better in the future as we move to 2020? And microgrids for  
24 looking at operational efficiency, and maybe some customer  
25 benefit issues of microgrids that are worth looking at, and

1 the details are - and microgrids, here you go, maybe this is  
2 the system of systems, okay? You have nuclear base load,  
3 remote solar, remote wind, hydropower remote, with some  
4 microgrid options more at the industrial, commercial,  
5 residential level, integrated with the utility, third-party  
6 ownership, controls, interconnections, all that stuff needs  
7 to be worked out, but those are the things that we would  
8 recommend be looked at. Demand Response - no clear cut  
9 ownership preference, utility, customer, or third-party  
10 demand aggregator, this came out of discussions in our  
11 workshops, and we need to carry out further studies to see  
12 if further actions are needed to focus on investment and  
13 development efforts to define specific forms of demand  
14 response management - who is responsible for it, what are  
15 the best ways of addressing market forces there? And then,  
16 this is just an example provided to us by Fuel Cell Energy,  
17 putting together capabilities that address base load and  
18 address load following capabilities to firm up wind on one  
19 side, but to use the wind power to maybe electrolyze the  
20 water, generate hydrogen as a storage option, and that also  
21 takes hydrogen co-generated from a larger scale biogas  
22 facility, and use that to feed the load following system, or  
23 instead of the electrolyzer, you can put a stationary  
24 battery system. What I like about this demonstration, if  
25 you look at the checkmarks, is that it allows you to

1 integrate intermittent resources, it helps you meet that  
2 number one target. It provides flexible fuel options, not  
3 only on the renewable side, but it's a play for natural gas,  
4 which we're trying to accommodate. There's no fuel  
5 consumption in the spinning reserve state, it reduces that,  
6 it's efficient, it's zero emissions goal number nine,  
7 bringing back our GHG's to 1990 levels, it offers a rapid  
8 load following capability of distribution automation, super  
9 peaking, distributed gen, so these are the kinds of projects  
10 and systems - I'll use that word, systems or components,  
11 that we need to look at, so that we're not just looking at  
12 storage, or we're not just looking at one piece, but we  
13 start looking at integrating what we need to do, so that we  
14 develop the California Smart Grid as a system in the next  
15 decade. This is where we're at. We're going to explore  
16 deeper in two or three architectural options and look at  
17 some key system tradeoffs, space domains like the biomass,  
18 CHP, industrial scale, 10 megawatt microgrids, look at  
19 hydrogen for storage, fuel cells, or even for transportation  
20 for that matter, and demand aggregation, demand management  
21 zones that the commercial, residential, microgrid area, net  
22 zero buildings, there is some interesting stuff coming out  
23 in the press from Wal-Mart and their interest in microgrids  
24 and putting systems on their roofs and parking lots, which  
25 is really intriguing, electric vehicle accommodation, the

1 command control structures there for the additional load for  
2 using that as additional storage for frequency regulation.  
3 What we're trying to do also in the second bullet is, some  
4 of these objectives from the IEPR are very numeric, you  
5 know, 33 percent, well, we can go back and look at the  
6 database at the state, we know how much we're generating  
7 from renewables, and we know how much we're using biomass,  
8 and we know what we're doing in CHP, so, as you're moving  
9 forward, we need to know the systems that we're putting in  
10 place and maturing into the grid, we need to know how much  
11 energy we're supplying with that and we need to know where  
12 the demand is, and so we're trying to put together a model  
13 that allows us to say that we're retiring the risks and  
14 those risks are linked to those objectives, it points to  
15 actions or activities that we know in an energy balanced  
16 sense how much energy we're putting in CHP, biomass, RPS,  
17 solar rooftop, how much we're reducing consumption, how much  
18 we've reduced peak demand, things like that. So, we're  
19 exploring that, and then we're going to offer a  
20 recommendation of Risk Retirement demonstrations that  
21 integrate various key technologies like I've listed, and a  
22 suite of key technologies that address more than one IEPR  
23 goal, that would be ideal, and to do those one, or two, or  
24 three year centers as we recommended in our framework and  
25 timeline, so that we can then put up all these key

1 technology road maps to understand how everything is related  
2 at any given point in time, over the next decade. I like  
3 what Angela does - short term, midterm, long term,  
4 understand where are we towards meeting every single one of  
5 those nine objectives. Our final report, including  
6 recommendations for research development demonstration, and  
7 also some thoughts on integrating the three perspectives, we  
8 started back in June, so nine month study, something like  
9 that, we're looking to wrap up some time in March, maybe a  
10 month after that. But it's been an incredible project  
11 because, as you can see from the list of project  
12 participants, the amount of information, not only that is  
13 available on the Web, but the amount of information that  
14 vendors have provided us is, frankly, overwhelming. And to  
15 make some sense of that in terms of meeting what the  
16 objectives of the study is, you know, where are we, where we  
17 do we want to be, what is the vision for 2020 under this  
18 group of people, and how do we get there and how do we give  
19 the State, not only the Energy Commission, but the Utilities  
20 Commission, a process, a method, a tool, where you can see  
21 this is how we're meeting those objectives, and pull  
22 together, you know, the IOU's, the MOU's and the vendor  
23 community, that is exciting, but it is difficult, no doubt  
24 about it. So, that's where we are. I'd be happy to answer  
25 questions or meet with you afterwards, but that's the

1 snapshot for now.

2 COMMISSIONER WEISENMILLER: The only question I had  
3 was on page 12, on the ACORE slide, where did demand  
4 response come? You listed top three, but where was that?  
5 Was that number four, or was it lower, or what?

6 MR. TRALLI: On the ACORE questionnaire?

7 COMMISSIONER WEISENMILLER: Yes.

8 MR. TRALLI: I don't -

9 COMMISSIONER WEISENMILLER: "Important  
10 Technologies."

11 MR. TRALLI: Oh, on the Key Technologies?

12 COMMISSIONER WEISENMILLER: "Important  
13 Technologies," it's your slide 12.

14 MR. TRALLI: Slide 12 is that one, right?

15 COMMISSIONER WEISENMILLER: Yeah, so where -

16 MR. TRALLI: Oh, okay, yeah, right, we had like, I  
17 don't know, a dozen and a half or two dozen questions that  
18 we forwarded to ACORE and ACORE forwarded that to their  
19 membership, this synopsis, this just happens to be question  
20 6, this was - we received this from ACORE. I would have to  
21 go back and see what the attendant questions were that  
22 touched on demand response, that's not under here.

23 COMMISSIONER WEISENMILLER: Okay, thanks.

24 MR. TRALLI: It's not to say that it's not, we'd  
25 have to go look.

1 COMMISSIONER WEISENMILLER: Okay, thank you.

2 MR. GRAVELY: Questions from the audience? Anybody  
3 online, if you want, would you raise your hand real quick  
4 before we go to the next speaker? Anybody interested --  
5 we'll have a question and answer session after the next  
6 presentation also, so there will be an opportunity. Now  
7 we'll hear from the public utilities perspective. Again, as  
8 I mentioned, RW Beck and Steve Rupp will be presenting that,  
9 and his will be presenting basically the successful proposal  
10 they submitted to the Commission, it was a competitive  
11 award, as were all three of these, and what their plans are  
12 and some other challenges going forward, and anything he's  
13 learned today, he wants to inquire about. Steve?

14 MR. RUPP: Well, good afternoon and we very much  
15 appreciate the opportunity to be in the company of so darn  
16 many smart people. I'm going to try to not cover ground  
17 that's been covered before with the excellent work that our  
18 friends in the investor-owned utility space and friends in  
19 the industrial space have covered, but I think, you know,  
20 we've got the benefit of starting last, and I think that's a  
21 really good position to be in, in this space. Tons and tons  
22 of lessons learned, tons and more lessons to be learned in  
23 the coming weeks, months and years about how we really  
24 navigate our way through the Smart Grid future that we're  
25 facing. We're really excited about the challenge that's



1 before us and I think, to kind of summarize it quickly, you  
2 know, we've got 29 and growing, different voices that  
3 reflect California's interest in energy and how Smart Grid  
4 might change our energy future, and that's in our community-  
5 based utilities. This is a very interesting population of  
6 decision-makers and service providers to work with, they're  
7 extraordinarily diverse. We've got folks that are small  
8 electric only service providers serving maybe a few thousand  
9 customers in a very rural setting, to whom demand response  
10 really isn't a relevant topic to discuss, to whom changing  
11 the way that they go out and read meters is really not very  
12 exciting because they see that process of interacting with  
13 their customers as being vital to the service that they  
14 provide in their community. So, that's one end of the  
15 spectrum. At another point in this place, we have utilities  
16 that are providing telecommunications, natural gas,  
17 electricity, and water to their community, and to them this  
18 whole question about Smart Grid looks very different than it  
19 does to our traditional electric utilities. We've got  
20 leaders and followers, we've got folks like SMUD and  
21 Glendale, Santa Clara, that are really advancing the  
22 technology of Smart Grid. We've got folks that haven't even  
23 started thinking about it. And in the middle is where most  
24 of our states' publicly owned utilities, they're in a pack  
25 watching and waiting carefully to understand which direction

1 the tide is going to flow, so they can make a decision that  
2 is going to provide the greatest benefit and the least  
3 impact to their communities.

4           So we've got now a challenge before us, which is to  
5 bring 29 different voices to the table and try to coalesce  
6 their interests into a road map that helps get to the vision  
7 that I don't think any of them disagree with in terms of the  
8 importance of achieving these policy objectives that we've  
9 set out in IEPR, like trying to make a decision to travel  
10 from the far northern part of the state to the far southern  
11 part of the state, there's a lot of ways to do it, you can  
12 take an airplane and get there quickly, or you can take back  
13 roads on your bicycle and spend a couple years doing it.  
14 And that's, I think, really what's going to test the  
15 robustness of any road map that we come up with out of this  
16 process is, is there a path that works for everybody that is  
17 at the table. And to the extent that we can help Mike and  
18 his people on the research side understand where to apply  
19 their energy and their efforts in making sure that the paths  
20 are free of roadblocks and that they're able to advance the  
21 ability of these paths to provide an efficient course for  
22 folks to navigate their way through the Smart Grid, then we  
23 will have done our job. So that's kind of how we see trying  
24 to bring together the POU perspective.

25           Again, covering a lot of ground that's been covered

1 before in terms of what the vision is, I'm not going to go  
2 into that because we've articulated it really clearly. We  
3 see the project as having three really important real goals,  
4 1) to try to develop a broadly shared and supported vision  
5 of the Smart Grid for 2020, one that not only encompasses  
6 the distinct difference between investor-owned utilities and  
7 community-owned utilities, and one that addresses the  
8 interests of not just the service providers, but also the  
9 technology providers, as well as one that reflects 29  
10 different types of utilities in the state. It's going to be  
11 a real challenge, we've got some strategies around how to do  
12 it; 2) coming up with what really is the core of the road  
13 map, and that is a technology and a program assessment  
14 framework that allows utilities large and small to try to  
15 find a path that's going to work best for them and their  
16 owner ratepayers, if we can accomplish that, then I think  
17 we've really done the best service that we can do, and we'll  
18 go into the presentation here and tell you a little bit  
19 about how we're going to do that; finally, building with the  
20 other efforts in the research project, we've got to come up  
21 with a real coalesced, comprehensive road map that's going  
22 to work for everybody, so hopefully we can accomplish those  
23 three important goals.

24 We talked about this ad nauseum, about how the  
25 state's energy landscape is changing, what's really

1 important, so I'm not going to belabor that. I think what's  
2 important, though, to touch on is, particularly around  
3 issues like greenhouse gas reduction, the community-owned  
4 utilities is a great example of local government at work,  
5 you've got utility boards and city councils who see it upon  
6 themselves to set policies and make determinations about the  
7 direction of their community that's not only aligned with  
8 what the broader state and nation want to do, but really  
9 reflect the individual desires, interests, at once of the  
10 folks that are in the community. And with that, you see  
11 when you look at the state's publicly owned utilities,  
12 you've got some folks that are more aggressive than what the  
13 state vision is, and you've got folks who are much less  
14 aggressive than what the state vision is, in terms of things  
15 like greenhouse gas reduction. You've got utilities who are  
16 committed to rolling back their reductions to a greater  
17 degree, and sooner than what AB 32 would have, and you have  
18 utilities that are scratching their head, wondering how  
19 they're ever going to accomplish that when they're dependent  
20 upon carbon-based fuels to provide cheap power to their  
21 customers. So it's going to be a very interesting task to  
22 navigate.

23           We talked about this, we've got to come up with a  
24 common POU vision, which doesn't mean we have to have  
25 everybody in agreement about what we're going to do, we just

1 need to be able to get through a highly collaborative  
2 process, 29 different voices to the table, that can  
3 contribute to the state's plans to go and rely on Smart Grid  
4 to achieve important energy efficiency improvements,  
5 important integration of distributed renewable resources,  
6 and these things that, in my opinion, are realities that  
7 utilities have to embrace, they just need to find a way to  
8 do it that allows them to meet their commitments to their  
9 customer ratepayers.

10           Our process, you know, we've got to engage the  
11 State's publicly owned utilities, we've got to get them to  
12 collaborate, we've got planned a series of stakeholder  
13 processes that both the IOUs and JPL and their team had to  
14 go through, and I hope to learn a lot about how to do that  
15 well by working with them, and then, again, come up with a  
16 road map that is going to return value back to the utilities  
17 that are depending on us to help provide that kind of  
18 direction.

19           We've laid out a very detailed project approach,  
20 working with the staff here at the Energy Commission, and  
21 the publicly owned utilities who will be involved in it,  
22 it's flexible, it's adaptable, it's not yet set in stone,  
23 but generally it's built on this idea of a stakeholder group  
24 that is our vehicle for collaboration, focusing on  
25 developing a framework around evaluating the technologies

1 that we've define as Smart Grid, and understanding how to  
2 measure and predict the impact of those technologies on  
3 achieving important goals, and understanding at what risk  
4 and at what cost, so that that can be formulated into the  
5 decision, and in the end coming up with a road map that  
6 leads to the vision that has a path on it for all of the  
7 different utilities.

8 Our schedule, we're just getting started, we expect  
9 to be wrapped up by mid-summer. We'll be last to start,  
10 last to finish, and look forward to doing as good a job as  
11 our friends at JPL, PG&E, Edison and San Diego have done.  
12 So, I'm beginning, so we don't have a lot of pithy content  
13 for you yet, but I'm happy to answer any questions about our  
14 approach that I can.

15 COMMISSIONER WEISENMILLER: Yeah, thank you, just a  
16 couple of questions, one is, in terms of the POU's at this  
17 point, are there any utilities, say, a SMUD, or an LADWP,  
18 which have put together already a road map for their Smart  
19 Grid efforts?

20 MR. RUPP: There's a broad spectrum of road maps  
21 that are out there. You'll find road maps that Glendale has  
22 completed, a fairly comprehensive road map, Burbank is not  
23 quite as far along, but further than most, SMUD, of course,  
24 is way down the road, they have a very clear vision, and it  
25 was very well articulated in the Smart Sacramento project,

1 the State's largest Smart Grid implementation grant through  
2 the ARRA Stimulus program, so you've got, again, a great  
3 example of folks that have very highly evolved thinking  
4 about Smart Grid in terms of both their objectives and the  
5 timelines and the costs and the expected benefits of getting  
6 there. You know, we've got a lot of utilities. In fact, I  
7 would say most of the State's POU's haven't started yet.

8           COMMISSIONER WEISENMILLER: And one of the  
9 challenges, I think, for you, is the basic question of how  
10 much of these components, hardware or software, really have  
11 economies of scale which could certainly affect what is  
12 optimal for your Grid vs. your LADWP, say.

13           MR. RUPP: That's a great point, and it's a problem  
14 that really is not particularly unique to California's  
15 publicly owned utilities, you know, you could look across  
16 the country at how this challenge plagues utilities who want  
17 to make moves in the directions that you've seen the larger  
18 ones doing -- Austin Energy, SMUD -- but they can't afford  
19 to do it, they can't afford to take the risk around  
20 technology obsolescence, the economies of scale aren't  
21 there, and it does become a challenge. So, some examples of  
22 - I can tell you about that utilities are taking to overcome  
23 those challenges, as our publicly owned utilities have done  
24 for many years, when they get into the economies of scale  
25 challenge, they begin to combine forces. And so, a joint

1 action becomes a vehicle through which publicly owned  
2 utilities can accomplish these broader objectives with least  
3 impact on their community ratepayers, or their owner  
4 ratepayers.

5 COMMISSIONER WEISENMILLER: Yeah, I guess the final  
6 one, certainly along with the economies of scale question,  
7 typically you have a much lower cost of capital, so in  
8 theory, at least, for more capital intensive technologies  
9 might be more attractive for you as opposed to the IOUs.

10 MR. RUPP: That, taken on its own face, is  
11 absolutely true, the cost of capital tends to be more  
12 attractive for publicly owned utilities, but you have to  
13 look at capital expenditures in the context of a broader  
14 equation that relates to what you're willing to charge  
15 customers for your product, and many publicly owned  
16 utilities put the cost of energy as number one by a large  
17 gap over any other requirement that's important, and so then  
18 it becomes not just the cost of capital that's important,  
19 but spending any capital, and understanding, really, what is  
20 the return of that investment to their ratepayers. So, it  
21 is, you know, certainly cheaper for a publicly owned utility  
22 to go out and borrow money from time to time and that's not  
23 entirely true for every publicly owned utility, but, taken  
24 by itself, it's not really an indicator that it's an  
25 advantage for them in this context.



1 COMMISSIONER WEISENMILLER: Thanks.

2 MR. GRAVELY: Questions from the audience here?

3 MR. TRALLI: This is a question looking nine months  
4 from now when we start integrating your study into ours. I  
5 think I read that the MOUs or POUs, they're subject to  
6 different rules or whatever for power generation. You guys  
7 can own your own power generation assets, whereas the IOUs  
8 cannot since the deregulation - or what's the difference on  
9 the power generation side between the POUs and IOUs, and  
10 where you see some, in an overall statewide Smart Grid,  
11 where do you see the overlap on that side alone, the gen  
12 side with the IOUs and the technology community?

13 MR. RUPP: Well, so it's interesting, and you can  
14 look at it from a couple of different directions, and I  
15 don't know that there is one answer, and I know for sure  
16 there is no short answer to it. If we look at it from  
17 what's relevant to this dialogue, which is distributed  
18 generation, there really is no difference. A municipal or  
19 publicly owned utility can go out and own a small utility  
20 scale or a rooftop scale distributed generation resource,  
21 just like an investor-owned utility could - zero difference.  
22 You know, the differences around owning assets, I think,  
23 changes as you begin to start talking about larger and  
24 larger and larger assets, and how that fits into the  
25 regulations in the State of California. But I think it's

1 also true that, you know, I'm sure I'll find out if I'm  
2 wrong here, but I do believe that all of our State's  
3 investor-owned utilities still own generation, maybe not as  
4 much as they used to, but they all still owned, and they're  
5 all still building and developing new generation assets.  
6 So, again, I don't see it as a huge discriminator in this  
7 context.

8           COMMISSIONER WEISENMILLER: Yeah, and I don't think  
9 we need to spend much time here on that issue, that type of  
10 background is certainly in the IEPR if you read it.

11           MR. TRALLI: Oh, David Tralli, JPL, question.

12           MR. RUPP: So, my strategy of trying to say the  
13 least to get the least questions did not work. Next time.  
14 I've got 100 percent more questions than anybody else.

15           MR. GRAVELY: Go ahead.

16           MR. RUSS: Yes, hi, Steve. My name is Bob Russ with  
17 Internex. We, too, have assisted some MUNIs and stuff in  
18 helping them sort of lay things out, and what's interesting  
19 is that you do have the leaders, I mean, you have some folks  
20 like Alameda Power which is 80 percent renewable already,  
21 you know, way ahead of any goal California has, Silicon  
22 Valley Power way ahead in those areas, too, in implementing  
23 Smart Grid stuff. But what we find, and what I'm just  
24 curious if you've had a chance to start structuring your  
25 thinking on this, is because in a way the MUNIs, their

1 owners, are their Board, you know, they're all one and the  
2 same, and so they have a lot more flexibility in justifying  
3 expenditures. Have you thought at all about how do you help  
4 a MUNI really sort of economically justify what it means to  
5 try to implement Smart Grid within their system? Thank you.

6 MR. RUPP: Well, there's - if you want to talk about  
7 objective economic justification, these are formulas, and  
8 economic justification is a test that, you know, is very  
9 straightforward. Where it becomes difficult in this space  
10 is understanding the benefits side of the equation because,  
11 you know, I would content that benefits are still evolving  
12 from Smart Grid implementation. We're still trying to test  
13 and understand how we quantify the benefits associated with  
14 distributed generation. We're trying to understand how to  
15 quantify the benefits associated with demand response. And  
16 you know, so it's a little bit of a - I won't call it a  
17 guessing game, but it's not a simple analysis that one might  
18 do in terms of looking at prioritizing your capital  
19 expenditure plan for the year, which is a very mechanical,  
20 methodical approach. So, the math is what the math is. I  
21 think what you find differently is that a small municipal  
22 owned utility is not very well positioned to manage a very  
23 significant amount of risk around what a benefit might be.  
24 Certainly, the larger more sophisticated municipal  
25 utilities, SMUD, for example, a leader in research around

1 demand response, is very well-positioned to take a little  
2 higher risk about quantifying the benefits associated with  
3 the demand response because they've been doing research on  
4 it for 20 years, so they know very well, and what they make  
5 a decision about just to spend a dollar to achieve a \$1.20  
6 of benefits on demand response, they feel confident about  
7 doing that. I can tell you, other utilities have not done  
8 that research and don't understand or see the same benefit  
9 from demand response, take the City of Lompoc, a coastal  
10 community that doesn't have a needle peak to deal with,  
11 demand response to them? Not so easy to quantify.

12 MR. RUSS: Yeah, I mean, just as a follow-up, like  
13 you say, the big guys, the SMUDs and the LADWPs and the  
14 IOUs, of course, they can spend lots of money on business  
15 cases and very detailed financial analyses, and I don't know  
16 the details of your engagement, are you going to try, as  
17 part of the assessment process, to try to generate a  
18 database or some kind of a master spreadsheet that helps  
19 these MUNIs actually evaluate what are the pros and cons for  
20 their particular circumstances?

21 MR. RUPP: We certainly intend - and it's in the  
22 middle phase of our project, to - and it's really not -  
23 there's not a lot of new science here - what we're talking  
24 about doing is taking some of the work that's been done at  
25 DOE, some of the work that I know you folks have been

1 involved in, and we've been involved in developing business  
2 cases for, you know, utilities of all shapes and sizes, and  
3 coming up with a platform, if you will, through which some  
4 decisions can be tested to understand what are the  
5 implications. I have to be very careful because there's not  
6 enough time or money for us to go through and develop  
7 business cases for 29 different utilities, but what we can  
8 do is kind of come up with some rules of the game, if you  
9 will, that reflect what the industry is doing in terms of  
10 managing the risks associated with quantifying benefits that  
11 are indeterminate at this point, so that they can hopefully  
12 increase their confidence in understanding what to do with  
13 the outcome of that analysis. Certainly, it is a part of  
14 what we're doing.

15 MR. GRAVELY: Okay, any other questions? Thank you.

16 MR. RUPP: Thank you very much.

17 MR. GRAVELY: Our last speaker of the day here comes  
18 from our friends in the Bay Area, and the PUC will talk  
19 about the SB 17 and, of course, in the area of two major  
20 objectives and policies, SB 17 is one, and AB 2514 on the  
21 storage side are two that we've talked about in the last  
22 workshop and this one. So I think, actually, Chris is  
23 involved in both of those. You can answer questions if you  
24 want.

25 MR. VILLAREAL: Good afternoon. I'm Chris Villareal

1 with the California Public Utilities Commission. Thanks to  
2 Mr. Rupp's presentation, I now have 45 minutes and, as a  
3 regulator, I intend to use all 45 minutes now to go over my  
4 presentation, this is just the outline of what I anticipate  
5 to talk about. I anticipate going through the first half of  
6 my presentation relatively quickly because, on the PUC side  
7 of the proceeding, we pretty much haven't done any - we  
8 haven't issued any decisions since June of this year. And I  
9 plan to talk more about what we plan to do in the next year.  
10 So this is just a short history of our rulemaking, we  
11 started it in December 2008, in response to the Energy  
12 Independence Security Act passed by Congress in 2007. SB  
13 17, which was sponsored by Senator Alex Padilla was signed  
14 in October 2009, and then that gave us time to issue - to  
15 address the discussion in SB 17. So, in response to ISO, we  
16 issued a decision in December - all these years are running  
17 together now - 2009 - so, ISO directed all State Commissions  
18 to consider five new standards to PURPA. In the course of  
19 our proceeding, we declined to adopt any of the standards  
20 since we had adopted most of the suggestions in our AMI  
21 roll-out. Instead, we went a little bit further than what  
22 ISO had directed States to do, and we set three policy  
23 goals. The first one is that all customers be provided  
24 retail and wholesale electricity prices in a uniform manner  
25 by 2010, that customers be allowed to access data with an

1 authorized third party by the end of 2010, and that  
2 customers be provided near or real time access to their  
3 usage information, those customers of AMI, by the end of  
4 2011. So, while we were doing that, SB 17 was passed, and  
5 I'm not going to go through this, this is what characterizes  
6 a Smart Grid according to SB 17; what I will note is that  
7 the words "cost-effective" are listed six times. So, the  
8 Legislature is very direct in what we are supposed to  
9 address on Smart Grid. So, SB 17 directed us to set the  
10 requirements for the Smart Grid deployment plan to be filed  
11 by the utilities, the investor-owned utilities. In our  
12 proceeding, we ended up requiring eight topics, and they're  
13 listed here, and I'm only going to talk about a couple of  
14 these. We directed the utilities to have cost and benefit  
15 estimates in their Deployment Plan. Now, for the costs, we  
16 gave them two timelines. We directed the utilities to file  
17 a five-year provisional cost estimate and a 10-year  
18 conceptual cost estimate, understanding that, looking at the  
19 future six years ahead, we can't accurately predict what the  
20 costs are going to be because we don't know what the  
21 technologies are going to look like, or the costs of  
22 technologies. Similarly with benefits, we understood that  
23 the benefits are going to be not necessarily problematic,  
24 but very difficult to quantify. On the benefits, we also  
25 allowed the utilities to justify - or not justify - to

1 describe unquantifiable benefits around reliability and  
2 environmental benefits. The other thing we also added was a  
3 requirement that the deployment plan address grid and cyber  
4 security. The PUC is taking security very seriously and  
5 wants to ensure that whatever is rolled out on Smart Grid is  
6 secure, and by having it be part of the initial roll-out,  
7 that in our mind helps ensure that security is built into  
8 the product instead of being added at a later time. So, the  
9 utility deployment plans are to be filed no later than July  
10 1, 2011. We also anticipate having a joint workshop with  
11 the CEC and the ISO in March or April where the utilities  
12 will present their draft deployment plan, and that will be a  
13 public workshop, so all parties and all members of the  
14 public are invited to attend.

15           So, this is, I guess you could say, the PUC's vision  
16 of the Smart Grid. This morning, you heard the utilities  
17 provide their vision and, after we came back from lunch,  
18 Mike Gravely pointed out that there was one thing that he  
19 thought was missing, and that was a market. I was going to  
20 say the same thing, is that the vision presented by the  
21 utilities were missing the market aspect of it, and so, from  
22 the PUC's perspective, we see a Smart Grid encompassing  
23 three main areas, Smart utility, where their infrastructure  
24 gets more upgraded and becomes smarter, the Smart customer,  
25 who is enabled and is provided with information to take



1 control of their usage, and the market - so, the market is  
2 where a lot of the innovation will take place. The market  
3 can be applied to either the utility or the customer, but in  
4 both instances, it has to be rolled into the Smart Grid.

5 So, this is just the short slide showing what are  
6 the policy goals of the PUC's view of the Smart Grid.  
7 Again, I don't think I really need to go over this, this is  
8 following our June decision.

9 So, where are we going to go now? There are  
10 actually five Next Steps that we anticipate taking on over  
11 the next 12 months or so. So, Metrics. Metrics is one of  
12 the things that is required to be in the utilities' baseline  
13 come July 1. In our June decision, the PUC determined that  
14 there was not enough of a record to come up with sufficient  
15 metrics that would be helpful and informative to the PUC and  
16 the parties, so we created a separate phase of our  
17 proceeding to do that. PUC staff issued several proposals  
18 over the course of a couple months, and we ended up holding  
19 workshops and informal webinars to discuss further the  
20 attempt to come up with consensus metrics. Over the course  
21 of that phase, the utilities, working with staff and other  
22 third parties, came up with a list of consensus and non-  
23 consensus metrics. The consensus metrics cover areas  
24 including customer AMI issues, plug-in electric vehicles,  
25 electricity storage and grid operations. What needs to be

1 further discussed are other areas that we are interested in  
2 around customer AMI grid operations, as well as further  
3 discussions on how to quantify environmental benefits that  
4 can be attributed to Smart Grid, and how to come up with  
5 robust cyber security metrics. On cyber security, there was  
6 a lot of concern about creating metrics before there are any  
7 policies created. And so, we are going to engage with  
8 utilities and with interested third parties on an informal  
9 basis how to develop good and robust and useful cyber  
10 security metrics. I imagine that there will be a similar  
11 effort related to environmental discussion, as well. And we  
12 expect to issue a proposed decision adopting interim  
13 consensus metrics the first quarter of next year.

14           The next major issue is customer access to  
15 information. So, as stated previously, one of the goals of  
16 the Commission is to allow customers to choose who they want  
17 to share their information with. So, then, we decided that  
18 we needed more information, so we set up another phase, an  
19 ongoing phase, actually, of our current proceeding to  
20 address customer access issues. One of the questions to be  
21 addressed is what is the PUC's jurisdiction over third  
22 parties such as Google? The next slide will get into a  
23 little more detail about that topic. So, as we worked  
24 through our process on customer access to information, we  
25 got a number of third parties who are all privacy advocates

1 and I'll admit that privacy was not something we anticipated  
2 having to deal with in this phase, and as such, as part of  
3 the customer access phase, we added a discussion about  
4 privacy. While we were in the midst of doing our phase, the  
5 Governor signed SB 1476. SB 1476 puts requirements on the  
6 utilities on how they are to protect customer information.  
7 So, we held a series of workshops, one of the privacy  
8 advocates, the Center for Democracy in Technology, proposed  
9 a framework where the utility would not need to get customer  
10 approval if the purpose was something secondary to the  
11 primary purpose of the usage requirement, so, energy  
12 efficiency, for example. Energy efficiency - if a third  
13 party is contracting with a utility and the primary  
14 responsibility of that contract is through energy  
15 efficiency, that third party facility would not need to get  
16 customer approval to share that information. If that third  
17 party contractor wanted to do something other than energy  
18 efficiency, they would then need to get customer approval to  
19 use that data. So, in the process, there are three types of  
20 third parties that are going to be covered under the privacy  
21 rules, one will be the third party obtaining that of the  
22 utility backhaul, and this would be the example of Google,  
23 where the customer signs up with Google and authorizes  
24 Google to access their usage through the utility. The  
25 second type of access is where the third party is obtaining

1 data directly via the Home Area Network, so it was just the  
2 Home Area Network was activated and sending a signal  
3 directly to the house, and the customer buys a piece of  
4 technology, and is just reading the information off of the  
5 meter. And the third third-party is the utility contractor  
6 that most customers never see because it's just simply a  
7 contract between the third party and the utility, and  
8 whatever comes out of that process is stamped with the  
9 utility's name on it. Of course, there are jurisdictional  
10 concerns over our responsibility and enforcement over third  
11 parties, and we expect to issue a proposed decision on this  
12 topic in the first quarter of next year. On the topic of  
13 cyber security, we've differentiated between the different  
14 types of cyber security, there is cyber security of customer  
15 data and the overall grid cyber security. The security  
16 customer data is going to be rolled into the customer access  
17 and privacy phase through national standards. On the cyber  
18 security, we anticipate building off of the standards, the  
19 guidelines issued by the NIST early this year, and we  
20 anticipate starting a new phase, another phase of our Smart  
21 Grid proceeding to address cyber security rules, policies,  
22 protocols, whatever word is most appropriate for that, in  
23 the first or second quarter of next year. While we are  
24 doing that, the PUC staff anticipates working with the  
25 utilities and interested third parties to become more up to

1 speed on what is going on in cyber security. The reason for  
2 that is, the PUC generally has not been involved in cyber  
3 security. Most cyber security is done on the transmission  
4 level through NERC, and with little information and  
5 technology being done on the distribution side, there has  
6 been little need to do cyber security rules on the state  
7 side. As Smart Grid rolls out, as more technology is  
8 installed on the distribution side, and more technology is  
9 installed in the customers' homes, that increases the risks  
10 of cyber attacks. As states have jurisdiction over the  
11 distribution grid, we anticipate creating and building rules  
12 around that area.

13           And finally, we anticipate dealing with the issue  
14 around the Home Area Networks. So, when the PUC approved  
15 the utilities' AMI investments, they all included the Home  
16 Area Network. The Home Area Networks was one of the main  
17 drivers of the cost benefit analysis where the customer  
18 would use the Home Area Network to do various demand  
19 response and price response of taking advantage of prices.  
20 The AMI that are rolled out by the utilities that have the  
21 HAN on there, but it is not activated. The HAN is loaded  
22 with ZigBee Smart Engine Profile 1.0 and the utilities, as  
23 we've been told, are waiting for an upgrade to 1.0 to be  
24 finalized before they will make an effort to turn on the  
25 Home Area Network, thus made a date for 2.0 completion even

1    though, as stated earlier, it was some time in 2011, that is  
2    just for the standard, and that does not take into account  
3    the utilities system testing, and it does not take into  
4    account the utilities testing of third party products.  As  
5    such, we don't anticipate the activation of the HAN until  
6    2013 or 2014, at the earliest.  So, in our proceeding we've  
7    had third party vendors asking the PUC to have a phase to  
8    address activating the HAN with the existing 1.0.  I'll note  
9    that the State of Texas, who is also facing a similar  
10   problem, is in the process of activating all of the HANs  
11   rolled out in the State of Texas with an updated version of  
12   1.0 that they call 1.X.  And 1.X addresses many of the  
13   initial concerns about 1.0, around cyber security, and the  
14   privacy questions that have been raised on 1.0, as pointed  
15   out in the last bullet.  In addition to security and  
16   privacy, there are some stranded cost concerns about  
17   customers potentially buying products that are not backwards  
18   compatible, in other words, they buy something compatible  
19   with 1.0, but it's not compatible to 2.0, and along with  
20   that is the interoperability and upgrading devices.  My  
21   personal opinion is that, if we're looking at a two-year  
22   process, and if California and Texas both end up activating  
23   their 1.0/1.X, someone will figure out how to deal with the  
24   backward compatibility question.  That's my personal  
25   opinion, no one else's.  And that's all I have, and I look

1 forward to any questions that anyone may have.

2 COMMISSIONER WEISENMILLER: Thanks for your  
3 participation today, it's really helped. I was sorry that  
4 Commissioner Ryan wasn't able to be here, but I think you've  
5 done a good job representing your agency.

6 MR. VILLAREAL: Thank you.

7 MR. GRAVELY: Questions related to Smart Grid?

8 MR. VILLAREAL: Well, before I leave, since I have  
9 the mic, I'll point out that yesterday the PUC approved a  
10 new OIR relating to storage, AB 2514 directs the PUC within  
11 some amount of time to set policies around incentivizing  
12 storage for the market and we are about a year and a half  
13 ahead of the deadline, so we went ahead and opened up an  
14 OIR. I believe the deadline for comments on the OIR is  
15 January 21<sup>st</sup>, they're mainly supposed to be focused around a  
16 white paper issued by the division that I work in, Policy  
17 and Planning Division, so if anyone has any questions on  
18 storage, I'll also be more than happy to try to answer them.

19 COMMISSIONER WEISENMILLER: That's very good. I  
20 think Mike can make a similar announcement about responding  
21 to that legislation.

22 MR. GRAVELY: Oh, I'll be glad to. So we have an  
23 item on the Business Meeting next week for approval for some  
24 research under U.C. where we are developing a vision for  
25 storage in parallel with these for 2020 with the ultimate

1 goal of providing insight and information to your  
2 rulemaking, looking at where storage could play with the  
3 primary focus of the objective of 2514, but also looking at  
4 mixtures of storage and values of storage and things like  
5 that, so we are working actively with the PUC and the  
6 industry to try - and you've heard through all three  
7 presentations the importance of storage to California and  
8 the importance of storage and the challenges that storage  
9 faces, so we've stepped up there now. I think one side  
10 point, also, besides Texas, we are also doing some research  
11 on the customer acceptance of Home Area Network displays  
12 through UC Berkeley, and Ron Hoffman is here if you have  
13 questions about that, but we are doing some evaluations and  
14 Chris is actively involved in that, too, but again, it's  
15 strictly a research effort to look at the capabilities of  
16 SEP 1.0 and the capabilities of existing systems to use that  
17 and we're doing a small scale demonstration with several of  
18 the utilities in California to help answer some of the  
19 questions that are coming up about what is the capability of  
20 the systems. So we do see quite a few of those. We will be  
21 - some of you may have attended our November 16<sup>th</sup> workshop on  
22 Storage. One of the commitments we made out of that  
23 workshop prior workshop in the March-June timeframe was to  
24 develop a white paper with kind of an assessment of the  
25 state of technology, of storage technology to support



1 renewable integration and we will be providing that as part  
2 of a discussion topic for the next IEPR workshop on storage  
3 policy from there. So, questions for the PUC or for Chris?

4 COMMISSIONER WEISENMILLER: Yeah, I was just going  
5 to make the obvious comment, too, that obviously both  
6 agencies are moving in response to the Governor-Elect's  
7 priorities for Storage, along with the legislation.

8 MR. GRAVELY: Well, as I anticipated, we are now at  
9 a point for public comments, so we will give the opportunity  
10 of the people in the room first to comment on any of the  
11 discussions we have here today, and please come to the mic  
12 if you have comments or questions, identify yourself, and  
13 then we'll move forward and if we have any of those, we will  
14 go online. Any questions from anybody in the room here for  
15 any of the participants or any of the speakers that are  
16 here?

17 MR. JOHNSON: Good afternoon. This is Walt  
18 Johnson, I guess I would say I'm representing UCSD with this  
19 question. I was struck particularly by the fact that, in  
20 the ISO's presentation and the presentations about the IOUs  
21 and POUs, no mention whatever was made of microgrids,  
22 whereas the JPL presentation from industry had some  
23 significant comments regarding microgrids, and I'm curious  
24 if that reflects the fact that the other entities, the  
25 utility and operation entities, don't see microgrids as

1 anything unique relative to what they're doing, or how they  
2 - where in their road maps those things would fit, if they'd  
3 been overlooked or they are in some sense there, but I just  
4 didn't see it or hear it.

5 MR. GRAVELY: In general, I have to say that  
6 certainly the IOUs are involved in microgrids because we  
7 have both DOE and PIER funded projects right now to do field  
8 demonstrations on microgrid. I would tell you, my personal  
9 belief is the value of two different perspectives, I think  
10 this is one of the examples where I think the commercial  
11 perspective sees - it's probably easier and faster for  
12 commercial growth through a microgrid than it is to do a  
13 utility grid, and so, potentially the reason is, and I'll  
14 let David answer that question better than me, but I think  
15 one of the reasons from our personal research is the fact  
16 that there is a lot of interest and opportunity today in  
17 microgrids for new technologies to be demonstrated at a  
18 smaller scale and a much more cost-effective scale, so the  
19 commercial market is far more attuned to microgrids than  
20 they are at trying to convince PG&E to put something on  
21 their whole grid. Maybe you want to address that, David?

22 MR. TRALLI: David Tralli, JPL. I think what you  
23 just mentioned, Mike, was one of the key points, that the  
24 microgrids afford the ability to go out there and  
25 demonstrate things at some scale right now, of course, with

1 eventual scale up targets. I know with the fuel cell stuff,  
2 there is a demonstration project somewhere in Southern  
3 California and the interest there is to now move up to a  
4 commercial scale 10 megawatt-type system, and so growing it  
5 that way. There are some other advantages that came up that  
6 we will have documented in the report, but that one, in  
7 terms of demonstrating early on what some of the  
8 capabilities and issues are to resolve on key technologies  
9 is one of the key ones, from a market development  
10 perspective.

11 MR. GRAVELY: I will point out just for the  
12 audience, in case you are unaware, that two of the largest  
13 microgrids that we're involved with right now, of course,  
14 are at University of California at San Diego is doing one on  
15 their campus, and the San Diego Gas & Electric has been  
16 doing one for many years with the DOE funding and PIER  
17 funding, so both of those are what I would say community  
18 scale, or larger. So, there is quite a bit of work being  
19 done. It may be the fact that the information is at a level  
20 that's in the report, but not in the presentation also.  
21 Other questions?

22 MS. CHUANG: We do have microgrids in our report, it  
23 appeared on a list of objectives under the subcategory of  
24 maintain and/or enhance the system reliability. We had the  
25 provide for microgrid operation as objectively considered

1 for use of Smart Grid. There are also many projects  
2 mentioned and, in particular, the Appendix of the report,  
3 that the utilities are involved in. Perhaps these utilities  
4 want to talk about some of those projects, but it's true, we  
5 didn't have microgrids in the top or the high priority, but  
6 that was the result of the ranking exercise.

7 MR. STACK: Hello, this is J.D. Stack with the  
8 California Smart Grid Center. And, Mike, I've got a  
9 question for you. We've seen several different views today,  
10 perspectives on Road Map to Smart Grid. I heard one of the  
11 speakers, I think it was David, mentioned this is a suite of  
12 road maps. Can you articulate your vision of how these are  
13 going to be used going down the road? Is there going to be  
14 an assimilation of these, or do you see them kind of in a  
15 suite that people can work from?

16 MR. GRAVELY: The plan when we originally did this  
17 was, from the research side, and our schedules were set so  
18 that we could do this as part of the 2011 IEPR, and we still  
19 hope to do that, is to put together the three of them  
20 together and come up with the general consensus and us put  
21 together the different data we get plus comments that come  
22 from people outside the three contracts, and try to  
23 integrate that into a state vision, and I would envision  
24 that, if we are fortunate enough, to work it to be part of  
25 and published in the IEPR for 2011 in the summer timeframe.

1 If we're able to, there will be another Smart Grid workshop  
2 in the March, April, May timeframe if we're able to get  
3 enough from all three vendors to do that. One of the  
4 challenges that Pedro has in his office in Systems  
5 Integration is to actually learn from all these different  
6 efforts, but the original plan has always been to take these  
7 three diverse perspectives, see where the parallels are, and  
8 see where the differences are, and try to come up with what  
9 we consider is a single vision for the State that could then  
10 go into the IEPR, and potentially into some of the other  
11 State documents as we go forward.

12 MS. MANZ: I'm Laura Manz and I'm here on behalf of  
13 Viridity Energy, who is the vendor doing the UCSD microgrid,  
14 and I just wanted to pick up a thread here, that our V Power  
15 system works with the pallet and power flow so that we can  
16 start bringing markets and economics together, so I don't  
17 want to let that kind of fall by the table, it didn't come  
18 up so much today, and I think it's probably ripe in the  
19 future for further discussion, and we look forward to that  
20 opportunity. So, thank you.

21 MR. GRAVELY: And we'll take that comment you have  
22 before about it not coming up today, so I will encourage  
23 everyone online and everyone here, the comment period ends  
24 January 7<sup>th</sup>, please provide us your comments, your  
25 recommendations of what you liked or didn't like, things

1 that were missed, technology - and this is a technology  
2 assessment, so if you have things that weren't discussed and  
3 you'd like our staff to be aware of, please feel free to  
4 docket those. We would prefer you send everything to the  
5 docket, the information - it's on the message that we have  
6 on the Internet and the message here gives you the address  
7 of where to send it, but we would like that information  
8 available, it allows us to incorporate that information in  
9 our overall assessment. It gives us a Litmus test of  
10 whether or not, as you hear all these presentations, if  
11 we're on the mark or off mark. So, I would encourage people  
12 to take the time to provide that feedback officially through  
13 the docket, so it becomes part of the 2011 IEPR drafting  
14 process, and so we would encourage everyone to do that.  
15 David, you had a comment?

16 MR. TRALLI: Dave Tralli, JPL, I had a comment on  
17 the question before last, to clarify my comment on the suite  
18 of road maps. I would think that the three different  
19 studies, the road maps that they recommend, obviously, like  
20 Angela mentioned, are the result of the discussions within  
21 the perspectives of their team and the prioritizations that  
22 came out of those teams. If we look to integrate all three  
23 perspective road maps for the 2011 IEPR, we need to make  
24 sure that we have something in common across which to bring  
25 those three perspectives. And I'm just trying to iterate

1 what I mentioned in my talk, which was, if you have the  
2 traceability to the IEPR requirements, and if we had that,  
3 if we can do that, or represent the three perspectives in  
4 that manner, I think that would make the integration  
5 somewhat easier to do because, otherwise, you know, you're  
6 putting together three perspectives that are responding to  
7 three different ways of prioritizing, three different sets  
8 of objectives, and that's going to be extremely hard to pull  
9 that stuff together. Now, on the suite, I think there is a  
10 single maybe road map, or not, I mean, we're still  
11 struggling with this, I still am, the road map that gets you  
12 to 2020. We're going to look at two or three architectural  
13 options because that's the resources we have to do, but in  
14 order to pick your preferred road map, we have to optimize  
15 across something, and we have to optimize across the trade  
16 space, meeting the objectives, technical performance, cost  
17 if we can get it, of functionality, ratepayer benefits, all  
18 that. And so, we have to offer our view of what that  
19 optimization was, and that optimization might be different  
20 in the three different perspectives, which is another  
21 complexity in integrating the road maps. So, I think that  
22 is going to be really exciting, you know, there is a lot of  
23 common threads between our study and EPRI's, and I'm sure  
24 the POU ones will have common ones there, and then the  
25 integration will be really a good thing to do.

1           MR. GRAVELY: I have to admit, this was a challenge  
2 that was consciously created. We talked about this when we  
3 did the initial request, and we did not want to provide so  
4 much detail as to steer the road map a certain direction, we  
5 wanted the policy to be considered, we wanted creative  
6 approaches, we wanted diverse solutions, we did not want to  
7 - and I think the example I get here is, in fact, the IOUs  
8 have provided information that is very consistent with what  
9 they're doing and what they've talked about, I think, on the  
10 commercial side, as I'd mentioned earlier, I think one of  
11 the opportunities, the reason microgrids are mentioned so  
12 much, is it provides more commercial demonstration  
13 capability and more commercial growth, more commercial  
14 transition capability, and I think, when we get to the POU  
15 work, when they've got to marry the challenges of small  
16 utilities, medium utilities, large utilities, multiple  
17 utilities in one agency, and so I was afraid, consciously,  
18 when we provided a Government direction, sometimes  
19 Government directions can have a negative outcome, and we  
20 did not want to stifle creativity, stifle solution, by  
21 giving "this is the format you have to fit." So it makes  
22 our job a little more challenging to integrate these, but  
23 it's easier to have three defined products to integrate than  
24 it is to tell three people where to go for a 10-year vision,  
25 and not make a mistake. So, we - and Pedro gets to benefit



1 from that creativity. His office will be the one to help  
2 integrate that, and we envision sharing that with the  
3 public, but I do think, and just so you know, we consciously  
4 anticipated three diverse approaches and it looks like we're  
5 getting three diverse approaches, which I think is a good  
6 sound. Anybody else with questions? Anybody on line have  
7 questions? It appears nobody has questions online.

8           Okay, so I'll cover the next steps here with  
9 everybody. This is a series of two workshops that we have  
10 done, primarily the PIER program, one on Storage, one on  
11 Smart Grid, we will take the information we have here and  
12 come up with information that will be kind of a technology  
13 baseline, that we will provide to the IEPR Committee, and  
14 whether we end up doing a white paper here, or whether we  
15 end up just integrating the road maps into a single road map  
16 is yet to be determined, but we are planning on a workshop  
17 in about five months, four to five months, that would talk  
18 about how this technology rolls into the policy and if there  
19 are policy questions and policy recommendations that we can  
20 do that as part of the IEPR for 2011, we want to do that in  
21 the future. So, I again would like to encourage people  
22 online and people here to provide comments to the docket,  
23 provide information to us, and if you have questions as to  
24 what you would like to see, but the ultimate goal for us is  
25 to try and come up with information in the 2011 IEPR to help

1 understand where Smart Grid is going and where it should go,  
2 and if there are specific gaps that need to be addressed, if  
3 there are specific policy issues that are creating  
4 challenges, or if there are specific areas - I use the  
5 analogy of storage - one of the areas that comes up, that  
6 you hear a lot, is creating tariffs and creating incentives  
7 that will make storage meet the needs of the future. In  
8 Smart Grid, it may be more an area of how we work with the  
9 PUC, how the public utilities plan their development and  
10 paperwork for SB 17 in those areas, but we're trying to  
11 integrate everything we've got and to the best knowledge we  
12 can. Our ultimate goal through this IEPR process is to  
13 share what we're learning and put that in terms of some  
14 semblance of direction, but ultimately it'll be up to the  
15 IEPR Committee, who hears a lot more of this than I have a  
16 chance to, to put this into a perspective of a report. And  
17 for those that aren't familiar, the IEPR will be drafted  
18 over the summer, the draft comment is available in the fall,  
19 it's published around the December timeframe, so we'll be  
20 gathering data for the next six to seven months, and then  
21 there is a public workshop when they provide all the  
22 elements of that. But our office will be focusing on the  
23 technology and the Smart Grid.

24 COMMISSIONER WEISENMILLER: I'd certainly like to  
25 thank everyone today for their contributions. I think we've

1 had a very interesting session. We have three interesting  
2 products, certainly those will be the basis for our  
3 thinking, but, again, I think one has to be clear on a  
4 couple of things. The first is that we are working together  
5 with the ISO and the PUC under the framework of the Clean  
6 Tech Vision, which we're marching forward on, and so, as we  
7 go forward, we will be jointly working through that,  
8 certainly PUC will have much more formal proceedings, and  
9 this is something for people to throw out ideas, much more  
10 of a scoping session, but we certainly anticipate the  
11 agencies to be working pretty much hand in glove on this.  
12 And second is that we are certainly going to be very focused  
13 in this IEPR on implementing the vision of the new Governor  
14 and his direction, as we will really have a plan in place by  
15 July, dealing with renewable issues for both DG and utility  
16 scale. And so there's going to be a lot of focus on the DG  
17 component, and it's going to be a pretty serious - I was  
18 going to say almost a forced march - between now and that  
19 time. And certainly this will be a part of it, but again,  
20 ultimately we're the deciders and so, again, thanks for your  
21 contributions and we will certainly take your input, but it  
22 is certainly the consultants are not going to drive the  
23 process is the bottom line. Thanks again.

24 MR. GRAVELY: Thank you all very much.

25 [Adjourned at 2:42 P.M.]