

BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the matter of,)
) Docket No.11-IEP-1N
)
IEPR Committee Workshop on Energy)
Storage for Renewable Integration)

**IEPR Committee Workshop
Energy Storage for Renewable Integration**

CALIFORNIA ENERGY COMMISSION
HEARING ROOM A
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

MONDAY, APRIL 28, 2011
9:30 A.M.

Reported by:
Kent Odell

COMMISSIONERS

Robert Weisenmiller, Chair and Presiding Member
Karen Douglas, Associate Member
Carla Peterman, Associate Member

STAFF

Suzanne Korosec, IEPR Lead
Jim Bartridge, Advisor to Carla Peterman
Eileen Allen
Paul Feist, Advisor to Karen Douglas
Mike Gravely
Avtar Bining

PRESENTERS (*Via WebEx)

Ethan Elkind, UC Berkeley
Byron Washom, UC San Diego
Michael Colvin, CPUC
Mark Rothleder, CAISO
Michael Kintner-Meyer, U.S. DOE

PANEL 1

Amanda Stevenson, Xtreme Power (CESA)
Mark Rothleder, CAISO
Dan Rastler, Electric Power Research Institute

PANEL 2

David Nemptzow, Ice Energy (CESA)
Dave Hawkins, KEMA Inc.
Dan Rastler, EPRI
Doug Devine, Eagle Crest Energy
Michael Kintner-Meyer, U.S. DOE
John Bryan, Fleet Energy Company
Matt Stucky, Abengoa Solar
David Ashuckian, CPUC, Division of Ratepayer Advocates

PANEL 3

Mark Irwin, Southern California Edison
Antonio Alvarez, PG&E
Mike Turner, SDG&E
Mark Rawson, SMUD
Mohammed Beshir, LADWP

Michael Colvin, CPUC

ALSO PRESENT

Dan Watkins, LBNL, Demand Response Research Center

Lon House, Professor

Alfonso Baez, SCAQMD

Ed Stockton, Hydrogen Technologies, Inc.

Billy Powell, Local 684, Central Valley Elec. Workers

Bill Taylor, Central Valley Plumbers and Pipe Fitters

Harold Gottschall, Technology Insights, on behalf of
NGK Insulators

Amber Riesenhuber, Independent Energy Producers
Association

Craig Horne, EnerVault Corporation

R.J. Shims

Rick Winter, Primus Power

Stacey Reineccius, Light Sale Energy

INDEX

	Page
Introduction	
Suzanne Korosec, IEPR Lead	7
Opening Comments	
Chair Robert Weisenmiller, Presiding Member	10
Commissioner Karen Douglas, Associate Member	11
Presentations (*Via WebEx)	
Workshop Overview - Energy Storage for Renewable Integration	
Mike Gravely, Energy Commission	11
Strategic Analysis and 2020 Energy Storage Vision for California	
Ethan Elkind, University of California, Berkeley	15
Byron Washom, University of California, San Diego	21
CPUC's AB 2514 Energy Storage Systems Proceeding - An Update	
Michael Colvin, California Public Utilities Commission	30
Energy Storage for Managing the California Grid and Integrating 33% Renewables	
Mark Rothleder, California Independent System Operator	44
Federal Perspective of Energy Storage and its Role in the Energy System	
Michael Kintner-Meyer, for Imre Gyuk, United States Department of Energy	63

INDEX (Continued)

	Page
 PANEL 1: Need for Energy Storage (Renewable Portfolio Standard, AB 32 Greenhouse Gas Reductions, Smart Grid and Demand Response) Moderator - Mike Gravely	
Amanda Stevenson, Xtreme Power (California Energy Storage Alliance)	82
Mark Rothleder, California Independent System Operator	92
Dan Rastler, Electric Power Research Institute	93
 <i>How can Energy Storage help California achieve the Renewable Portfolio Standard?</i>	
<i>How will Energy Storage help California achieve AB 32 Goal?</i>	
<i>How can distributed energy storage be used to help California achieve its future energy goals?</i>	
<i>What can be done to better define the role of energy storage in the California Grid of the future?</i>	
<i>What can be done to support the implementation of the Assembly Bill 2514 Energy Storage development, demonstration, and deployment plan activities?</i>	
 PANEL 2: Energy Storage Applications and Economics (Costs, Benefits and Revenue)	
*David Nemptzow, Ice Energy (California Energy Storage Alliance)	109
Dave Hawkins, KEMA Inc.	119
Dan Rastler, Electric Power Research Institute	127
Doug Divine, Eagle Crest Energy	134
Michael Kintner-Meyer, U.S. Department of Energy	137
John Bryan, Fleet Energy Company	141
Matt Stucky, Abengoa Solar	145
David Ashuckian, CPUC	152

INDEX (Continued)**Page**

What are the cost estimates for the increased use of energy storage?
How can the benefits of energy storage best be quantified?
What revenue mechanisms are available to ensure energy storage plays the appropriate role in the California grid of the future?
What will be the specific economics and cost-benefit data that needs to be developed to support the implementation of the Assembly Bill 2514 Energy Storage development, demonstration, and deployment plan activities?

PANEL 3: Utilities' (Investor and Publicly Owned) Perspective of Energy Storage

Mark Irwin, Southern California Edison	161
Antonio Alvarez, Pacific Gas and Electric	170
Mike Turner, San Diego Gas and Electric	172
Mark Rawson, Sacramento Metropolitan Utility District	177
Mohammed Beshir, Los Angeles Department of Water and Power	182
Michael Colvin, California Public Utilities Commission	185
<i>How does the role of energy storage differ from the utility or market perspective?</i>	
<i>Who should own grid connected energy storage?</i>	
<i>How will the utilities implement the Energy Storage development, demonstration and deployment plan for meeting the AB 2514 requirements?</i>	
Public Comments	199
Next Steps for Developing Recommendations on Energy Storage	
Mike Gravely, Energy Commission	230
Adjournment	232

Certificate of Reporter

233

1 P R O C E E D I N G S

2 APRIL 28, 2011

9:36 A.M.

3 MS. KOROSSEC: All right, if everyone can take
4 your seats, we're going to go ahead and get started.
5 Good morning, everyone, I'm Suzanne Korosec and I manage
6 the Energy Commission's Integrated Energy Policy Report
7 Unit.

8 Welcome to today's Workshop on Energy Storage
9 for Renewable Integration. This workshop is being
10 conducted by the Commission's Integrated Energy Policy
11 Report Committee.

12 Before we get started, I just want to cover a
13 few brief housekeeping items. For those of you who may
14 not have been here before, there are restrooms out the
15 double doors and to your left. There is a snack room
16 where you can get coffee on the second floor of the
17 atrium, at the top of the stairs, under the white
18 awning. And if there is any kind of emergency and we
19 need to evacuate the building, please follow the staff
20 out the building to the park that's diagonal to the
21 building and wait there until we're told that it's safe
22 to return.

23 Today's workshop is being broadcast through our
24 WebEx Conferencing system and parties need to be aware

1 that we are recording the workshop. We will make an
2 audio recording available on our website within a couple
3 of days of the workshop, and we'll also make a written
4 transcript available within about two weeks.

5 In terms of how today's topic fits within the
6 2011 Integrated Energy Policy Report, one of the Energy
7 Commission's top priorities this year is to evaluate
8 strategies and technologies that will support
9 achievement of the goals in Governor Brown's Clean
10 Energy Jobs Plan, which, among other things, include
11 adding 20,000 megawatts of new renewable generating
12 capacity in California and accelerating the development
13 of energy storage.

14 The Governor's plan emphasizes that energy
15 storage will help reduce the need for peaker plants and
16 for imports from out-of-state coal plants, and will also
17 help smooth out the variable renewable power such as
18 wind and solar.

19 As part of the 2011 IEPR, the Energy Commission
20 is developing a strategic plan for increasing renewable
21 generation and transmission infrastructure in
22 California. That document will discuss challenges to
23 meeting the Governor's renewable energy goals and
24 provide suggested strategies to address those
25 challenges. As we're all well aware, energy storage is

1 one of a suite of strategies that can support
2 integrating high levels of renewables, while maintaining
3 system reliability.

4 We're looking to all of you today to help us
5 develop specific near-term, mid-term, and long-term
6 strategies that will ensure that we have the amount of
7 cost-effective energy storage that we'll need to support
8 California's renewable energy goals, while maintaining
9 system reliability.

10 We have a very full agenda today. This morning,
11 we'll hear from several speakers from universities and
12 State and Federal energy agencies, followed by a panel
13 discussion on the need for energy storage to meet
14 California's energy and environmental policy goals.
15 We'll break for lunch around 12:30, depending on how the
16 morning's discussions go, and then we'll reconvene after
17 lunch with a panel on Energy Storage Applications and
18 Economics, followed by our last panel on Utility
19 Perspectives.

20 We'll round out the day with an opportunity for
21 public comments. During the public comment period,
22 we'll take comments first from those of you who are here
23 in the room, followed by comments from those
24 participating on WebEx. For those of you in the room
25 who wish to speak, it's helpful if you can fill out a

1 blue speaker card, which our System Public Advisor,
2 Lynne back there has in her hands, and you can either
3 give those to me or to Avtar Bining, who is our Staff
4 Coordinator for this workshop. When it is time to
5 speak, it is helpful if you can give the Court Reporter
6 your business card and also come up to the center podium
7 and use the microphone so that the WebEx participants
8 can hear you.

9 For WebEx participants, you can either use the
10 chat or raised hand functions to let the WebEx
11 Coordinator know you have a question or comment, and
12 we'll open your line at the appropriate time. For those
13 participating only by phone and not through the WebEx
14 system, we'll also open the lines at the very end of the
15 public comment period to give you an opportunity to ask
16 questions.

17 We are accepting written comments on today's
18 topics until close of business May 11th, and the notice
19 for today's workshop, which is available on the table in
20 the foyer and also on our website explains the process
21 for submitting comments to the IEPR docket. And with
22 that, I'll turn it over to the dais for opening remarks.

23 CHAIRMAN WEISENMILLER: Good morning. Thank you
24 for your participation today. This is the IEPR process.
25 As Suzanne said, we're very focused on distributed gen

1 this time, there will be a series of workshops. Today
2 we're looking at the storage piece of the puzzle and
3 certainly trying to develop a comprehensive record,
4 certainly encourage people to have a full exchange in
5 terms of the panelists as we go forward, and then also
6 encourage people to give us thoughtful comments by the
7 11th. So, thanks.

8 COMMISSIONER DOUGLAS: Good morning. I will
9 join Chairman Weisenmiller in welcoming all of you to
10 the Energy Commission IEPR Workshop, those of you in the
11 room and those of you taking advantage of WebEx
12 opportunities. We're really interested in hearing from
13 you. Storage is a very important strategy as the state
14 moves forward in its renewable energy and climate goals,
15 so we're eager to hear and learn what we can from this
16 workshop and afterwards from public comments.

17 MS. KOROSEC: All right, we'll go ahead and get
18 started. We will start with Mike Gravely. He'll give
19 us an overview of today's workshop.

20 MR. GRAVELY: Thank you. Mike Gravely from the
21 Research and Development Division, and I'll be the
22 Moderator for today's sessions. One of the things I
23 want to point out for both the speakers and the audience
24 is we have a very full agenda today, and so we're asking
25 our speakers to state to the timeframe we've asked, and

1 typically a six to eight-minute presentation, so we have
2 time at the end for the dais to ask questions. We have
3 a question and answer session in the morning and a
4 question and answer session in the afternoon, if we stay
5 on schedule, we'll be able to have sufficient time to do
6 that, so I may end up having to pull the hook on some
7 speakers and slow them down, if necessary.

8 All the presentations are available online, all
9 the presentations are formal records that we can use and
10 reference as we prepare the IEPR, and so, for that
11 reason, we may have some presenters summarize their
12 charts as opposed to covering every point on their
13 chart; they can cover the key points.

14 In general, for those that aren't aware, we did
15 have a workshop on November 16th, which was - this is the
16 second in a two-phase effort on Energy Storage, and also
17 on the use of Auto-DR as an alternative or a complement
18 to energy storage. That workshop, it was mostly
19 technology oriented, and the basic desire of that
20 workshop was to understand the state of technology,
21 understand the state of demonstrations, and understand
22 the commercial state.

23 Today's workshop, we'll have some presentations
24 from technology presenters and technology developers,
25 but the primary focus today is one what are the barriers

1 they're running into, what are the policies and
2 procedures that would help accelerate their technology
3 to be successful, in general. So, today's workshop is
4 going to focus more on what the challenges are, how do
5 we get storage more applied into to California, and then
6 talk a little bit about what is the ultimate mixture we
7 may need in the future for storage. Storage provides a
8 valuable perspective for integration of renewables, but
9 there may be alternative we have to consider. At the
10 end of the day, the state needs to find the most cost-
11 effective and efficient way of doing all this. So, we
12 do have a very full room here and we have a large crowd
13 on the Internet, so we'll do our best to keep up to
14 speed and keep moving on.

15 So today's agenda, we'll start off with several
16 presentations to help set the baseline for us. In the
17 PIER Program, we have done quite a bit in storage
18 throughout the years, and right now we have a couple
19 major efforts that we are very enthusiastic about, one
20 of them is developing a vision for energy storage. As
21 most of you know, we've been doing visions for Smart
22 Grid, and as part of Smart Grid, energy storage is part
23 of all those packages, but energy storage has received
24 so much attention in some of the questions we had, so we
25 actually awarded the contract and you'll hear briefly

1 about that in a little bit, to talk about what is a
2 vision for energy storage for 2020, in addition to
3 looking at renewable integration and other applications
4 of energy storage that may help bring down the cost and
5 improve the productivity of energy storage.

6 In the Panels today, we'll talk specifically
7 about the needs for storage and the applications for
8 storage, cost effectivity, and cost issues with storage,
9 and wrap up the day with the utility perspective
10 because, obviously, the primary focus today is utility
11 level storage or storage to support utility level
12 operations, whether that's transmission or distribution.
13 We're looking at the integration of renewables as our
14 primary challenge, and that's what the focus will be
15 today.

16 And with that, I will start off with our first
17 presenter, and Ethan will talk to us, and Byron, are you
18 also going to speak? Yeah, so together you'll hear a
19 little bit of where we stand on this vision for 2020.
20 We encourage anybody here who is participating to
21 contact these individuals. We're still in a draft form,
22 they'll take your input, they have public meetings, and
23 ultimately the results from their work will help us
24 formulate our recommendations for the IEPR at the end of
25 this year. Ultimately, today's workshop will provide us

1 details that we need to come up with recommendations
2 when it's from the staff perspective, for
3 recommendations and future suggestions on how to address
4 storage for renewable integration. And with that, I'll
5 let Ethan and Byron come talk.

6 MR. ELKIND: Okay, good morning, my name is
7 Ethan Elkind. I'm with the Center for Law, Energy and
8 Environment at U.C. Berkeley, School of Law, and I also
9 have an appointment with the Environmental Law Centers
10 at UCLA School of Law, and I'm going to talk a bit about
11 kind of an overview to set the table of some of the
12 policy issues at stake when it comes to energy storage,
13 and also talk about the Energy Storage Vision Project
14 that Mike just referenced, and then I'll hand over the
15 baton to Byron Washom midway through.

16 So, our work on energy storage comes out of a
17 workshop and a White Paper that we released from the two
18 law schools at UCLA and UC Berkeley, and we gathered
19 industry stakeholders and discussed some of the key
20 barriers that they're facing in relation to deploying
21 more energy storage technologies along the grid. And
22 they came up with some recommended policies, so we
23 encapsulated those in the White Paper.

24 And first, when we talk about Energy Storage, we
25 needed to define what we were talking about and this was

1 an exercise that did not lead exactly to consensus, but
2 we narrowed it down somewhat and came up with a
3 definition, a physical system with the ability to
4 capture energy for dispatch or for displacement of
5 electricity use at a later time. And there is also a
6 definition now enshrined in AB 2514, but we think this
7 somewhat encapsulates energy storage as a starting
8 point.

9 And we were looking at energy storage in part
10 because of the effort to integrate 33 percent renewables
11 by 2020, which is now in the law, and also because of
12 the need to reduce peak load power and spinning
13 reserves. And I suppose I would be remiss if I didn't
14 also mention that, you know, now, since we've done this
15 workshop last year, we now have the Governor, Jerry
16 Brown has his energy proposals as is referenced to have
17 utilities shift five percent of their peak load power,
18 and there is some data about the value of energy storage
19 for other uses, as well. So, there is a strong need
20 here and, of course, we have AB 2514 as a policy driver.
21 I should also mention the general Grid operational
22 support benefits that energy storage may be able to
23 provide.

24 So, these participants focused on some of the
25 key barriers, including regulations and utility

1 processes and there are a number of layers to this, but
2 I think, when we talk about regulations, a lot of the
3 common refrain that we heard was that we have a
4 regulatory system that is designed to meet more
5 conventional means of supplying energy and it doesn't
6 necessarily favor, and in some cases would disfavor
7 energy storage, which may be able to compete where the
8 regulation is designed in a different way. They talked
9 about monetizing the ratepayer utility and societal
10 benefits and the challenges associated with this, so
11 finding a way to monetize that value stream.

12 Another barrier that we have, issues regarding
13 technological maturity and high capital costs, and
14 particularly when you're faced with a situation where we
15 cannot deploy the energy storage technologies at a large
16 scale, you're not able to take advantage of the
17 economies of scale to bring down capital costs.

18 And finally, they identified a lack of public
19 awareness, and I think this workshop is obviously
20 getting at this barrier, but a sense of what the
21 benefits of energy storage could be, not just for grid
22 operators and utilities, but also for ratepayers and the
23 public. So, out of this discussion, some regulatory
24 considerations came out and I should also mention that,
25 even though I'm working on the Energy Storage Vision

1 Project, this was from our separate study, so this does
2 not necessarily reflect what we will have in our energy
3 storage vision project, although I think we'll end up
4 touching on most of these issues.

5 So, the first thing they talked about was the
6 need for an energy storage asset class, a separate asset
7 class to provide more certainty that energy storage
8 costs can be reimbursed and provide more certainty in
9 that respect, and I think if FERC were to take the lead
10 on that, that that would have a trickledown effect for
11 State policies. Also, for the CAISO to unbundle
12 ancillary services, to provide energy storage
13 technologies and manufacturers and developers to have an
14 in, to be able to bid on some of these ancillary
15 services.

16 Also discussed was adding energy storage to the
17 loading order, which may not involve adding it as a
18 standalone class, but perhaps adding aspects of energy
19 storage throughout the energy loading order where it is
20 appropriate. Having the CPUC establish a resource
21 adequacy value to incentivize contracts with energy
22 storage developers and, I think, a critical method, a
23 critical aspect that I think is still very much needed
24 is finding a method for energy storage value to be
25 reimbursed to providers, so this would involve, at least

1 at one level, developing a cost methodology analysis
2 that everybody could agree upon. And then we also have
3 to consider the implications of the 33 percent RPS and
4 the integration efforts.

5 So, considerations to lower the cost, and so
6 that was a critical barrier, continued R&D, tax credit
7 incentives, I know there are some Federal discussions on
8 this, and then CPUC standardized contracts for customer
9 provided storage could help streamline processes and put
10 more certainty into the process. Rate basing substation
11 and utility scale storage systems was also discussed and
12 encouraging large quantity long term commitments to help
13 bring down the costs of the economies of scale.

14 So, having said all that, it is somewhat of a
15 quick overview of some of the policy issues at stake
16 when we talk about energy storage.

17 I want to talk now about the Energy Storage
18 Vision Project. This is a project sponsored by this
19 agency and the PIER Program, and the research team
20 involves the California Institute for Energy and the
21 Environment, my school, the University of California,
22 Berkeley School of Law, researchers at the University of
23 California, Los Angeles, and University of California,
24 San Diego, and Byron will be representing them. We have
25 a diverse advisory committee. We're trying to make this

1 process as open as possible to get input from all the
2 key stakeholders. We don't want to be in the business
3 of surprising anyone when they click open that PDF that
4 eventually will be available for folks, so here is a
5 list of just some of the people we have on the Advisory
6 Committee, and we've been in regular contact with them
7 and continue to look forward to getting input from them.

8 The project involves two parts, so the first
9 part is to do a technical status review of the various
10 energy storage technologies and identify the remaining
11 research and development needs. And then the second
12 part is an effort to set forth a strategic vision for
13 different energy storage scenarios over the next 10
14 years. And our goal is to highlight the value of energy
15 storage to meet future state energy goals.

16 To give a sense of the project timeline and what
17 our goals are, we are charged with supporting the CPUC
18 in their AB 2514 process as they are going through their
19 process of determining whether or not they will be
20 setting targets for energy storage procurement and, if
21 so, what those targets might look like. We also want to
22 provide input as we're doing hopefully today to this
23 IEPR process, and we also want to gather input from our
24 Advisory Committee members, utilities, energy storage
25 system manufacturers, etc.

1 We will have findings by almost next month, now,
2 but it will likely be at the end of June, and then our
3 final report will come sometime later this summer. And
4 now I'm going to pass the baton over to my colleague,
5 Byron Washom.

6 MR. WASHOM: Thank you, Ethan. I'm Byron
7 Washom, Director of Strategic Energy Initiatives at U.C.
8 San Diego. And I would like to first of all mention
9 that, on our technical survey that we're doing, there is
10 actually, for as young of an industry as this is, and
11 technology, there is an excellent base of vetted
12 publications. Unfortunately, with vetted publications,
13 they tend to be lagging by the time it takes them to get
14 to publications. So, we are depending a lot of our
15 information on these publications, but we are also
16 turning our attention to currently either publicly
17 disclosed energy storage contracts, and that's for the
18 first time is where you see the evidence of a willing
19 buyer and a willing seller at a price, technical specs,
20 warranties, etc. We're also getting access to some
21 private contracts that also will provide us a much
22 superior base than just the vetted publications.

23 R&D is an essential part of just about every
24 aspect of the different energy storage technologies, and
25 we are looking to, as a previous slide indicated, to

1 deploy at the speed of value. And the speed of value is
2 something that is technologically feasible, as well as
3 cost effective. So, we are looking to analyze the
4 feasibility of the forecasted -- or the AB 2514
5 schedule, as well as accelerating it beyond those
6 schedules.

7 So, in analyzing the State and Federal policies,
8 this is a policy driven market at the present time,
9 rather than a value driven market. And it will be
10 imperative that both Federal and State policies,
11 including FERC, are involved. We will be looking
12 outside the domain of the Federal and California
13 policies for other potential applications, including
14 Europe that might be relevant to us. And from this
15 bouquet of policies, we will actually be identifying the
16 most critical policies that our state here, as well as
17 possibly the Feds, should be looking at.

18 We will be evaluating the scenarios for
19 potential CPUC targets under AB 2514, which is probably
20 the most contentious issue within 2514, and then we will
21 be pulling three to five promising applications for
22 energy storage likely to have either grid problems or
23 grid opportunities in 2020. Those three to five
24 candidates have not yet been identified and might be
25 finalized as soon as lunch today, but they are in the

1 areas of Area and Frequency Regulation, Renewable Grid
2 Integration, T&D Deferral, Load Following, and Electric
3 Energy Time Shifting. So, I think that will be much the
4 heart of our report, as well as our policy
5 recommendations. And then, in terms of the scenario
6 planning, it will be a business as usual which, on the
7 present course would be long and slow, as compared to an
8 accelerated deployment in which you would either have a
9 technology push or a market pull in order to bring more
10 opportunities in the value added of energy storage to
11 the marketplace.

12 But we are reminded that there are potentials
13 for disruptive events, both positive and negative, and
14 we are seeing them occur almost daily, one disruptive
15 event occurred with the earthquakes in Japan, which
16 showed the lack of energy storage on-site at nuclear
17 power plants; two weeks later, there is a U.S. Senate
18 Hearing identifying that a vast majority of U.S. nuclear
19 power plants lack the commensurate amount of storage,
20 and suddenly we saw an overnight surge in demand for
21 that type of storage in the marketplace.

22 We also are seeing, the smarter the Grid gets,
23 maybe the less storage is needed, so there are
24 disruptive events, and one has to be nimble in this
25 Vision document to anticipate these disruptive events.

1 And then there are ongoing research needs. We
2 are heartened by the issuance of a number of funding
3 opportunity announcements from Department of Energy,
4 ARPA-E, which is a major program that is not looking for
5 an order of magnitude improvement in either the cost or
6 the performance, and so ARPA-E is now attending to
7 themselves not only to - DOE is attending themselves to
8 the present technology, but ARPA-E is attending
9 themselves to the over-the-horizon.

10 So we have had a number of different milestones
11 of events that have involved primarily the public, as
12 well as interested stakeholders, and we'll continue to
13 be able to have this interface during the course of the
14 summertime. And we have completed the technical surveys
15 of the, if you will, the background document of the
16 technically available technologies, as we see today,
17 which gives us the framework for the deployment and the
18 analysis.

19 So, as Ethan mentioned before, we're a multi-
20 campus collaborative effort between Berkeley, UCLA and
21 UC San Diego, and we're being led by the California
22 Institute of Energy and Environment, and I'm showing now
23 the contact information for all of us; all of us are
24 equally accessible, and we would welcome your questions,
25 inputs, comments, and criticism. Thank you.

1 CHAIRMAN WEISENMILLER: Okay, thank you. A
2 couple questions. I guess I will start with a couple
3 observations. First is, I think generally in the
4 industry, the understanding is that, in terms of
5 potential game changers in the electric industry,
6 storage could be one of those, and certainly change the
7 whole nature of things, so that's one of the reasons why
8 we're really focusing on things today. The other
9 general observation is, obviously the Governor is fairly
10 clear that 33 percent is to be seen as a floor, not a
11 ceiling, on the level of renewables we're shooting for.

12 In terms of turning more to questions, I guess
13 the first question is that fundamentally with storage,
14 do we need now economies of scale or market pull-
15 through, or do we really need technology breakthroughs?
16 You know, what does it really take to make this work?

17 MR. WASHOM: I would respond in this fashion.
18 The subject of storage is like having a quiver to which
19 you have a number of different arrows, which are a
20 variety of different technologies. And so, appreciating
21 how many different types of arrows you have in your
22 quiver must be taken into account. Some arrows are
23 ready to fly today, other arrows are not. And so, I
24 personally am of the belief that "the volume cures all"
25 is a myth, it's just not a matter of creating more

1 volume. As I indicated earlier, deploying at the speed
2 of value. So, where we need technology improvements, we
3 need R&D first, and then move it into the marketplace.
4 All the technologies in one form or another, due to
5 their capital intensiveness, will probably need
6 incentives of some type by the failure of the current
7 marketplace to monetize the true value of storage.
8 Storage has over 30 different elements of value and,
9 right now, very few of those elements of value are
10 monetized in the marketplace.

11 CHAIRMAN WEISENMILLER: Okay, well, that gets to
12 the next question. If you think of Alfred Kahn's basic
13 definition of what is a utility function, it's one where
14 there are economies of scale. Obviously in the
15 generation sector, that logic went away decades ago; the
16 question is, in storage, is there going to be economies
17 of scale? I realize there is a range of services here,
18 is this going to be a utility function or a competitive
19 function?

20 I would believe it will be a competitive
21 function and there will be a role for the utility,
22 particularly in the areas of large baseload shifting of
23 load, as well as the issues of reliability, T&D deferral
24 is primarily utility function, so there is a variety -
25 again, out of this list of 30, some are very clearly

1 long on the customer side of the meter, some belong on
2 the utility side of the meter, and some afford
3 themselves to the energy service providers.

4 CHAIRMAN WEISENMILLER: Okay, but, again, is
5 that philosophy? Or is that economies of scale driven?

6 MR. WASHOM: No, I don't think - I think with
7 energy storage, it's not economies of scale, it's
8 location and value and the service that you're providing
9 at a moment in time.

10 CHAIRMAN WEISENMILLER: Maybe, but, again, I
11 think all of us can profit by listening to Alfred Khan
12 on that issue, you know, I think certainly I remember in
13 the last decade some theories of like unbundling some of
14 the billing and metering services, and, again, that sort
15 of flew straight in the face of economies of scale.

16 So, the next question is, you're talking a lot
17 about storage, but what about complementary products
18 like demand response? You know, what is the right mix?
19 I mean, it doesn't seem like we want to do all storage
20 at that cost, as opposed to some portfolio of responses
21 that are storage, demand response, and presumably gas
22 plants.

23 MR. WASHOM: I concur with that point of view.
24 In the particular case, and I gave it a one-sentence
25 treatment in my presentation of saying "the smarter the

1 Grid becomes, the less storage that is required," demand
2 response, automatic demand response, greater sensing,
3 greater efficiencies in the marketplace of re-
4 optimization and rescheduling of supply and demand, that
5 all comes into play. And so there's actually a rivalry
6 and intramurals, if you will, between storage and the
7 smart grid. But ultimately, storage does definitely
8 have a niche and the question is how large is that
9 niche, and is the smart grid and Auto-DR eating away,
10 eroding at the bandwidth of that marketplace?

11 CHAIRMAN WEISENMILLER: Okay. The next
12 question, more specifically, you talk about the CAISO
13 unbundling ancillary services, have you guys reviewed
14 the CAISO tariff, at least for the battery storage
15 approach?

16 MR. WASHOM: I personally am conversant in that,
17 but have we as a group, I believe that is on our agenda
18 to look at the CAISO activity. But I have to be careful
19 with my pronouns of "we" and "I" today, so I think the
20 "we" answer is we're about to do that. Thank you.

21 CHAIRMAN WEISENMILLER: Okay, and I guess my
22 follow-up question was, that was designed to deal with
23 the specific decay characteristics of batteries; will we
24 need tariffs for each of the storage technologies to
25 reflect their characteristics, or what?

1 MR. WASHOM: Actually, I would reverse that, in
2 all due respect. And I would say the applications will
3 be the ones that should be tariff-focused, and you allow
4 the marketplace and the technologies to decide whether
5 or not they can compete or not compete in the
6 application. And what I'm personally finding, on Friday
7 I'm opening bids for one megawatt of four megawatt hours
8 on campus, and what I am finding is that the previous
9 assumptions of where these technologies could or could
10 not compete are actually changing. They're morphing.
11 And so, the marketplace that's represented by your
12 audience here is actually finding that their technology
13 can go in and compete in applications we presently did
14 not presume. So, I would say, be applications oriented
15 on how you monetize the value, and then let the
16 marketplace, and then technologists and the OEMs come in
17 and try to penetrate those opportunities.

18 CHAIRMAN WEISENMILLER: Certainly, it's a lot
19 better if we can design the services, reflect those in
20 the tariffs, and then if people compete to provide
21 those, in a way that provides the best value to the
22 ratepayers.

23 MR. WASHOM: I concur.

24 CHAIRMAN WEISENMILLER: Okay, next speaker.

25 MR. WASHOM: Okay, thank you very much.

1 MR. GRAVELY: So the next three speakers will
2 give us a perspective from the Public Utilities
3 Commission, the ISO, and the Federal Department of
4 Energy perspective. And Michael Colvin is here to give
5 us - one thing we mentioned, besides the IEPR, of
6 course, is 2514, and the research we're doing, the work
7 we're doing also will feed into that, and we're very
8 actively with the PUC in helping them, as well as the
9 utilities are, so this will give you an overview and
10 feel free to ask questions later about how the PUC sees
11 2514 flowing out.

12 MR. COLVIN: Good morning, Commissioners and
13 good morning everyone else. My name is Michael Colvin
14 and I'm a staff person on the Policy and Planning
15 Division at the CPUC, and I am right now the staff lead
16 on our energy storage efforts. It's a privilege to be
17 here this morning.

18 Probably the standard stock disclaimer you
19 always hear from staff people at these IEPR workshops is
20 that, since this is a rulemaking, and we are actively
21 trying to develop rules, not a lot of official PUC
22 positions are being presented today, that a lot of this
23 you'll kind of hear me weave in opinion and, kind of,
24 facts. And I'll try to be really clear when I'm doing
25 what. I also think it's worth noting that I'm right now

1 also kind of wearing two hats at the PUC. I'm also
2 acting as interim energy advisor to Commissioner Ferron,
3 who is in charge of all of our renewable efforts, and so
4 I'm not representing his views on any of our renewable
5 efforts, so I'm kind of playing the staff role today.
6 So, if I act schizophrenic, now you know why.

7 A couple of basics, I know most people in the
8 room already know this, but just in case, AB 2514, the
9 Skinner Bill requires the PUC by March of 2012 to open a
10 proceeding to start looking at doing a rulemaking. We
11 actually launched this already in December of last year,
12 so we're ahead of schedule, just to give you a sense of
13 where we're at in the timing. But the law asks us to
14 determine any appropriate targets of all the load
15 serving entities to procure viable and cost-effective
16 energy storage systems. And then it asks us, by October
17 2013, essentially a year and a half later, to establish
18 those targets if we find that any of them were
19 appropriate. And it also said, well, make certain that,
20 since this is a nascent market, to establish some clear
21 milestones for 2015, so, a year and a half later after
22 that, and then for 2020. So, those were sort of the
23 timeframes of what can we do near term and what are we
24 doing by 2020.

25 The law also speaks about some of the very

1 similar milestones and approaches for the non-investor
2 owned utilities in the state, but I'm not going to cover
3 that part of 2514.

4 The policy goals of 2514 are fairly clearly laid
5 out and say an energy storage system, if we're going to
6 set some targets for this, it must be cost effective and
7 it should also try and do one of the following things,
8 and that runs the gambit from reducing greenhouse gas
9 emissions or reducing peak demand, defer substitute
10 investment and generation or transmission assets,
11 improve reliable grid operations, and there's probably
12 half a dozen other good policy goals that are within
13 that, that the law doesn't specifically enumerate, but
14 we need to look at and try to consider.

15 I'd like to point out for the purpose of today's
16 workshop that the theme is renewable integration and,
17 while critically important, at least in my opinion, it's
18 not the only policy driver that we need to be focused
19 on, and so there is a little bit of a balance of, "Yes,
20 33 percent is the floor, we are going to be moving
21 towards more and more renewable integration, storage
22 might be able to play a role there. But storage might
23 also be able to play a role in a bunch of other places
24 on our rapidly changing Grid, let's just not get tunnel
25 vision." And so I hit on cost-effectiveness that was

1 sort of the one thing that storage must be cost-
2 effective and... And so, the PUC can consider a variety
3 of possible policies to encourage cost-effective storage
4 to be deployed to the grid, it could be anything from
5 refining how we currently procure assets to considering
6 different contract methods, to different ownership
7 models, to leveraging our self generation incentive
8 program, anything and everything that is kind of within
9 our arsenal. Now, I'll be clear that we're a ratemaking
10 agency first and foremost, so when you have the hammer
11 of ratemaking, we tend to look at things through rates
12 or through contracts, and I think it's critically
13 important that the Energy Commission - that we always
14 work together because you guys have such a different
15 perspective, and I think the two together provide the
16 right chorus.

17 The trick, and this is kind of the classic
18 policy trick, but the trick with storage of where we're
19 at right now is costs are immediate and known, but the
20 benefits are long-term and diffuse, it's kind of the
21 classic policy problem and we need to figure out a way
22 of determining what are the externalities, what are -
23 how do we start getting the value of storage? And so I
24 kind of put down there the key question I think we all
25 need to figure out, whether it's at the PUC's

1 proceeding, or everywhere else's: how do we properly
2 enumerate the value of storage on our system?

3 Just to give you a couple of highlights of some
4 of the major activities that the PUC has done, in July
5 of 2010, sort of as the Skinner Bill was being
6 developed, we put out a PUC White Paper, some of the
7 contributors of that White Paper are actually in the
8 room today, to say "here are what we identify as some of
9 the barriers and opportunities for storage," and coupled
10 with the 2514 Bill, the PUC launched our rulemaking in
11 December of 2010. For those of you who like numbers,
12 our official Rulemaking number is R10-12-007, "10" for
13 2010, "12 for December, and "007" just because.
14 Following the launch of the White Paper and of our
15 rulemaking efforts, we asked parties to get some
16 comments to say, "Well, what do we think the scope is of
17 this, of what we should be looking at?" And, actually,
18 and kind of an unusual step to really try and make
19 certain we were getting full stakeholder input at the
20 beginning of this process, we held kind of an informal
21 pre-workshop to say, you know, make certain we are
22 getting into everything, it was an extraordinarily
23 useful event. Again, a lot of the people in the room
24 were able to participate in that and it was critically
25 helpful. About a week and a half ago, we hosted a pre-

1 hearing conference mixer in that we were determining the
2 scope and the schedule correctly. In our Scoping Memo,
3 which will set the schedule, will be coming out probably
4 in the next two weeks, so early May.

5 Getting into a little bit more of the substance,
6 and I'm going to bifurcate a little bit of this into
7 this talk now and then I'm on another panel later on
8 today, so some of the stuff will be saved for that. But
9 some of the key questions we need to consider is, "Well,
10 what is the current status of the storage market?" And
11 given the fact that there's both rapid technological
12 change and, frankly, rapid market change, how do we
13 create a general policy framework that will be
14 sufficient? And what is the umbrella policy statement
15 that we need to be making that can then be applied onto
16 the various unique situations that we need? And I think
17 one of the questions that I keep asking myself is, what
18 are we trying to accomplish from an increased
19 penetration of storage? What is the ultimate goal? You
20 know, is it more for more sake, or is it more in order
21 to be able to do this? Is it a means to an end, or is
22 it an actual - the goal is just more?

23 You're going to probably hear this buzz word a
24 lot today, but I'm going to be the first person to try
25 and introduce it, what are the primary [quote unquote]

1 "applications of storage?" Where does it make sense to
2 actually be putting storage on our system? I think,
3 hopefully, this talk and also some of the other talks in
4 the first part of the morning will get at, are there
5 unique market or regulatory barriers to storage? It is
6 kind of the new technology, it is sort of a changing
7 grid and a changing everything else, and so do we need
8 to be thinking about some of our market rules, our
9 contracting rules, etc.? And then, we probably need to
10 do that across all the relevant agencies, and that will
11 probably be one of our first efforts at the PUC is to
12 just say, "Is there something that is just a market rule
13 that can be changed immediately before we get into
14 general policy-making, then, that just sort of needs to
15 get coordinated?"

16 And then, this is again something that I use, a
17 sort of a touchstone in thinking about storage, but how
18 does storage connect to the other resources in the
19 Energy Action Plan? And again, it goes a little bit
20 back to this idea of applications, but if you think
21 about storage and demand response, and the problems or
22 opportunities there vs. storage and distributed
23 generation that's behind the Grid, totally different
24 barriers to entry, probably - different ownership
25 models, different value streams, but yet it's all still

1 storage. And so, just going through the rigor or going
2 through the exercise of connecting to different points
3 along the loading order is probably a useful way to
4 making certain that whatever general policy framework we
5 come up with is strong enough to go through that
6 process, go through that ladder. And, again, sort of a
7 sneak preview of some of the ways of how we're thinking
8 about this, at least at the staff level.

9 The balance as we go forward needs to be, "What
10 are the ratepayers trying to get for more - increased -
11 amount of storage?" Cost-effectiveness, integration
12 with the Grid, with either renewable resources, or what
13 I would call non-dispatchable resources, things where we
14 don't have control over how the Grid works, so we have a
15 bunch of 24/7 must take resources on our Grid, in
16 addition to the intermittence. And that sort of gets
17 lost in the renewable integration conversation, but
18 both, I think, need to - can be balanced by storage and
19 can play that role. And ultimately, we need to balance
20 kind of those different factors to be able to then send
21 a clear signal out to the market to say, "Here's what
22 we're trying to provide the opportunities for, now
23 market it and see if you can run."

24 I'm going to have a couple other things for
25 later on today, but I think this hopefully gives you a

1 sense of some of the general policy thinking of where
2 we're at.

3 My last thing, just to kind of say more to the
4 folks in the audience is, if you're not used to
5 participating in the PUC's process, please feel free to
6 see me after or during one of our breaks, I can get you
7 any information you need in terms of getting onto our
8 service list or anything else, it's a big tent, we
9 welcome public participation, especially in kind of a
10 new topic like this, you know, the more voices the
11 merrier. So, if you are kind of interested in anything
12 I've had to say and want to learn more, please do
13 participate. And with that, if you have any questions,
14 let me know.

15 CHAIRMAN WEISENMILLER: Yeah, first, I want to
16 really thank you for your participation today. I mean,
17 obviously, we like to look at the IEPR as a opportunity
18 for the State's Regulators, the Energy Commission, the
19 PUC, and to some extent the CAISO, to jointly address
20 these issues and certainly welcome your office's
21 participation as we go forward, wearing your
22 Commissioner Ferron hat in this activity, and I know he
23 and I had talked earlier, unfortunately, and I
24 understand his scheduling constraint, or else he might
25 have been sitting at the dais today with us. I guess,

1 you know, as you indicated, the PUC is very focused on
2 rates and the cost of stuff; here, we're probably more
3 focused on the environmental impacts, CAISO more on
4 reliability aspects, so we have to get all three to fit
5 together. But, I mean, looking at your slide and
6 looking at cost-effectiveness, the one policy issue
7 we've struggled with, in our Building Standards, we have
8 to look at lifecycle costs, so, again, cost-
9 effectiveness. But in our most recent one, we're
10 looking at including greenhouse gas implications as part
11 of the economics. I don't know if the PUC has struggled
12 with that question?

13 MR. COLVIN: Oh, mightily so. And, again, the
14 question -- I'm going to shift actually to this slide
15 here, you notice kind of the first bullet point is
16 greenhouse gas emissions is sort of one of the key
17 policy drivers that's there, I think there are two
18 answers to your question, one is eventually with AB 32,
19 and if we get cap-and-trade actually launched, there
20 should be a strong enough carbon market that hopefully
21 will eventually translate into rates and for certain
22 aspects of the storage market, a proper rate signal and
23 a proper rate design is really critical in order to make
24 the value chain actually work. And so, in terms of
25 greenhouse gas emissions, this is talking about reducing

1 greenhouse gas emissions, when I talk about rates it's
2 more about, well, what about the things that are
3 actually being emitted? What's the value there? So I
4 think that's kind of the first part of your question.
5 The second part, which is a little bit less obvious to
6 try and figure out in terms of the value chain is, what
7 is the value of the avoided GHG, is it exactly equal to
8 the carbon market? Maybe, maybe not. And in terms of,
9 well, how do we make smarter procurement choices in
10 terms of avoiding that next greenhouse gas, it's the
11 mixture of markets and mandates that the state is
12 pursuing here, and I think that goes back to the
13 original kind of purpose of today's topic, which was
14 renewable integration, and you know, no sources of
15 power, and if storage can help promulgate more null
16 sources of power, that might be something that needs to
17 get palliative and I think that is going to be a hat
18 trick we're going to have to figure out during this
19 process.

20 CHAIRMAN WEISENMILLER: Okay. The next question
21 is, as I said, to some extent storage and demand
22 response are complementary, so, in the PUC context, are
23 you considering the tradeoff between, say, more storage
24 or more demand response?

25 MR. COLVIN: I'm pausing for a second because we

1 do have some storage applications that are actually
2 coming in as part of our demand response suite of
3 applications, things like permanent load shifting.

4 CHAIRMAN WEISENMILLER: Right.

5 MR. COLVIN: And so I actually don't think that
6 they are necessarily competing, I think that they
7 actually can, sort of like the Venn diagram that they
8 actually can overlap to a certain extent. In my mind,
9 if we can come up with a proper value chain for storage
10 to say, "Here's what we think storage stacks up
11 correctly," then let's give choices out to the end
12 consumers and say, "If you want to participate in demand
13 response, here's that price signal, and if you want to
14 participate in storage, here's this price signal." And
15 there will probably be a little bit of turning left,
16 but, you know, having your foot on the gas and the brake
17 at the same time kind of metaphor, but at the same time
18 I think that's what economists call "equilibrium," and
19 that's a good thing. So, I don't think there's a direct
20 competition there, I do think that demand response is a
21 little bit more of a mature market, and so we might be
22 looking at things from that lens a teensy bit more right
23 now.

24 CHAIRMAN WEISENMILLER: Okay, and in terms of,
25 as you talk about looking at moving forward, do you

1 anticipate looking at the value or cost as you're
2 setting rates or tariffs for, say, storage?

3 MR. COLVIN: I think both, in all honesty.

4 CHAIRMAN WEISENMILLER: I see, yeah.

5 MR. COLVIN: Not to completely evade your
6 questions. But I guess I define value as what's the
7 value that could be positive or negative attached to it.

8 CHAIRMAN WEISENMILLER: Right.

9 MR. COLVIN: And then translating that into
10 rates, as appropriate.

11 CHAIRMAN WEISENMILLER: Right. Yeah, and so
12 I'll try again, I mean, obviously you talked about, say,
13 eventually the avoided cost of storage, and if you look
14 at, say, generation historically, you know, if you go
15 back decades and decades ago, it was all cost-based.

16 MR. COLVIN: Uh huh.

17 CHAIRMAN WEISENMILLER: And, certainly in the
18 PURPA context, it became more value based. And so,
19 again, and that was one way of introducing innovation
20 into the generation sector. So, in terms of this
21 innovation of storage, again, you could do it either by
22 an avoided cost approach, or a cost-based approach. Or
23 both, depending on applications or values.

24 MR. COLVIN: Yeah, now you're making me want to
25 put on another hat because I did PURPA and Q.F. and CHP

1 stuff for two years.

2 CHAIRMAN WEISENMILLER: Well, good. So you know
3 the problems of both of those.

4 MR. COLVIN: I do know the problem. I think
5 it's a perfectly valid question to ask and I don't have
6 - I think that's something that I would kick out to the
7 parties and say, "What should we be doing with this?"
8 And hopefully it will develop, but I don't have a gut
9 reaction for you right now.

10 CHAIRMAN WEISENMILLER: That's good because
11 obviously, as you know, with the industries, depending
12 upon the relationship between cost and value, they look
13 to the Commission for either cost-based rates or value-
14 based rates.

15 MR. COLVIN: Right, yeah.

16 COMMISSIONER DOUGLAS: I don't have any
17 additional questions. I really appreciate you being
18 here and it was helpful hearing the exchange with
19 Chairman Weisenmiller and your answers, so thank you.
20 We'll look forward to seeing you later on the panel.

21 MR. COLVIN: Yeah, thank you so much for all of
22 your time.

23 CHAIRMAN WEISENMILLER: Thanks again.

24 MR. GRAVELY: The next speaker will come and
25 address for us the California ISO perspective on

1 storage, and I would add one additional question here
2 for you to think about as you're here, and that is that
3 we hear a lot of questions, in general, on our
4 presentations here about what the rest of the ISOs are
5 doing around the country. So, maybe at some time you
6 can summarize where you think California's approach is
7 compared to the rest of the country, if you don't mind.
8 Thank you.

9 MR. ROTHLEDER: Thank you. I'm Mark Rothleder,
10 Director of Market Analysis and Development with the
11 California ISO. I'm also responsible for performing the
12 Renewable Integration Studies; this is the non-
13 transmission-related studies, so I'll be discussing that
14 today.

15 The renewable integration effort, the ISO is
16 very committed to California achieving its objectives
17 for renewable policy objectives. We also have the
18 obligation to, as Grid Operators, to ensure that the ISO
19 and the Grid can be operated reliably as we transmission
20 the resources mix to meet the load. The ISO has
21 performed and is currently performing some additional 33
22 percent renewable studies, these studies are in
23 coordination and in support of the CPUC Long Term
24 Planning process, and they are looking out at what the
25 operational requirements are in the 2020 timeframe, and

1 also identifying if there's any residual needs that are
2 not met by the expected resource mix that is planned.
3 These studies are bounding studies, they are not
4 definitive, they are highly dependent on the assumptions
5 that you put into them, and I will be getting into a
6 little bit of that in the subsequent slide.

7 What are the operational challenges? They vary
8 and these three pictures kind of describe it best. The
9 first is with load, itself, and then the overlaying with
10 renewable resources, wind and solar. You have increased
11 amount of variability and uncertainty, variability as
12 cloud comes over, you've got a reduction of production;
13 uncertainty is that it's hard to predict exactly what
14 the level of production on some of the renewable
15 resources are going to be. Both of those create a
16 balancing challenge. In addition to that, there's
17 dispatchability and over-generation, so while you can
18 predict conditions, you may get into situations where
19 the production of wind and all the rest of the resources
20 exceeds what the load is at the time, and then you have
21 a balancing issue, in which case you need some downward
22 dispatchable capability and also, sometimes, upward
23 dispatchable capability.

24 And then, in addition to that, there is just a
25 different pattern that will start to arise in the future

1 where we're very used to having the load pattern as the
2 day starts, the load ramp comes in, and then in the
3 evening the load ramp falls back off. However, with the
4 offsetting amount of wind and solar, we do expect to
5 have larger net ramps of balancing of the systems. So,
6 we expect that the load itself, the load ramps, will
7 actually be exceeded at times as the sun goes down and
8 the solar goes down, and the wind starts to rise. There
9 could be larger in-ramps and out-ramps that are needed
10 to be balanced.

11 From our perspective of the studies, the studies
12 are really multi-stepped. And the first step is to
13 determine the operational requirements, and that is to
14 quantify the amount of what we call regulation and load
15 following service that are needed to offset the amount
16 of variability and uncertainty in the system. After we
17 come up with these operational requirements, we then
18 perform production simulations that attempt to
19 simultaneously meet both the energy and the required
20 regulation and load following remaining reserve
21 capability, as well as meeting spinning reserve
22 operational requirements. And those production
23 simulations are performed over an 87 60-hour year long
24 period and they would identify, 1) any limitations or
25 shortfalls in meeting any of those requirements. In

1 addition, they provide some insight into the production
2 costs and emissions necessary to meet those operational
3 requirements.

4 Lastly, our studies do look at the inventory of
5 the fleet of the system to assess what's happening to
6 the flexibility of the fleet, is it going down? Is it
7 changing? And how is it changing the capability?

8 These are some additional observations from the
9 most recent study work, and this study work is
10 preliminary right now, it's just starting to complete,
11 and in fact tomorrow some additional information about
12 the results will be published in support of, again, the
13 CPUC Long Term Procurement process.

14 The new cases that are being run are different
15 from last year's cases where we tried to attempt to
16 study 33 percent. The assumptions for load have been
17 modified in these new scenarios to reflect that there is
18 about 7,000 megawatts of energy efficiency. Assuming
19 California meets the objectives of the demand response
20 and energy efficiency, what we're finding in the new
21 cases, which is different from the previous results, is
22 that the load following requirements have, 1) been
23 reduced, secondly, the amount of residual need for
24 regulation and load following services has actually
25 decreased, in fact, we see little or no violations of

1 meeting the upward capability. We do still see some
2 downward shortages in the range of 1,100 megawatts.

3 How do we meet these shortages is something that
4 really needs to be considered carefully because, if
5 you're dealing with load following down requirements,
6 it's probably not necessary to consider additional
7 conventional resources, but it does set the stage for
8 things like demand response, or storage devices, and
9 curtailment of resources, the renewable resources
10 themselves, assuming it's a fairly limited number of
11 hours of violations.

12 Now, shifting to the storage technology and what
13 role the different technologies play in meeting the
14 reliability and operational objectives. And there's
15 several different tools and different timeframes, and
16 depending on the timeframes of these technologies, how
17 long they can produce, how quickly they can produce, and
18 how fast they can ramp. They play different roles in
19 terms of meeting the reliability objectives, so, for
20 example, batteries and flywheels, which may be able to
21 act in very short periods of time, may be very
22 appropriate for things that are voltage control, or
23 direct like regulation balancing; things that have
24 longer storage life and production capability are maybe
25 suited for meeting the load, or shifting the load needs,

1 over the day period.

2 And we realize that the evolution of these
3 technologies is changing, so it's not - while this
4 graphic represents certain categories, certainly there's
5 crossover categories; in other words, maybe pumped
6 storage that in the future has some ability to vary in
7 pumping mode, may be able to provide some services in
8 the regulation arena, or in the 10-minute balancing
9 market. All these come into play in terms of meeting
10 intermittent and energy smoothing, addressing ramping,
11 and addressing over-generation conditions.

12 In terms of efforts underway at the California
13 ISO, over the last year or two, the ISO has taken
14 several steps in trying to remove barriers in terms of
15 its market to allow for more non-generation resources to
16 participate in the market. Some of these efforts, for
17 example, regulation energy management, provides
18 additional capability to allow resources to provide
19 regulation, recognizing that some storage devices would
20 not be able to deliver over a one hour period, but
21 certainly can provide the service over a 15-minute
22 period.

23 Other initiatives underway have been completed
24 and change the make-up of the minimum size of the
25 resource, we reduce that from one megawatt to 500

1 kilowatt, in order to participate in the ISO's market.
2 In addition, we've, in the ISO and in working with the
3 CEC, we're trying to modify the definition of
4 regulation, spinning and non-spinning, to allow from a
5 timing perspective storage devices to participate and
6 provide these services.

7 The Regulation Energy Management System is one
8 of the most recent initiatives and, really, this allows
9 us to both use the resources for regulation purposes,
10 and it's important, it's a technological effort to try
11 to control when you charge the storage back up, when do
12 you release the energy, and how do you do that in
13 conjunction with the market and the underlying system
14 balancing. And managing all that together does create
15 some new challenges and does create some innovation in
16 terms of how we control and our underlying controls and
17 market systems.

18 Overall, the ISO is trying to support renewable
19 integration, several efforts, one is the studies, in
20 addition we're performing enhancements to forecasting
21 tools, trying to come up with measures to address over-
22 generation, and increased and better monitoring systems.
23 For resources that are outside the balancing authority
24 area, we're trying to come up with measures to allow for
25 more intra-hour scheduling and dynamic transfers of

1 renewable resources. And on the market side, we are
2 addressing and trying to remove barriers and develop new
3 market products that allow resources like storage to
4 monetize and extract their value in meeting the
5 operational needs. Some of the new market product
6 developments will likely address and probably introduce
7 new ramping products necessary to balance the system,
8 and those will provide potential for capacity payments.
9 The ISO is also interested in looking at, longer term,
10 and any kind of capacity market or through resource
11 adequacy, how can storage devices participate and meet
12 those requirements.

13 Lastly, the tools that we have will require
14 additional enhancements to incorporate any of these
15 resources in managing renewable integration, and we're
16 committed to modifying and adjusting these algorithms to
17 optimize the use of the system. Thank you for the
18 opportunity and I can take any questions at this time.

19 CHAIRMAN WEISENMILLER: I'd first like to thank
20 you for your appearance today. I think, certainly, we
21 appreciate the opportunity to work with the CAISO and to
22 be able to get the benefit of your operational
23 experience in this type of context. So, a couple
24 questions. The first one was just on - it seems like
25 the whole operational stuff, I'll go through three

1 scenarios and we could talk about how storage fits in
2 those scenarios. The first event is responding as an
3 operator to sudden drops or increases in, say, wind
4 output. I know when I was at the CAISO building
5 dedication, I think one of the things Steve said was
6 that, you know, in the last couple of weeks, you've had
7 a drop of wind production of 800 megawatts in one hour,
8 so the question is, in that context, would storage help?
9 Or how do you currently respond to that sort of drop?
10 And that's with current levels of wind, presumably, as
11 we increase, you could see much larger swings. And that
12 was down - I suppose you could also have massive, you
13 know, similar swings upward.

14 MR. ROTHLEDER: Yeah, we see both ramp-in and
15 ramp-out of wind and it is increasing the amount over
16 the hour and even intra-hour is increasing. The
17 storage, one arena it can help, is providing regulation,
18 so the initial way the system balances for any drop
19 within the five minutes is going to be the regulation of
20 the system. Usually we have about 300 to 500 megawatts
21 of regulation on line, ready to meet that change. That
22 will probably increase as we see increased amounts of
23 renewables. So that's the first thing. And we've
24 removed barriers to allow storage to participate and
25 provide that regulation service. Over the rest of the

1 hour, to the extent storage devices can provide longer
2 deliveries of energy utilizing those devices as
3 dispatchable resources, we basically have a five-minute
4 dispatch market, basically balancing the system kind of
5 behind or ahead of regulation. That's where that
6 balancing would occur. And having storage resources
7 that are dispatchable, that can provide energy over
8 longer periods of time, does provide that capability.

9 CHAIRMAN WEISENMILLER: And you mentioned over a
10 long period of time, although your chart indicates that,
11 at least for the battery context, you're looking more at
12 15-minute increments, as opposed to over an hour.

13 MR. ROTHLEDER: Right, so that would be more in
14 the regulation rather than using it as a dispatchable
15 resource within the hour.

16 CHAIRMAN WEISENMILLER: Yeah, now in terms of if
17 you could get the intertie scheduling to be less than an
18 hour, but more intra-hour, how would that compare to
19 storage, if we could go to a 15-minute or five-minute,
20 even, on the interties?

21 MR. ROTHLEDER: Yeah. So, there's two types of
22 ramps from the interchange, one is scheduled ramp that
23 actually occurs every hour over the 20-minutes across
24 the hour boundary, that's one form of ramp. As we allow
25 for more resources to dynamically schedule, especially

1 renewable resources to dynamically schedule, they become
2 effectively like internal resources, internal to the
3 balancing authority, and so it will just increase the
4 amount of variability that the ISO will have to
5 accommodate as we see increased amount of dynamically
6 scheduled resources.

7 In terms of having the intra-hour schedule
8 capability, you still have the change of the schedule,
9 you can break it up, breaking it up over the hour in 15-
10 minute increments reduces the burden for balancing,
11 there's no doubt about that. Also, having the forecast
12 of that change ahead of time allows the operator to lean
13 into and prepare for that change. However, it doesn't -
14 the variability will still occur, it'll just come in
15 smaller granularity chunks, and having that occur that
16 way will reduce some of the burden, but I don't think it
17 is an alternative to having dispatch capability to
18 balance the system on a regular basis. It reduces the
19 burden.

20 CHAIRMAN WEISENMILLER: Okay, so switching
21 gears, we've talked about variable resource, going up or
22 down dramatically, the other system operational issue
23 that you have to deal with is, let's say, SONGS kicks
24 off now, or we use an intertie because of a fire and you
25 have 10 minutes to respond, and obviously this could be

1 at night or any time during the day, how does that work,
2 or how can storage help in that situation? Obviously,
3 presumably, those events could be more like multiple
4 hour if not day or week or month events for responding,
5 but at least in the first 10 minutes you have to respond
6 on a frequency side.

7 MR. ROTHLEDER: Right, well, what you describe
8 there is more of a contingency event and that's exactly
9 what the purpose of operating reserve is for, spinning
10 and non-spinning reserve --

11 CHAIRMAN WEISENMILLER: Right.

12 MR. ROTHLEDER: -- and that really is there,
13 it's held in reserve, it's not being dispatched to
14 normally balance the system, but it's there in
15 preparation for what you describe as a contingency
16 event. And in that regard, storage devices could play a
17 role in providing those types of operating reserve
18 services, they can deliver in 10 minutes, and then we
19 can utilize other resources to start to fill in the need
20 and return the reserves over the rest of the hour. In
21 fact, we can dispatch other resources, allowing us to
22 basically restore the energy and the storage device, and
23 be ready for the next contingency event. The way the
24 operating reserves works is, if you deploy your
25 operating reserve for a contingency, you have to deploy

1 it in 10 minutes, but then you have basically the
2 balance of the hour to restore it.

3 CHAIRMAN WEISENMILLER: Right, so I assume that
4 operational reserves are primarily your CTs?

5 MR. ROTHLEDER: CTs play a role in the non-spin;
6 oftentimes, the spinning is being provided by hydro
7 resources, resources that are already spinning, some
8 steam resources. So, the CTs are good for providing
9 that non-spin.

10 CHAIRMAN WEISENMILLER: Okay. Now, the other
11 sort of contingency, what you mentioned is sort of the
12 over-generation issue.

13 MR. ROTHLEDER: Yes.

14 CHAIRMAN WEISENMILLER: So, you know, given
15 again, say this month as we're moving into the high
16 hydro periods, and you have the potential ramps up or
17 down in renewables, how do you deal with over-
18 generation? And what's the role of storage in
19 responding in that contingency?

20 MR. ROTHLEDER: So, over-generation condition,
21 first, obviously, we don't consider it a contingency,
22 it's you kind of develop into it as your supply exceeds
23 your demand. Currently, we have storage devices, the
24 large hydro storage devices at those times when we start
25 to see the generation exceed the demand, we'll start to

1 dispatch and turn on the pump devices to consume some of
2 that over-supply. To the extent we run out of the
3 ability to turn the pumping devices on, we then
4 basically are utilizing market mechanisms. In the first
5 place, you'll start to see prices basically drop below
6 zero. Right now, our bid floor is -30, so we are
7 starting to now at that point sell or pay people to
8 basically take the energy either off the ISO grid, or
9 consume more. To the extent there are devices that can
10 actually be ready to consumer more, such as storage
11 devices, and be prepared to be compensated for storing
12 or consuming that energy, that's one form of managing
13 the over-generation condition. If we get to the point
14 where we've exhausted our market mechanism to back
15 everything down, there then becomes procedural
16 mechanisms where we may have to basically tell a group
17 of resources, or all resources, to start backing off
18 and/or shutting down to balance the system. That starts
19 to come into the realm of an energy condition where we
20 have over-generation. I wanted to say that some of the
21 things that we're doing on the bid floor to incent more
22 curtailment of renewables and incent resources that are
23 able to store, we are considering lowering our bid floor
24 to something in the neighborhood of negative \$100 or
25 \$200 to overcome some of the incentives that some of the

1 renewable resources have for actually producing.

2 CHAIRMAN WEISENMILLER: Yeah. I assume, unless
3 you do that, what will happen is the renewables will
4 generate, but instead of backing out fossil fuel and
5 reducing our fossil fuel use and our greenhouse gas
6 emissions, that we just continue to generate and sell
7 the power at a loss, so we don't get the environmental
8 benefits, or both the environmental and economic costs
9 associated with the additional renewable generation, in
10 those conditions without the storage.

11 MR. ROTHLEDER: Right. Certainly, storage
12 devices that we can store the energy and use it during
13 peak times that will shift that ability around, so that
14 is a good use.

15 CHAIRMAN WEISENMILLER: Well, I think I've hit
16 my points. Thanks.

17 COMMISSIONER DOUGLAS: All right, I have no
18 further questions. Thanks for being here.

19 MR. ROTHLEDER: Thank you.

20 CHAIRMAN WEISENMILLER: My other Commissioner
21 has a question.

22 COMMISSIONER PETERMAN: Hey, Mark, good morning.

23 MR. ROTHLEDER: Good morning.

24 COMMISSIONER PETERMAN: Just a quick follow-up
25 question for you. When reviewing the list of energy

1 storage technologies in the presentation, some seem more
2 suited to readily be dispatched by the ISO than others,
3 and I was wondering if you could comment, in particular,
4 on how you would aggregate electric vehicles and use
5 that as a dispatchable storage device.

6 MR. ROTHLEDER: I think the first thing is, as
7 technology changes, and the tools that the ISO needs to
8 use, they need to be mature technologies and what we see
9 in terms of electric vehicles is potentially in the
10 future with smart charging capability, they start to
11 potentially act in a way with that capability if there
12 is monitoring the system, monitoring the signals, they
13 could provide things like regulation service, they could
14 also potentially time their charging so that you can
15 shift some of and take up some of that slack in an over-
16 generation condition. How that will all play out is
17 something that we need to continue to work together on
18 as the number of electric vehicles and the technology of
19 electric charging stations really evolves.

20 CHAIRMAN WEISENMILLER: Mark, I was going to ask
21 you one more question, thinking about that stuff. So,
22 we have talked about the three types of things,
23 obviously in terms of the variation in renewable
24 generation, you've seen 800 - it looks like in your
25 charts, you could see up to 2,000 of a swing in an hour.

1 And in terms of the more loss of generation and, again,
2 those are the large units, so it's about 1,000, how deep
3 an over-generation period have you seen? Or do you
4 expect to see?

5 MR. ROTHLEDER: From the studies we've done, it
6 looks like the over-generation condition is probably
7 going to be somewhere in the neighborhood of 500 to
8 1,000 megawatts at times. And it really does depend on
9 the way the patterns are with the wind producing at
10 night, if you get into that springtime period with the
11 spring runoff, and you have the combination of the high
12 hydro flows, low load, high wind production, that's
13 going to be the worst time in terms of over-generation
14 conditions.

15 CHAIRMAN WEISENMILLER: Assuming that nukes are
16 out or not out on maintenance -

17 MR. ROTHLEDER: Well, oftentimes, yeah, the
18 timing of those maintenance are sometimes good in the
19 sense that they do come in the spring. When they come
20 back for maintenance, we do see times where they do
21 exacerbate the over-generation conditions.

22 MR. GRAVELY: Yeah, the question was in general,
23 the East Coast ISOs and how California is addressing the
24 FERC requirements as compared to the other ISOs.

25 MR. ROTHLEDER: Yeah. I think with our recent

1 developments of the regulation energy market system, and
2 some of the changes that we've made, I think we're
3 probably catching up to some of the things that are
4 happening at the other ISOs. I will say that other ISOs
5 that do have capacity markets have incorporated storage
6 demand response into those capacity markets. In
7 California, with the capacity being acquired through the
8 resource adequacy mechanism, there is not - I think that
9 needs to potentially evolve to incorporate some of these
10 other devices. So, I think we're, in terms of meeting
11 FERC directives, we're in the progress of responding to
12 some of their more recent directives. Some of the
13 recent directives are becoming a bit more challenging in
14 terms of how to consider and dispatch demand response,
15 non-generator resources, and how to price that into the
16 system and when do you start dispatching that. There is
17 some interaction and interplay with all the ISOs with
18 FERC on that subject, and we'll be looking forward to
19 understanding better how to do that.

20 MR. GRAVELY: So, before our next speaker, I
21 want to add one thing. This comment has come up a
22 couple times, and for those of you that did not
23 participate on November 16th, we had a considerable
24 discussion there about automation of demand response and
25 the capability of Auto-DR to serve as an ancillary

1 service. Most people are familiar with DR as a load
2 reduction, load shifting technology, we've been doing
3 research in the PIER Program for over eight years, and
4 as we automated demand response, we realized the
5 response could occur pretty fast and the current
6 technology range of 30-40 seconds, future technology
7 could be five to 10 seconds, and then it would last for
8 30 minutes or longer. So, when you look at that
9 performance, it's very similar to storage. So, we
10 started looking at using Auto-DR as a complement, or
11 alternative to storage, primarily because if you put the
12 system in for peak load reduction, and it's available
13 for anything, and the cost factor is substantially less
14 to use that, so when we talk about DR and Auto-DR, we're
15 talking about both as a peak load reduction load
16 shifting, and also as a potential ancillary service, and
17 there will be a short presentation in the afternoon from
18 the [inaudible] Research Center for a few minutes, just
19 recapping what we covered in November. Those who are
20 interested can go to the website, the script is there,
21 the audio is there, and all the presentations are there
22 to cover that because we did discuss it in a lot of
23 detail last time.

24 We're now going to shift to a presentation by
25 the Department of Energy. We're fortunate to be in a

1 timeframe where there are more large storage projects
2 currently being demonstrated in the history of - I've
3 been involved in storage for 20 years, this is the most
4 I've ever seen. And the good deal is that 2010 was kind
5 of the contract award phase, 2011 is now the
6 demonstration performance phase, so a lot of these
7 projects are now reaching installation phase and getting
8 into the actual phase of putting the systems in, and
9 we'll start to see their performance.

10 We're going to have a presentation now by WebEx
11 from Michael Kintner-Meyer for Imre Gyuk and will
12 provide a quick review of all the activities DOE has in
13 this area, and what they're learning, and where they're
14 going forward. So, Michael, are you online?

15 MR. KINTNER-MEYER: yes. I am on the line. Am
16 I advancing the slides? Or are you doing it from your
17 side?

18 MR. GRAVELY: I think we're going to do it here,
19 so just confirm what slides you want us to have and
20 we'll be advancing them here.

21 MR. KINTNER-MEYER: Okay. Thank you very much,
22 Mike. I'm delighted to stand in for Imre Gyuk, who is
23 leading the Energy Storage Program at the Office of
24 Electricity, Department of Energy. I'm trying to the
25 best of my ability to convey the tenor that he would

1 have given to this presentation. There will be several
2 questions that I may need to refer to him at the end of
3 this presentation.

4 PNNL is part of the laboratories supporting Imre
5 in his project; I'm personally supporting him with Grid
6 Analytics. Next slide, please. Imre usually starts off
7 there by quoting a couple of important people there as
8 to what has changed to the recent years with respect to
9 energy storage, and he shows there statements by these
10 three fairly important people with very powerful
11 messages, and as an indication that the notion of
12 research, as well as the actual application of energy
13 storage has changed in the last two years. Next slide.

14 This slide shows the role, the Federal role for
15 the eventual implementation of deployment of energy
16 storage, starting from basic research that the
17 Department is doing in collaboration with the Office of
18 Sciences, looking at materials to advance the technology
19 to a systems design of a lower cost and higher
20 performing batteries, which then is under there with the
21 right of regulatory framework as we see here through
22 FERC Order 890, the California mandate that you see
23 here, as well as tax incentives from the Federal
24 Government as we're seeing there in the bill that was
25 introduced by Senator Bingham, the Energy Storage Act of

1 2010, which is still in discussions.

2 So we're seeing a trend from a regulatory
3 environment, certainly not quite complete, under verdict
4 [ph.] with funding for the technology, as well as
5 demonstrations and loan guarantees to bring the
6 technology into the marketplace. Next slide.

7 Imre feels strongly about the change there in
8 the significance and recognition there of energy storage
9 as a catalyst of not only addressing the issues that we
10 have heard Mark, the previous speaker, articulating for
11 the California ISO, but fundamentally being able to
12 operate the Grid in different ways because of the
13 special characteristics that we have not really had
14 before. There has been some collaboration there between
15 the Federal Government and the PIER Program through an
16 MOU with the CEC to collaborate on various levels, and
17 hopefully this will continue in the future. One of the
18 collaborations there centers around demonstration of
19 flywheels, that involves the California ISO. Next
20 slide.

21 To establish a roadmap for the Federal
22 Government with respect to a design of a program to
23 support energy storage from a technology innovation
24 point of view to the eventual deployment, the Office of
25 Electricity conducted two workshops last year, one that

1 looked at utility requirements, what does the utility
2 need, what are the costs, targets, what are the
3 performance targets to be competitive and cost effective
4 as a Grid asset, and then also from a science and
5 technology innovation point of view, looking at new
6 materials and systems of how to put these technologies
7 together into reliable and cost-effective technologies.
8 These two workshops produce some individual reports,
9 which are available and are now influencing the energy
10 storage roadmap or program planning document, which was
11 published in February and is also available on the
12 website. Next slide.

13 As far as the appropriateness of energy storage
14 is concerned and the specific operational
15 characteristics, we're seeing a broad spectrum. It is
16 driven by different applications, so we have variable
17 products, iPods which require energy storage to hybrid
18 vehicles, military applications to utility applications.
19 So that spans a whole several orders of magnitudes in
20 the power requirements and, therefore, will most likely
21 require different technological solutions for different
22 applications because of the disparity in the
23 requirements regarding footprint, energy density, as
24 well as the footprint for the installation of the
25 devices.

1 So, we would expect that the materials and the
2 electro chemistries necessary to meet these different
3 operational requirements may differ and, in fact, we're
4 seeing quite a plethora of different technology
5 innovations for specific applications. Next slide.

6 You have seen this slide many times, let's step
7 and go to the next slide, please. Let me talk about
8 several of the Stimulus activities and go into a little
9 bit more detail as to what the Office of Electricity
10 through the Stimulus factors is supporting. The total
11 budget from the Federal Government, \$185 million,
12 supporting new projects and scaling really up to
13 demonstration by a factor of 10, which raises the
14 expectations that we will get significantly more insight
15 in how the different new technologies work, how they're
16 being applied, what are the lessons learned, what are
17 the business models being applied, what are the
18 degradation characteristics of individual technologies,
19 how many different services can one technology capture
20 as they're being deployed and experimented with. You're
21 seeing there some spectrum of different technologies for
22 different applications, large batteries, compressed air,
23 some very large devices, frequency regulation,
24 distributed project with smaller devices, and other
25 technology development. This entire Stimulus package is

1 required from cost sharing and actually exceeded the
2 expectation of the 50-50 cost sharing, and leveraged
3 three times - almost three times the investment by the
4 Federal Government. Next slide.

5 I'd like to go into some of the applications as
6 we see them being deployed through the demonstration of
7 projects that are funded by ARA. The first voltage and
8 frequency regulation market that we're seeing is already
9 ready, we're seeing their companies deploying
10 technologies and actually making some money. Next
11 slide.

12 The fundamental primacy of regulation services
13 is very similar to what Mark indicated, a means by which
14 we balance to maintain frequency, the utilities have
15 been doing this for a long time with the intermittencies
16 of renewables, those regulation services are expected to
17 increase and we think there is a market for some storage
18 devices. Next slide.

19 So we're seeing some demonstration and it
20 started off with some flywheel demonstration that is
21 seen in the upper left corner, in a trailer to 100
22 kilowatts of flywheels that was collaborated there with
23 the CEC, and through the ARRA project, this has been
24 upsized now to 14 megawatts that will happen in the PGM
25 footprint, going on to an expected 20 megawatts. There

1 are lithium ion experiments done with two one megawatt
2 units with energy capacity of 15 minutes, and the
3 lessons learned from these early demonstrations really
4 culminated there in two major outcomes, one of which is
5 that if regulation is done by fast responding Grid
6 assets, that the effectiveness that it provides to the
7 Grid is what is estimated to be twice as much as that of
8 a gas turbine, so speed of responsiveness has a value.
9 The second outcome is that, if you take away the
10 requirements from some thermal power plants to go up and
11 down, you can keep them at a much more steady
12 performance, steady output, rendering higher
13 efficiencies, as well as lower emissions. And so the
14 variability could be offloaded to the energy storage,
15 and would improve the overall emissions footprint. Next
16 slide.

17 This is some rendering of the Beacon Tower
18 installation, again, that is a 3-D image showing what it
19 will look like. This installation is for a frequency
20 regulation services and the PGM footprint on the lower
21 right-hand side you are seeing here the flywheels, the
22 individual flywheels, and are composed together to make
23 up 20 megawatts. Next slide.

24 Just another picture on the upper left corner of
25 the Beacon power plant that's currently - that's

1 actually on line, that is the 14 megawatts, and on the
2 lower right-hand corner you're seeing the AES
3 installation with A-1 through 3 batteries, a total of 20
4 megawatts providing regulation services for the New York
5 ISO. What you're seeing, actually, is eight megawatts,
6 about two megawatts per trailer, that will be added to -
7 - the additional capacity will be added to make up a
8 total capacity of 20 megawatts. Next slide.

9 Peak shaving energy management and
10 infrastructure operate deferral. Imre sees this as near
11 commercial, in other words, cost performances are not
12 quite there to be fully competitive, but we do see some
13 demonstration to target that application, as well. Next
14 slide.

15 On the upper portion of the picture, you're
16 seeing an application of a sodium sulfur battery that
17 has significant energy capacity of six hours maintaining
18 an output of 1.2 megawatts where this is deployed for
19 several years at a substation to reduce the overall
20 loading on the substations. This was installed as an
21 alternative to upgrade the substation primary
22 transformer, and it's still in operation. Next slide.

23 On the distributed side, those are smaller
24 devices placed either at the substation or further down
25 in the distribution feeders, various different

1 technologies are being tested, you're seeing here the
2 different electro chemistries and the different sizes.
3 Key applications are peak demand shifting, but can also
4 provide regulation services to a point of aggregation
5 that would meet the ISO market threshold of a megawatt,
6 so you can aggregate those up if they have direct
7 control to a Grid operator to be utilized for Grid bulk
8 power services. Other applications are for smoothing
9 and assisting voltage issues in the distribution
10 feeders, and sometimes you get protection issues by
11 reversing the power flow upstream, and with energy
12 storage down in the feeders that could be prevented.
13 Next slide.

14 This is a three megawatt frequency regulation
15 demonstration in Eastern Pennsylvania where advanced
16 lead carbon batteries are being tested. In the upper
17 left corner you're seeing in red the cycle and
18 degradation behavior as a function of cycles, and you're
19 seeing that these new batteries, the new lead batteries
20 performing much longer, as opposed to the conventional
21 lead acid battery as shown here in blue. Next slide.

22 This is a representation of AEP's community
23 energy storage system. Here, the value is co-locating
24 it right next to a secondary transformer that provides
25 electricity to three, four, five homes, and the battery

1 there is providing smoothing capabilities, again issues
2 there for voltage control down in the feeders, as well
3 as frequency regulation capabilities if coordinated in a
4 central control paradigm. Next slide.

5 Another application of community energy storage
6 systems in the DTE or Detroit Edison's service
7 territory, here co-located with photovoltaic
8 installation at a community college, you see here A-1,
9 2, 3 batteries, small size batteries, 25 kilowatts
10 output for two hours, that was sized to help us smooth
11 the output from the photovoltaic arrays. Next slide.

12 Different - I think we can go to the next. We
13 also are seeing the convergence of transportation
14 batteries being utilized in the stationary energy
15 storage system A123, for instance, past transportation
16 batteries provides transportation energy storage
17 devices, and is also looking at stationary storage
18 applications with fundamentally the same electro
19 chemistry. The Department of Energy is funding a
20 activity that is looking at the reuse of electric
21 vehicle batteries, as you see here the general
22 participants. The notion is that, from a transportation
23 purpose, the battery reduces its capacity by 80 percent,
24 so, in other words, if the original battery provides
25 less range than 80 percent of the original design, it

1 will be replaced with a new battery. The old battery
2 can then be re-packaged for stationary application, and
3 the viability of doing that and the economics of it is
4 being investigated by these partners in that consortium.
5 Next slide.

6 So there is a forthcoming report coming out in
7 Oak Ridge, a report looking at the economic factors, net
8 present value analysis of such a value proposition, so
9 it's repurposing transportation batteries for the
10 purpose of supporting the Grid. Next slide.

11 Renewables Dispatch, Smoothing, Ramping and Peak
12 Shifting. This is a key driver of the discussions that
13 we're having. Next slide. So we're seeing the
14 Department of Energy through their ARRA project is
15 supporting three large battery demonstrations there that
16 are coupled with wind projects. Next slide. So one is
17 with Primus Power, a 25 megawatt three-hour battery
18 plant in Modesto that is operated by the irrigation
19 district, California Irrigation District, firming up
20 wind and thereby replacing a \$25 million gas-fired
21 generation plant, so this is a flow battery, and the
22 value that it is trying to capture here is wind
23 smoothing. Next slide.

24 Similar application, Southern California Edison,
25 collaborating with A123 on the lithium ion battery, that

1 will be located at a substation close to the Tehachapi
2 Wind Power Plants. The primary purpose is wind
3 smoothing, and there will be other controlled strategy
4 tested during the lifetime of this project. Next slide.

5 Compressed Air Energy Storage. Okay, it's a
6 mature technology. Two power plants operating for
7 several years, one in Germany and the other one in
8 Alabama, I think that technology is fairly well matured.
9 Additional geological formations are being explored here
10 in the United States and the ARRA funding mechanism is
11 supporting that activity. Next slide.

12 This is a collaboration with NYSEG in New York
13 State, again, the activity centers around finding the
14 appropriate geological formation and cavities to provide
15 the right encapsulation for compressed air to be stored
16 and in the right vicinity of transmission lines, and
17 wind, so that potential congestion issues might be
18 avoided. Next slide.

19 This is the PG&E compressed air energy facility
20 activity. Again, here it is identifying the right
21 geological formations, the right placement of the cavity
22 of the storage medium, several different depleted grass
23 fields are available and the activities are beginning to
24 look at geological formation testings. Next slide.

25 Pump hydro, we're seeing here overall some

1 interest in pumped hydros, several different projects,
2 particularly in the west, have been applied for
3 permitting with FERC. Currently we have 20 gigawatts on
4 line, several more gigawatts are in the permitting
5 stage. Again, a fairly mature technology, this,
6 however, as mentioned before, some new pumping
7 technology being tested that has variable speed pumping
8 capabilities to allow balancing services or regulation
9 services in both modes, pumping as well as power
10 generation providing a broader application opportunity
11 for a pumped storage.

12 We're seeing on the right side an interesting
13 plan by grasslands, they're trying to aggregate a pumped
14 hydro with wind to have dispatchable green power, so
15 where the generation from wind plants will be bundled
16 with storage to make it dispatchable and firmer. The
17 idea is to build additional DC lines to Los Angeles to
18 serve the California market. Next slide.

19 Imre used this slide as a reminder that energy
20 storage could be in the form of cold storage or ice
21 storage for peak demand reduction and even some
22 researchers looked at using it for regulation services,
23 as well. So it doesn't necessarily have to be electric
24 energy storage, there's also opportunities in very very
25 conventional ice storage that the industry has deployed

1 and maybe there's a renaissance of thermal energy
2 storage that we're seeing there for commercial
3 buildings. Next slide.

4 Some new technologies on the horizon. I'd like
5 to mention that the DOE program is also supporting
6 technology development and materials, the development of
7 new materials for the next generation of stationary
8 energy storage. We are seeing here five new
9 technologies that are coming to the fore, and being able
10 to be tested as prototypes, sodium ion batteries, new
11 advanced flywheels, we're seeing some iron chromium
12 redox electro chemistries, and additional lithium ion,
13 and then an interesting compressed air storage that has
14 nice characteristics with respect to avoiding to use gas
15 as the energy storage is discharged. Next slide.

16 This shows the aqueous sodium ion battery. The
17 key here is this is relatively low cost. Sodium
18 material can be utilized with relatively high energy
19 efficiency. The challenge is to provide the lifetime
20 necessary to compete in the marketplace. Next slide.

21 We're seeing here yet another, a different
22 electro chemistry being deployed that has a fairly high
23 energy density, and therefore the capability to reduce
24 the materials cost for developing and for building such
25 a device. Next slide.

1 This is a compressed air technology that is
2 utilizing hydraulics, so it is an isothermal process
3 that doesn't need to have reheating as the air expands,
4 and therefore can be operated without using additional
5 gas during the expansion process. Next slide.

6 So, the overall premise of the DOE program is
7 aggressively furthering the market pool through
8 analyses, Grid analyses, articulating value proposition
9 for different market niches, as well as technology
10 pushed by advancing technology into innovations, and
11 demonstrating it in the field. Next slide.

12 So, the goal is, as Imre states, to make energy
13 storage ubiquitous in the Grid. Next slide. I think
14 the last slide has some resources of the program.
15 Sandia has a website dedicated for hosting all of the
16 information that is published through the DOE Energy
17 Storage Program. There is a handbook and Imre likes to
18 remind people that the next Energy Storage Application
19 Technology Workshop is coming up in October this year in
20 San Diego. I think that is the last slide.

21 CHAIRMAN WEISENMILLER: Okay -

22 MR. KINTNER-MEYER: Happy to answer any
23 questions.

24 CHAIRMAN WEISENMILLER: This is Chair
25 Weisenmiller again. First, I'd like to really thank you

1 for your participation in this. You've certainly given
2 us a lot to think about, and also we'd like to thank you
3 for your joint activities with our PIER Program, and for
4 helping get some demonstration projects in California.
5 I mean, as you indicated, we are certainly pushing the
6 envelope on a lot of the renewables, so we see this
7 state as a good test bed for some of the storage
8 technologies.

9 A few questions. The first one is, I noticed
10 you quote Secretary Chu about the need for technology
11 breakthroughs for large scale energy storage. Again,
12 it's back to that basic question of do we need volume,
13 or do we need technology breakthroughs at this point,
14 realizing that there's a plethora of applications, a
15 plethora of technologies, so it's hard to generalize,
16 but what do we really need now, volume or breakthroughs?

17 MR. KINTNER-MEYER: It's a good question. At
18 the end of the day, I think that if the market signals
19 are set properly, it may work this out by itself. I
20 think what has been mentioned there early on is that
21 this is not the only technology rubric of providing Grid
22 flexibility to the electric power system. I think we've
23 seen there, particularly with the emerging electric
24 vehicle fleet, opportunities to address all of the three
25 issues that Mark from the California ISO addressed,

1 over-generation by charging, by having new load come on
2 line most likely at night, when these low load
3 conditions occur, ramping capabilities, the load can
4 respond much more quickly than a thermal energy storage
5 even than a pumped hydro or hydro power plants, and
6 certainly can provide regulation services, as well. So,
7 as to the question of how many gigawatt hours do we need
8 in terms of stationary energy storage system, is still a
9 question. We're trying to address the total market size
10 in our upcoming efforts supporting the DOE program, by
11 looking at from a cost-effectiveness point of view as
12 we've seen, new requirements being driven by the
13 intermittency problem, nationwide, what would be a
14 prudent deployment strategy that is cost-effective for
15 stationary energy storage, so that we'll look at
16 existing capabilities and the potential retrofitting of
17 existing capacity to make them more flexible, as well as
18 transmission expansion, as well as Smart Grid
19 technologies on the load side.

20 CHAIRMAN WEISENMILLER: Okay, the next question
21 is, you mentioned pump storage and you mentioned the
22 variable speed pumping problem. California has a couple
23 of very large pump storage facilities already, Helms-
24 Castaic, for example, we also have a lot of poundage
25 hydro as opposed to the run of the river in the water

1 system. Is there any effort at this point to come up
2 with demonstrations for cheap retrofits of those
3 facilities to make them more efficient or more useful in
4 the current needs of storage for renewables? That
5 seemed to be an area where you don't really have a demo
6 but, again, we have existing facilities that, if we can
7 convert, that would give us lots of capacity very fast.

8 MR. KINTNER-MEYER: Yes. There is a recent
9 announcement, a funding opportunity announcement, by the
10 Department of Energy, it just hit the road on April 5th,
11 that comes out of the Office of Energy Efficiency
12 Renewable Energy, the Hydro Power Program Office, and
13 it's charging toward valuation of advanced pumped hydro
14 and conventional hydro power plants, and they specify
15 this for the WECC to be demonstrated in the WECC as a
16 opportunity for funding, so there is a deployment
17 activity embedded in it, as well as an analytics
18 element. So the Department, not through this program,
19 but through the Energy Efficiency Program, is addressing
20 this.

21 CHAIRMAN WEISENMILLER: That is very good. The
22 other question was that, on your slides you indicated
23 some of the storage projects are getting loan guarantees
24 from the Federal Government to move forward. I assume
25 that deals with the perception that the technology has

1 some risk and that the financial community is looked for
2 those types of guarantees? Is that the case for the
3 flywheel and the lithium ion battery projects?

4 MR. KINTNER-MEYER: I need to refer that to Imre
5 as to what the rationale for selecting these projects
6 are.

7 CHAIRMAN WEISENMILLER: Okay. And the last
8 question was, you've got a lot of very interesting
9 demonstration projects going on here. So far, have
10 there been any surprises in terms of the actual
11 performance as opposed to the expected?

12 MR. KINTNER-MEYER: Most of the - the contracts
13 have been put in place last year and they're just in the
14 procurement process, it's a little too early to get even
15 preliminary information. So it's a little early.

16 CHAIRMAN WEISENMILLER: Okay, thanks.

17 MR. KINTNER-MEYER: But there will be
18 forthcoming the entire projects have a five-year
19 lifetime and information will be made available through
20 the National Energy Technology Laboratory.

21 CHAIRMAN WEISENMILLER: Great. Thank you for
22 your participation today.

23 MR. KINTNER-MEYER: Thank you.

24 MR. GRAVELY: Thank you very much and we
25 appreciate it, and feel free to continue to listen in

1 and we'll have a chance later also for comments or
2 questions if you have some.

3 We're now going to shift to the first panel and
4 we have three speakers in the panel. The speakers can
5 provide opening comments. I'd like to try and keep
6 those comments to less than 10 minutes each, as
7 necessary, so we have a chance for some discussion. So
8 if I can get Amanda, Mark and Dan to the table here, if
9 you can speak from the table, the mics are live, or you
10 can speak from up here, however you want. If you have a
11 presentation, you can, again, speak from up here or we
12 can actually do it, so we'll go with the presentations
13 in the order. First, we'll hear from the California
14 Energy Storage Alliance, Amanda Stevenson, and then we
15 will hear from Mark from the ISO, and Dan from EPRI, and
16 then I'd like to be able to have some time for questions
17 and discussion. We have some questions already proposed
18 in the agenda, but I'd like to get a chance for the dais
19 to ask questions and we'll go to those questions if
20 everything is answered. So, we'd like to have a little
21 more chance for dialogue this time, so please hold your
22 form of comments or your presentations to 10 minutes or
23 less.

24 MS. STEVENSON: Hi. I'm delighted to have the
25 opportunity to stand here and discuss the importance of

1 energy storage to California's renewable future on
2 behalf of CESA and Xtreme Power. A little bit about
3 CESA. Our mission is to expand the role of storage
4 technology to promote growth of a renewable energy to
5 create cleaner and more affordable and reliable electric
6 power system. Our core principles for a healthy market,
7 technology neutrality, ownership and business model
8 neutrality, and as we do have limited resources, we do
9 have to be very focused in our efforts working with the
10 California Legislature, CPUC, CAISO, CEC, CARB and FERC.

11 To date, one of the barriers of storage are the
12 silos and the decisions that are made in the silos that
13 determine the market structure and compensation for
14 energy storage, so there is a need for regulatory focus
15 on storage to make positive changes to California's
16 current Grid.

17 Grid storage leaders founded CESA in January
18 2009. CESA is a broad coalition, currently 37 members
19 strong, and spans pretty much every storage technology
20 available.

21 A little bit about my company, Xtreme Power,
22 we're a U.S. based, vertically integrated developer, a
23 manufacturer of dynamic power resource, which is a
24 utility scale, battery-based energy storage system, 20
25 years of R&D in our technology, tested and proven,

1 projects operating, contracted, and final negotiations
2 in more than 70 MVA and more than 60 megawatt hours. We
3 have U.S. based manufacturing in Oklahoma and Texas.
4 And as we can see here, energy storage is a very broad
5 asset class, it is very diverse - mechanicals,
6 flywheels, pumped hydro, electrochemical, advanced lead
7 acid batteries, thermal molten salt and chemical,
8 different types of storage have different types of
9 characteristics, all for very particular uses.
10 There are many options from Grid scale to smaller DG
11 batteries. While there are many new technologies, let's
12 not forget that storage has been around for decades and
13 decades and is quite a mature industry, but what is new
14 is its applications to the Grid.

15 So, as you can see, there are a lot of
16 commercially available technologies that you can put
17 onto the grid right now, and they all have a role to
18 play on our grid. There is not an issue or a question
19 of commercial readiness, it is deployable now.

20 Why energy storage in the U.S.? We do have
21 Renewable Portfolio Standards here in California. There
22 is legislation in the background that encourages the
23 valuation of storage procurement targets, but
24 implementation of AB 2514 can better be assisted with
25 the CEC's leadership and direction on which application

1 and storage - and there are many - to prioritize and
2 focus on. California needs the CEC's support to
3 accelerate near term deployment of more energy storage.
4 The logic being, if you have more projects on the ground
5 and progress, you will have more informed implementation
6 of AB 2514.

7 There are a lot of things the CEC has already
8 done with their support of renewables with special
9 financing programs and incentives, but the opportunity
10 now is to be a leader in California and spur the action
11 in near term.

12 I know Michael did go through some of the
13 fundamental key policy initiatives in California, so I'm
14 going to focus on AB 2514 and AB 32 Global Warming
15 Solutions Act of 2006. AB 2514, an unprecedented energy
16 storage portfolio standard, establishes energy storage
17 requirements for the IOUs to integrate 20,000 megawatts
18 of new renewables onto the grid, and to help deal with
19 peak demand and the dirty peaker plans. What the bill
20 does is it directs the CPUC to convene a proceeding to
21 evaluate energy procurement targets, if any, if
22 commercially feasible and if cost-effective. I think
23 when we start focusing on storage, a lot of those ifs
24 will go away.

25 CAISO is holding stakeholder sessions to ensure

1 that California will allow applications for storage, as
2 we did hear Mark earlier, state that storage
3 technologies provides a flexible resource for
4 maintaining reliability, and FERC recently opened a new
5 rulemaking on ancillary services that would pay DR
6 storage and other fast acting ancillary services for
7 their speed.

8 So, why energy storage now? It can meet RPS
9 more efficiently with storage. My diagram here shows we
10 can meet RPS without storage, we increase a percentage
11 of renewable penetration, which will then increase the
12 regulation requirements, which will then increase the
13 thermal generation production and will further dilute
14 the percentage of renewable production. To reach its 33
15 percent RPS, CAISO must increase regulation by 165
16 percent, and I do have the cites on the bottom if you
17 guys would like to look at the White Papers done on that
18 study. To meet RPS with storage, increase the
19 percentage of renewable penetration, increase regulation
20 requirements, increase zero low sustain limit ancillary
21 services with storage, and then you achieve the
22 Renewable Portfolio Standard.

23 Other key drivers of growth for Grid storage. I
24 know it's a pretty advanced group here, but I wanted to
25 point out some of the underlying key drivers for the

1 foundational legislation. Firstly, peak load growth;
2 obviously, as population grows, peak demand grows,
3 especially in California where air-conditioning is
4 utilized. The peak dictates T&D cost and that is a
5 significant chunk in the electric cost associated with
6 the power Grid. CEC predicts that average peak demand
7 will grow by 1.3 percent to 1.4 per year between 2008
8 and 2018, with residential peak growing at 1.9 percent
9 per year.

10 Smart Grid, every definition of the Smart Grid
11 includes storage as it is really difficult to have a
12 reliable Smart Grid if you don't have storage.
13 Renewables integration, storage and renewables can work
14 synergistically together to optimize the current grid.
15 And transmission constraints, this is the perennial
16 problem, California is famous for its Nimbyism, everyone
17 likes to have their TVs, computers, and appliances
18 plugged in, but they don't want wires in their backyard.
19 So, every storage will help in the investment of the
20 public electric power system that we already have.

21 Another key driver, Global Warming Solutions
22 Act, 2006, AB 32, it reduces GHG emissions. The main
23 driver of storage that the environmental communities are
24 excited about, that storage has the ability to
25 dramatically reduce GHG emissions. The brown line here

1 shows the tons of CO₂ emitted per megawatt hour on a
2 variable basis of our peaker plants. Those are the
3 plants that generate electricity on peak that tend to be
4 less efficient and generate more emissions. Then, the
5 aqua line shows baseload plants or fossil plants, so
6 this shows the difference throughout the year. So, even
7 in the wintertime, peakers are not as clean as the
8 baseload. The state is consistent throughout three
9 investor-owned utilities, so you can imagine charging
10 your storage system with baseload energy at night and
11 displacing these peakers with energy storage, you would
12 have an improvement in air quality.

13 So, why energy storage and renewable
14 integration? Enhancing renewables with the Grid scale
15 energy storage promotes reliability and sustainability.
16 Energy storage can transform variable generation into
17 dispatchable or baseload generation, all while
18 generating no emissions and without using nonrenewable
19 fuels. And in the essence of time, I won't read every
20 bullet point.

21 There is a value in intelligent, accurate, and
22 sub-second power management, increases delivery from
23 renewable generation, helps to achieve RPS, fast-acting
24 ancillary services, it's more efficient, and an economic
25 solution for Grid reliability. Of course, ramp rate

1 control, renewable capacity firming, it can shave peak
2 demand synergistically, and it is emission free peak
3 capacity.

4 Frequency regulation, why is it important?
5 Balances fluctuation and load and variable energy
6 resources, maintains Grid frequency, and critical for
7 any Grid sustainability and operation. So, why is
8 storage a great solution? It's an instantaneous fast
9 response, it provides no unintended energy to the Grid,
10 and it is high efficiency. Benefits of fast response,
11 storage is two to three times more effective than a
12 peaker, it's faster, more accurate, generation must
13 chase the faster moving load, and conventional
14 generation can provide regulation in the wrong
15 direction.

16 Energy storage can provide peaking capacity
17 without fuel use, water use, emission pollution, and
18 being located fair from the load. CT's in California
19 are generally sited far from population because of the
20 emission issues; energy storage peakers could be stored
21 near loads, which would be much more efficient.

22 Storage can shave peak demand synergistically
23 with renewables and here is a solar example, and as AB
24 2514 covers all applications of storage and details are
25 to be worked out by the CPUC, but I wanted to take a

1 moment to talk about distributed and small renewables
2 that can be powerful and have a Grid scale impact to our
3 system. This chart from EPRI shows a day in the life of
4 the CAISO and what would happen to our load shape with
5 storage as it fluctuates. The black is the load shape,
6 blue is the net of the California solar initiative, and
7 the red is what our load shape would look like on a
8 sunny summer day if 5 kilowatt hours of storage were
9 installed for every kilowatt hour - I'm sorry, excuse
10 me, every kilowatt hour storage, and that's pretty
11 impressive because there are a lot of costs, it's
12 bundled into the peak right here. And I wish I had a
13 little pointer, but I don't.

14 Real projects, real solutions, not just R&D,
15 here I want to show, at XP, that we do have seven
16 projects that are either operating now or are in the
17 design phase in 2011, various services, peak shaving
18 load leveling ramp rate control ancillary services.
19 This is one of our wind farms at Kaheawa Wind Power on
20 Maui, it's the first utility scale DPR that operates 30
21 megawatt wind farm and the service for that is ramp rate
22 control.

23 I guess I'll run through the proof of
24 performance and this was discussing the wind ramps up
25 and the state of charged storage absorbing power, and

1 when the wind ramps down, storage discharges their
2 power, always constantly holding that state of charge.
3 I'll run through these.

4 Here is our Kahuku wind farm on Oahu and this is
5 operating to meet PPA ramp control smoothing
6 requirements, and the reason I wanted to show you this,
7 I just wanted to show you that it's not still R&D, that
8 we do have real projects in the ground, and we are
9 getting data from these projects. This was actually
10 taken last month during our commissioning event where
11 there were four wind turbines that tripped off line
12 causing an 8 megawatt drop in power, you can see in the
13 green; the red line was our DPR, Dynamic Power Resource,
14 and what the utilities saw the total park power
15 controlled that ramp rate. So, even with better
16 forecasting efforts, your ramps and trips can be scary
17 for the ISO and that's where storage can come in.

18 And this is our last slide here, our Duke
19 Notrees project, it's the largest battery energy storage
20 system in the world. We partnered up with Duke and with
21 the DOE funding, and this system is being designed to
22 optimally dispatch production from a wind farm to
23 provide system balancing and ancillary services to the
24 interconnect. And it will be instrumental in
25 establishing cost and benefits in the ERCOT ISO in Texas

1 by verifying technical performance and validating system
2 reliability and durability at scales that will benefit
3 the increasing penetration of renewable assets
4 nationwide. So, we should do it here in California,
5 too, we'd like to bring some projects to California.

6 CHAIRMAN WEISENMILLER: Okay, thanks. I guess
7 the question I have for you is whether your applications
8 were project financed, or did they have DOE support, or
9 some support in this stage?

10 MS. STEVENSON: Most - well, the Duke Notrees
11 project was DOE financed, the rest were privately
12 financed.

13 CHAIRMAN WEISENMILLER: But were they project
14 financed or venture capital or -

15 MS. STEVENSON: Venture capital.

16 CHAIRMAN WEISENMILLER: Okay, thanks.

17 MR. GRAVELY: Mark, would you like to speak from
18 up here or -

19 MR. ROTHLEDER: No, I'll just be brief. I think
20 I said most of what I wanted to say in my original
21 presentation. Just that we got two things that are
22 happening, one is the variability of the system is going
23 to be increasing between now and 2020, while at the same
24 time the resources that provide the flexibility to
25 respond to that variability are reducing. We know the

1 once-through cooling resources will be either retired or
2 repowered, so I think between now and 2020 there will be
3 an opportunity to replenish and decide how we redesign
4 the system to support the flexibility needs of the
5 system. And I think our studies and our continuing
6 studies will help shed light on how much, what kind, and
7 hopefully that will help provide some information about
8 what kind of storage resources, and how much would be
9 needed.

10 CHAIRMAN WEISENMILLER: Thanks, Mark.

11 MR. GRAVELY: The next panel member will be Dan
12 Rastler from EPRI and he'll cover a quick little review
13 of the effort they're doing and how it fits into the
14 questions we have here for the need of storage. Thank
15 you, Dan.

16 MR. RASTLER: Thanks, Mike, and thanks for the
17 invitation to participate. I'm the Program Manager of
18 the Energy Storage Program at EPRI. We have a broad
19 industry collaborative of over 40 utilities currently
20 sponsoring the program. I'm very happy to be also
21 collaborating with the California Utilities as part of
22 our collaborative program. Many of my remarks this
23 morning really come out of our research program, and
24 I've sort of spun, I think, a lot of EPRI strategy and
25 sort of thoughts around these questions, right out of

1 our program, which is trying to address issues across
2 the country, not just in California, but there is a lot
3 of similarities, I think, to what we see here in
4 California, to what we see across the country. So, the
5 drivers. And, again, these are drivers we see with a
6 lot of our member utilities across the country, and I
7 won't dwell on these a lot this morning, we've already
8 heard about it, but obviously the three big drivers are
9 dealing with larger penetrations of intermittent
10 generation, managing the grid assets. The industry is
11 expected to spend over a trillion something dollars over
12 the next 30 years on infrastructure, and that could also
13 increase more as we try to manage renewable resources.

14 We're also seeing a lot, particularly in
15 California, a lot of penetration of distributed
16 photovoltaics down at the lower voltage regions of the
17 Grid. And storage is being looked at as a possible
18 option toolbox to deal with increased penetration of PV.
19 And, of course, as was just mentioned, the Smart Grid
20 and storage is an asset for managing the peak. So,
21 where is the role of storage in California? These are
22 some of the applications that came out of our research
23 findings, and a lot of these play into California and we
24 tried to look at applications where you could try to
25 understand the business case, and understand where is

1 the cost of storage to serve a problem in these
2 applications, and how do you go about stitching the
3 various benefits together. And I'll be talking about
4 that a little later in the second panel today.

5 Much of the work that I'm talking about today is
6 in a public White Paper that is out there, I encourage
7 you to look at that, it gets into the current landscape
8 of where energy storage is in the U.S., many of the
9 applications and demonstration projects that we just
10 heard about, that are underway. And also, looking at
11 these applications and how do you value them, and we've
12 tried to lay out a transparent framework and methodology
13 for trying to figure out how do we start to value
14 storage. So, some general perspectives. You know,
15 storage is challenging, there are options out here today
16 that are, I would say, grid ready and can find their
17 solutions, but many of the options we see really don't
18 meet some of the technical and performance targets we'd
19 like to see long term. So, our near term goal is to try
20 to figure out what are these key applications, what are
21 the functional and technical specifications for those
22 applications, to try to shape products that can really
23 meet these problem needs. We also need to test and
24 validate that these things really work, you know, some
25 of these are still coming out of the laboratory phase,

1 some really haven't been used in Grid solutions. We're
2 just starting to see, for example, you know, the
3 application of lithium ion batteries, we've got them in
4 our PC's and our laptops, they're starting to be
5 deployed in some small Grid-scale, but they're also
6 going to be deployed in larger Grid-scales, so we really
7 need to get a confidence level. And so, what I think
8 you're hearing from Imre's remarks and a lot of other
9 activities that are going on across the country is
10 utilities and various stakeholders are really testing
11 these things, trying to see do they really provide the
12 technical confidence for future business decisions. And
13 then, long term, we've really got to keep the technology
14 and the R&D pipeline going to really try to drive cost
15 down, and I will come back to the volume vs. production
16 question.

17 So, one of our questions, I think, in
18 California, is really looking at where does storage fit,
19 what are the application requirements for storage, and
20 try to send some really good signals to the market and
21 to developers to define and deliver products that meet
22 these applications and serve these needs. So, the
23 industry is trying to work through some functional
24 requirements and technical requirements. I think we
25 still have got a lot of work to do, particularly in the

1 wind and PV integration area. So, what can be done?
2 And I'll go through these pretty quickly. Storage must
3 be a complete product. Users don't want to have to
4 integrate systems together, they want a complete
5 functional system that's really Grid ready. So, as we
6 think about advancing storage in California, we really
7 need to be thinking about a complete integrated product
8 that really can integrate with the Grid and has the
9 communication control, etc., and is, obviously, safe,
10 cost-effective, and reliable. Storage must be
11 integrated with the Grid, not only the integration and
12 infrastructure, but also within the regulatory and
13 market framework. So, some recommendations. We need to
14 figure out how to accelerate and enable a portfolio of
15 solutions in California that are Grid ready, cost-
16 effective, and safe and reliable, and to focus those
17 options on products that really solve industry problems.

18 We need to establish clear targets for those
19 applications, specify clearly what the storage systems
20 have to do, again, test and validate, make sure that
21 they're robust and they can lead to further deployment
22 and procurement. We like to see more standardized
23 products. What we see right now is a lot of one-off
24 systems and I think productization will lead to cost
25 reduction, which plays into the volume question.

1 We also need to understand Grid integration,
2 this is more or less from the load serving entity
3 perspective of how to accommodate distributed storage.
4 I think in the wholesale arena, these are - we're
5 talking about much larger assets that can play out much
6 like an IPP project would play out, but I think there is
7 still some grid integrations relative to how bulk
8 storage deals with the ISOs in monetizing some of the
9 ancillary services benefits and other benefits that are
10 out there.

11 So, this is my last slide. So I'm sort of
12 suggesting both a top down and a bottoms up approach.
13 From the top down, it's good to hear we've got some
14 studies underway in California as part of the long term
15 power procurement plan, but we really need to do a
16 really integrated supply transmission integrated
17 analysis of how storage can support California's RPS
18 needs. And this will help define the role, the
19 location, the optimal mix of the storage, and how
20 storage can be one of those solutions for flexibility.
21 So, those analytics can help establish California's
22 roadmap and lead to the more specific requirements and
23 products. From the bottoms up, and we're working very
24 closely with a lot of the distribution utilities, to
25 start looking at how storage can be used on the grid,

1 how it can be used to support increased penetration of
2 photovoltaics, how it can be used as a one option for
3 CapEx deferral of infrastructure and, again, another
4 toolbox, distribution planning functions within that a
5 utility can use to meet their reliability and service
6 needs.

7 Finally, just a few other recommendations.
8 Perhaps storage can serve as a bundled product. How to
9 look at how fast response storage can provide higher
10 quality megawatts than the tweaking or cycling of
11 thermal fossil plants. You know, in some regions in the
12 country, like in the Midwest, a lot of wind penetration
13 really requires the coal units to really hit their
14 minimum load and maybe even go down to shutdown
15 conditions, which we want to avoid, look at storage as a
16 solution or option in terms of demand side management,
17 peak reduction and, again, deferral of infrastructure.
18 Thank you. I would be happy to take any questions as
19 I'm on the panel. Thank you.

20 CHAIRMAN WEISENMILLER: Thank you. Thank you
21 for your contribution. I have a couple questions. The
22 first question is, you talked about combining wind and
23 storage, and I guess that gets to the basic issue of
24 economies of scale, whether you basically try to do
25 centralized storage to deal with this first wind, or

1 whether you just disperse the wind and storage together.
2 Is that being done, any analysis of that?

3 MR. RASTLER: We have started and I'll talk a
4 little bit about that a little bit later in the second
5 panel, but it really varies. As you saw in the projects
6 in Hawaii, those are sort of very close, it's part of a
7 bundle, it's part of a purchase power agreement. In the
8 U.S., we really haven't seen that happen yet, just
9 because of the different ergonomics on the mainland.
10 The Duke Notrees project, of which EPRI is going to be a
11 part of, will start to look at that a little bit as it
12 dispatches into the ERCOT market. We've been looking at
13 compressed air energy storage as a wholesale asset that
14 can address increased wind penetration and there, as a
15 wholesale asset, it's just out there, but it really
16 depends, again, on location. Can you site these assets
17 where there is transmission congestion and use it as
18 more of a wholesale asset.

19 CHAIRMAN WEISENMILLER: Okay, and earlier we
20 talked about the three uses of storage and one of those
21 dealing with the instance where something trips, or we
22 lose a major unit, or a major transmission line. At
23 this stage, is that anywhere close to economic? You
24 know, basically we would be needing at least, say, 1,000
25 megawatts of storage, and you would have to obviously

1 deal with the 10-minute requirement, and then be able to
2 hold the load until you can re-dispatch something else.

3 MR. RASTLER: Generally, most of the storage
4 options are limited energy duration. You've got
5 obviously pumped hydro and compressed air, which could
6 give you 10 to 20 hours or more, depending on the
7 reservoir capability, but most of the other options are
8 very limited in energy duration, mostly by economics. I
9 mean, you could build more energy duration, but it
10 becomes cost prohibitive, so we see a lot of needs for
11 systems that are in the maybe four to six hour range for
12 grid support, and then it was mentioned, the shorter
13 duration options for the frequency regulation services.

14 CHAIRMAN WEISENMILLER: And is EPRI doing any
15 R&D on sort of dealing with variable speed motors for
16 the pump storage or for their poundage hydro?

17 MR. RASTLER: We're not, we're really not doing
18 too much on pumped hydro at the moment. I should say we
19 are working with DOE on a collaborative study to look at
20 how existing pumped hydro is being dispatched, and I
21 think one scenario is the WECC under the 30 percent RPS
22 to see, you know, what can we learn from existing assets
23 in the market, how are these assets dispatched, and how
24 could they improve the use of the renewables? We're
25 aware of the variable speed drive technology, but we're

1 really not doing too much in that area right now. We
2 think any new plants that get deployed, and there are
3 over 15 or 20 permits out there across the country up
4 for permitting, I think those will definitely consider
5 the variable speed drive technology as part of their go
6 forward.

7 CHAIRMAN WEISENMILLER: How about on relicensing
8 of some of the hydro?

9 MR. RASTLER: We did some work a few years ago
10 on relicensing hydro and I'm referring to the dam safety
11 studies that we did, you know, how do we relicense these
12 old plants? I'm not aware we're doing much in that area
13 right now with pumped hydro, but I can get back to you.
14 I share that responsibility with one of my other
15 colleagues in the Renewables Program.

16 CHAIRMAN WEISENMILLER: I guess my last
17 question, on the compressed air, obviously in California
18 we're now very focused on some of the gas pipeline
19 safety issues, and the question is, is anyone worried
20 about that aspect of the compressed air storage projects
21 and what the cycling might mean to the gas pipelines?

22 MR. RASTLER: The gas pipeline in a compressed
23 air plant would be considered just as a pipeline for a
24 combined cycle plant, so we're not too much worried
25 about that. What we have been thinking about is

1 underground caverns which depleted gas wells and what's
2 the potential for a detonation or something if you have
3 a mix of methane and oxygen in a cavern, and we've been
4 doing research on that to understand the potential
5 issues and how we might need to mitigate that. But it's
6 mostly around the underground cavern, but not the
7 pipeline. I'm not aware of any issues that we should be
8 thinking about there. It's the same as a combined cycle
9 plant or gas turbine feed.

10 CHAIRMAN WEISENMILLER: Good. Thank you.

11 MR. RASTLER: You're welcome.

12 MR. GRAVELY: Anymore questions before we go on
13 with the discussion? Okay, so what I'd like to do is
14 expand on the questions here a little bit for the panel
15 and hear from different members.

16 One question came up earlier today and this was
17 really addressed in here about the ability define the
18 role or how you implement storage, and from the panel
19 I'd like to find out, if we implement storage going
20 forward, or if we approach our policy and regulations as
21 storage being a market service vs. a AB 32 approach, I
22 mean, as an AB 2514 approach as a utility target, which
23 one of those is the right way? Or which one of those
24 would be more effective in getting the storage we need,
25 what that number is, on the Grid in time for the future

1 RPS requirements? So, the question would be, is it
2 better to approach it going forward as a market, or
3 better to approach it going forward as a utility
4 requirement?

5 MR. ROTHLEDER: I think it's probably going to
6 take a combination of both. Just as the existing
7 conventional fleet, the market revenues themselves,
8 daily energy balancing services may not be sufficient
9 for revenue adequacy of the resources and you need other
10 revenue streams to keep those resources viable and in
11 service. And I think storage will probably be something
12 similar where you have to do somewhat of a combination,
13 where the market service is somewhat offset, the revenue
14 stream requirements may not be sufficient.

15 MR. GRAVELY: Amanda, any comments?

16 MS. STEVENSON: Yeah, I agree with the
17 combination use.

18 MR. RASTLER: I would also agree. I think -
19 again, it's application specific. I think, in the
20 wholesale area, something like a compressed air plant
21 would be considered an IPP or it could be owned by a
22 vertically integrated utility as a generation asset, so
23 they're going to have to pencil out the business case
24 and get the appropriate cost recovery. I think the cost
25 recovery question is something that needs to be

1 addressed and considered as part of - you know, if
2 storage is going into support renewable integration,
3 then maybe helping support transmission and cost
4 recovery might need to be considered. It was considered
5 in Texas for a project there in terms of the
6 depreciation considerations. I think in the utility
7 perspective, the regulated utilities want to evaluate
8 these options as just and reasonable, and they also need
9 a regulatory framework and a cost recovery mechanism to
10 consider these as a business asset, as a utility asset.
11 I would also suggest, we would like to encourage
12 multiple business models and I think there could be some
13 opportunities for independent power producers to provide
14 services to regulated entities. Again, cost recovery
15 considerations need to be considered in that.

16 MS. STEVENSON: I think I can further speak to
17 that. In Texas, currently with the Legislature in
18 session, we do have a storage bill that is now passed
19 the Senate and an identical bill and it has passed the
20 House, that we've tried to tackle this problem, but
21 whether or not it should be generation or TDU owned.
22 Currently, as the bill has swam through, we are
23 considering it for right now generation in the sense
24 that it can have all the same generation benefits and
25 interconnection, and on an ad hoc basis the PUC of Texas

1 can decide procurement from TDU, so not having it sit in
2 one house or the other, TDUs can procure, it can be
3 generation, storage is storage, use it for what it's for
4 and don't pigeon-hole it, and I think whether in
5 generation or TDU.

6 MR. GRAVELY: Okay. So what I'd like to do for
7 the next 10 minutes is actually allow some people in the
8 audience here to speak to this particular panel here and
9 we're addressing the need of storage and, later, we'll
10 be talking about the cost of activity and utility
11 application. So, if there is someone in the audience
12 who would like to come forward to the mic, is there a
13 Stacey here, I guess? You can start and then we'll do
14 about 10 minutes of this and then we'll wrap up the
15 morning session.

16 MR. REINECCIUS: Thank you. I wanted to address
17 one of the questions that the Chairman asked in regards
18 to -

19 MR. GRAVELY: Would you identify yourself,
20 please, for purpose of the people online?

21 MR. REINECCIUS: Oh, certainly. My name is
22 Stacey Reineccius, I'm representing Light Sale Energy.
23 We develop and sell isothermal compressed air energy
24 storage systems and we're based in Oakland, California.

25 The question I have or point I wanted to make is

1 to address the Chairman's question in regards to safety
2 and gas safety with compressed air. New technologies,
3 whether from my company, or from other companies such as
4 SustainX which were mentioned in the DOE presentation,
5 which are isothermal, are also referred to as non-fuel
6 compressed air systems, that is that they do not use gas
7 fuel to provide compressed air energy storage and, so,
8 eliminate that issue. Thank you.

9 MR. GRAVELY: Thank you. Other questions?
10 Okay, other questions from here? Anybody online, did
11 you have any questions? Do you want to open it real
12 quick for online to see if anybody has questions? Okay,
13 so I took that as no questions. So, I would recommend,
14 we have a very full afternoon, and maybe we could break
15 early and return early, so I would recommend we leave
16 now and return at 1:15 instead of 1:30 and that would
17 give us a little extra time for the afternoon, and we
18 have quite a few people who want to speak at the public
19 session, and that will give us a little more time for
20 the public session if you're okay with that. Okay,
21 we'll break and reconvene at 1:15. Thanks.

22 (Break at 12:11 p.m.)

23 (Reconvene at 1:22 p.m.)

24 MS. KOROSK: All right, everyone, we're going
25 to go ahead and get started now with the afternoon

1 session. And Mike Gravely is our Moderator for our
2 first panel -

3 MR. GRAVELY: Or afternoon panel.

4 MS. KOROSEC: Well, yes.

5 MR. GRAVELY: So, good afternoon. So we have
6 now this afternoon for us two panels which we're hoping
7 to cover the information and have some time for
8 discussions like we did before lunch with the panel
9 members, and then there is time in the afternoon for
10 questions. We do have people in the room that want to
11 ask questions. If you haven't already, there is a blue
12 card, give it to either Suzanne or Avtar, and we'll call
13 you up to the mic to give your presentation or speak.
14 We would just ask you to keep it to five minutes or
15 less, just for purposes of all the people who want to
16 speak. And also, we will do our best to talk about next
17 steps and summarize what we've learned today at the end
18 of the session. So, do you have any afternoon comments
19 you'd like to make before we start?

20 CHAIRMAN WEISENMILLER: Well, again, welcome,
21 thank you for your participation. Certainly looking
22 forward to an interesting session this afternoon.

23 MR. GRAVELY: Okay, so two of our speakers are
24 actually online and we'll just go down the agenda and,
25 David, are you online?

1 MR. NEMTZOW: Yes, I am. Can you hear me?

2 MR. GRAVELY: Okay, so we'll do the same thing,
3 we'll have Suzanne flip the charts for you here and,
4 again, go ahead. We're going to talk about topics close
5 to everybody's heart this morning, and that's cost and
6 benefits and revenue, both in a perspective of what are
7 the challenges, give us an idea of where we are today,
8 and I'm sure you'll get some challenging questions from
9 our Commissioners. Go ahead.

10 MR. NEMTZOW: Good. Thank you, Mike. And thank
11 you, Commissioners. Ice Energy very much appreciates
12 that you're holding this workshop today on the IEPR and
13 that you've asked us on behalf of ourselves and the
14 California Energy Storage Alliance to speak today.

15 I do have the problem here after the morning, I
16 heard a lot of great panelists, and the saying goes,
17 "Everything has been said," but not everybody has said
18 it, and so rather than repeat the value proposition for
19 storage, I'd like to just try to integrate that into a
20 couple of key points I'd like to make about how do we
21 quantify and how do we analyze the value streams of
22 storage, so that the utilities and energy end users can
23 make informed rational decisions that will serve
24 California and its ratepayer and the power Grid
25 effectively. So, that's the issues I'd like to tackle.

1 Again, Ice Energy, as you may know, is a - if
2 you can flip to the next slide - we're a distributed
3 thermal storage company. We make - our product is
4 called the Ice Bear if you look at the picture on the
5 top left. The Ice Bear is a water-based thermal storage
6 that connects to regular traditional air-conditioning
7 units, five-ton through 20-ton, and whether they're on
8 the rooftop of a building, or behind on a cement pad at
9 the district mall, it's all the same to us, and we can
10 then run that air-conditioning unit using our real time
11 controller, the cool data controller, which is very
12 sophisticated, Smart Grid enabled resource, to run those
13 air-conditioners at night when power is cheaper, when
14 the Grid is less congested, when peak is much more
15 manageable, and emissions are lower, and store that
16 energy by day to peak shave.

17 The important point there is we are a
18 distributed solution and some of the speakers earlier
19 today talked about the role of distributed storage.
20 That brings two advantages, one is that we are closer to
21 the end user, and as a result we are very efficient,
22 energy efficient, because we are near the end user we
23 avoid the transmission and distribution congestion and
24 losses that centralized resources have, and that's true
25 for all distributed resources, certainly including

1 distributed storage such as ours. And, too, as a
2 thermal solution, that's particularly important; thermal
3 is highly energy efficient, we believe we're the highest
4 energy - sorry, most energy efficient storage resource
5 out there and being distributed near the end user helps.

6 Now, there are some challenges with distributed
7 storage, and that's why the controls are so important so
8 that we can see, if you look at that picture on the
9 bottom, we can aggregate our units and manage them as a
10 single resource. In fact, as we speak, Ice Energy is
11 working with SCPA, the Southern California Public Power
12 Authority, which represents the municipally owned
13 utilities in Southern California. We are implementing a
14 53 megawatt distributed storage project using our
15 technology, and 53 megawatts isn't a lot by pumped hydro
16 standards, but for distributed storage, it's very
17 sizeable and I want to emphasize the point that I know
18 has been made earlier in other settings. Storage is
19 well beyond research and development, we still, of
20 course - storage and different technologies have
21 different needs, additional research and support from
22 the Energy Commission and the U.S. DOE and others, but
23 many storage technologies from pumped hydro, which has
24 been out there for a century, to technologies such as
25 ours and many others, we heard earlier today from Amanda

1 Stevenson at Xtreme Power that their battery technology
2 and ours are in the field right now as we speak, and
3 we're doing 53 megawatts in Southern California, and
4 we're also engaged in some very serious conversations
5 with Southern California Edison, and Northern
6 California, and PG&E and others, again, for a resource
7 that can be out there today and can be utility scale, as
8 aggregated. So, if you can flip to the next slide,
9 please.

10 So, if I can talk about the benefits and how do
11 we quantify distributed energy storage, and I guess,
12 recently, with the help of R.W. Beck, produced a
13 modeling guide for - it focuses on our technology, but
14 it's applicable to many others that are out there, how
15 should a utility model it, and this doesn't make the
16 policy case for it, it makes the practical modeling
17 arguments. And that's what I'd like to talk about
18 today. So, let me aggregate those three main benefit
19 streams of distributed storage into, 1) improving
20 utility system operations, and that includes energy
21 efficiency, as well as Grid efficiency, certainly
22 assisting power factor and voltage support, and of
23 course improving the load shape; next are avoiding
24 costs, and you pick them, there's a pretty long list of
25 costs that storage can avoid, and of course, storage is

1 not cost-free, but the costs that it can avoid are
2 typically greater than the cost of the storage, and we
3 can defer - storage can defer or avoid generators,
4 especially peakers, can certainly avoid or defer
5 transmission and distribution, and then for electric
6 system losses, particularly at times of congestion, when
7 losses are higher because of the congestion, so at peak
8 times those losses are higher. If I could add,
9 parenthetically, but importantly, one of the most
10 important factors in valuing storage is not looking at
11 averages. In the storage business, especially folks
12 like us who have a peak oriented solution, and we know
13 that California's Grid is plagued by peak problems, and
14 it's a problem that's getting worse and not better with
15 the prevalence of air-conditioning, and our industry,
16 let's just acknowledge it, through no fault of
17 anybody's, our industry operates at lower than a 50
18 percent capacity factor, there are very few, if any
19 industries in America, that operate effectively without
20 inventory and are operating in the 40's for load factor,
21 and that's getting worse over time, not better,
22 primarily due to air-conditioning. And that's something
23 that storage can help ameliorate.

24 So that's part of trying to avoid that cost,
25 which is very hard to quantify, that's an important

1 factor here. And then, finally, the final category is
2 that storage can enhance the capacity of the system and
3 provide ancillary benefits, regulation, help integrate
4 renewables which, of course, is the focus of today's
5 work and others, and help make the Grid smarter and help
6 it deal with outages and other problems. You could move
7 to the next slide, please.

8 Let me just talk briefly about air-conditioning
9 and thermal-based solutions, which are a subset of
10 storage, of course, and that is to say - if I could just
11 say it simply, and in bright red here, and bright green,
12 everything in the utility system works better by night
13 than by day, and I say that for two reasons, one is
14 that, at night it's less congested, and we're away from
15 peak, especially in a place like California, but also at
16 night the ambient temperatures are cooler and things
17 work better. And we all know that power plants don't do
18 as well under high temperatures or elevation, we can't
19 do much about elevation, and same for everything all the
20 way through to the air-conditioning systems. So, if you
21 aggregate those things, if you look at the columns now,
22 not the rows, generation is more efficient at nighttime
23 because of the cooler temperatures and the ability to
24 not go all the way out on the fleet, not have to rely on
25 the highest heat rate, most polluting, least efficient

1 plants, but instead go for the better performing ones,
2 those are available at night. Transmission, again,
3 works better when it's not congested. Distribution,
4 lower losses, and air-conditioning, quite simply, it's
5 easier to cool night time air than day time air, and if
6 you aggregate this altogether, you can see the energy
7 efficiency, the energy performance, and therefore the
8 efficiency, can be 50 percent better using thermal
9 storage such as ours, or any of the other products that
10 are out there, and I know that's near and dear to the
11 charge of the Energy Commission of the State of
12 California. Next slide, please.

13 So, let's look at the cost. I like to make one
14 key point here, and that is this, there are many costs
15 and avoided costs, and therefore benefits that
16 distributed storage can provide, and all storage can
17 provide, and they are not - you've heard it discussed
18 all day, there's not one simple solution here, there's
19 not one simple mathematical calculation. One person,
20 one utility person we work with described them as
21 pancakes. He said, "When we look at storage, we look at
22 the pancakes, a value that storage provides, and we
23 stack up those pancakes." And that, I think, is a good
24 metaphor. And that makes the job a little harder,
25 especially because it's newer to regulators and

1 utilities and others. But that's the key here, is to
2 look at all the value streams, and each system will be a
3 little different, each utility has different needs, and
4 users will vary and the storage technologies will vary.
5 But the concepts are the same. And so, when I go
6 through this list, I don't mean to suggest that any one
7 storage product - not ISIS, not any one provide all of
8 these benefits, all these pancakes of value. But what
9 we need to do as a whole is to go through this list and
10 say, "Where are the values and how big are they?" And
11 some we will not be able to quantify, at least not yet,
12 but that doesn't mean that they're zero, and that does
13 not mean that they should be neglected, so we will do
14 collectively the best we can, and I think the CEC has a
15 key role in that. So, again, some of these I've
16 discussed earlier - avoiding capital facilities, namely
17 generation, T&D that can be deferred or avoided as we
18 flatten the peak, and we can peak shift. And I'm in
19 Southern California and, as we know, anybody who wants
20 to try to build a peaking power plant in the L.A. Basin
21 can try to do so, but it's becoming increasingly
22 difficult, never mind the T&D challenges there. The
23 reduced energy costs, in addition to reducing the energy
24 from not having to rely on inefficient, high heat rate
25 power plants, as well as the T&D losses. We also have

1 one benefit that's very hard to quantify, and that is
2 the ability to avoid volatility. And at daytime, when
3 the system is at peak, there's greater volatility, and
4 greater risk from that in case there's extreme
5 temperature, or some other extreme peak event at
6 nighttime, we can avoid that, and that is a cost
7 reduction. And that may or may not show up in the
8 marketplace. Earlier, we saw a graph from Xtreme Power
9 that showed the emissions benefits in California of
10 nighttime generation vs. daytime generation, and it's
11 quite significant. That slide used SoCal Edison data
12 and San Diego Gas & Electric, and a recent filing at the
13 PUC showed even more Xtreme data in terms of the day and
14 night differential on CO₂ production.

15 MR. GRAVELY: But, Dave, would you wrap it up
16 here a little? We're running over a little bit and we
17 have several more speakers.

18 MR. NEMTZOW: Yep. Going down the list here, I
19 think we've discussed them. Let me do this, let me skip
20 two slides to that one. In this, the point I'd like to
21 make here, and the point that's important, is, again, if
22 you look at these different layers of value, if you look
23 at all the values that storage can provide by shifting
24 consumption, it adds up to very significant numbers.
25 This is not, again, this is not the case in all cases,

1 but this is accurate for Southern California, that the
2 value of storage measured in megawatts, once you avoid
3 the whole congestion on the Grid, can be 78 percent in
4 this case, higher than just looking at the end use. And
5 that's the total benefit. And then, the same is true in
6 T&D - if you can go to the last slide - and just, the
7 most important thing that I would respectfully ask of
8 the Commission is the following, 1) obviously you're
9 tackling the issue with today's workshop of how to think
10 about cost effectiveness and how to develop a
11 methodology and how to encourage utilities to do that,
12 and how to integrate renewables, but the one thing I'd
13 like to say is prices, no matter how important prices
14 are, prices will not be able to capture the value of
15 storage anymore than prices capture the value of any
16 other DSM, I mean, that's why you're in the appliance
17 standard business, because prices are useful, but don't
18 wholly capture the value to society, so utility
19 ownership will be a big part of storage. We think you
20 should encourage that and allow them to be able to make
21 informed decisions that allow them to look at storage as
22 they do other resources, and towards that end, I would
23 just encourage you - I know this is part of what you do
24 already, but just as the value is spread out, the need
25 for the Energy Commission and the Public Utilities

1 Commission, the ISO, the utilities and others to work
2 together on storage is essential because the value is so
3 spread out over so many different areas of
4 responsibility, you need to be able to aggregate those
5 up on the policy level, not just on an analytical level.
6 So, thank you again for the opportunity to talk about
7 distributed storage.

8 MR. GRAVELY: Okay, so hang on in case there are
9 questions at the end for the panel. So we'll now shift
10 to Dave Hawkins from KEMA, who is going to talk to us
11 about some studies he's been involved with.

12 MR. HAWKINS: Thank you very much. I'm going to
13 skip right on to talking about the energy storage
14 technologies. And let me say, first of all, that
15 although a lot of my material shows costs for batteries
16 and is sort of battery-centric, that's really not where
17 we are at; there are a variety of storage technologies,
18 including thermal storage, combined with for
19 concentrated solar plants, there's thermal ice storage,
20 as we just heard, there's pumped storage plants, as I've
21 been reminded by my friends in the audience, and so
22 there's a variety of different technologies that are
23 available for this, and costs and so forth for each of
24 them are unique to their area.

25 One of the things that was asked to comment on

1 is, well, how much does this stuff cost, and everybody
2 says, "Well, it's expensive," right? Well, at the
3 current time, the prices tend to come in somewhere over
4 \$1,000, typically \$1,500 to as high as \$4,000, depending
5 on the particular technologies. The goal has been to
6 try to drive the price down to about \$500 or \$600 a
7 kilowatt, and this has been the focus for a lot of the
8 DOE ARPA-E projects to get to the next generation of
9 technologies, so that you can get some of the costs
10 down. As Mr. Gravely has so kindly reminded me, that
11 it's not just the cost for the bucket of energy, but
12 it's also the system cost and the inverters, and the
13 inverter technology hasn't moved a lot in the last five
14 years, it's gotten more efficient, but it is a
15 significant component of all the overall cost. And
16 also, you have the same thing of site integration and
17 the computer systems to make all this work. The
18 advantages, of course, is the inverters are getting
19 better and, of course, the cost of the battery
20 technologies and so forth, storage technologies, for
21 some of them is coming down, not for all. Again, as my
22 friends with the thermal storage say, okay, I just have
23 to build a bigger bucket, and it doesn't cost a lot to
24 add more salt and salt, but if I'm going to add more
25 lithium ion cells, it does go up sort of linearly with

1 the number of cells. And if you're doing flywheels, the
2 more flywheel modules you add, the cost tends to go up
3 in a kind of linear rate. If you're doing flow based
4 batteries, again, you can make the tank bigger and the
5 cost of the electrolyte doesn't go up as fast. So there
6 were a variety of different technologies, not all of
7 them the cost curves will go up the same way.

8 Lots of different varieties of storage
9 technologies and the studies that we've done with KEMA,
10 with the modeling studies that we've done, shows that
11 the type of variability that you have to deal with on a
12 system Grid level, you tend to have to have a device
13 that is a two-hour or larger type device. And there are
14 those who argue very strongly for the 15-minute device,
15 that's all you need for the frequency regulation, but if
16 you really - and you could go after that small niche
17 that is a niche, and it is an important one, but if you
18 really want to build out a system that's going to
19 provide a two or three or four streams of revenue for
20 you for making the cost of that energy storage device
21 come together, you probably have to have at least a two-
22 hour or longer device. If you're going to play in the
23 ISO markets, yes, they do have the new rim one and it's
24 going to be there, but, again, in order to make - at
25 least when we've run the models, to make it pay off, you

1 need something more than a couple hours worth of
2 storage, and if you want to bid into day ahead markets
3 and you want to do some of these arbitrage things, at
4 least a bucket that is a couple of hours makes a big
5 difference.

6 One of the things we haven't heard very much
7 about here today is the T&D efforts, or the cost of
8 having this as a utility-based device. We'd like to see
9 more discussion, I think, of the value for reliability,
10 voltage control, things that are providing voltage
11 support, reduced flicker, the things that you're going
12 to have with a lot more PV. So, if we have 3,000
13 megawatts of PV coming on as the target behind the
14 customer meter, and 9,000 megawatts in the future spread
15 throughout the distribution system on the utility side
16 of the meter, there's a lot of different things that can
17 be done, and it's very difficult at this point to show
18 the market value of those because they're not market-
19 based, they're basically Grid reliability-based. And so
20 there's new models that need to be created, new tools
21 that develop to come out with an optimization of those,
22 and we still have research to do that uses the
23 synchrophasor PMU-type data to do the burst of energy
24 for Grid stability, and also simulate some of these
25 system inertia that you can get with these new type of

1 techniques. Again, it's going to be a challenge to show
2 the value of those and to monetize that value because
3 they do not have the same as a market-base value. If
4 you look at the market-base value, that's a lot easier,
5 all you have to do is pull down the ISO's Oasis data and
6 you can run all the mathematical models you want,
7 looking at day-ahead markets, five-minute markets,
8 regulation, run their regulation energy management
9 model, and look to see how you find the road to riches
10 using that type of data. The caution, of course, is
11 same as your stockbroker tells you, the historical data
12 is no guarantee of future profits. And, of course, what
13 you really have to do is to take 2010, 2011 data, and
14 say, "Gee, what are the prices going to look like in
15 2020, or 2015, or 2016?" And my guess is as good as
16 your guess, probably, as to what those look like, but
17 that's what's going to be interesting.

18 I thought we'd just show you a few pictures. If
19 you take the recent day, this is April 14th, and look at
20 doing it - looking at I've got a big bucket, I'm going
21 to buy energy at the lowest cost, the lowest cost that
22 day was probably about an average of \$9.00, and I'm
23 going to sell it back at \$40.00, and that's my energy
24 arbitrage going into the day at market with my whatever
25 energy storage device I have, and let's assume a round-

1 trip efficiency, and so I come out making, what, about
2 \$92.00. Let's say I made an average of \$100.00 and I'm
3 going to do that 365 days out of the year, so let's see,
4 I'm going to make \$36,500 that year by doing price
5 shifting back and forth in this particular size/amount
6 of energy storage. It doesn't sound like quite the road
7 to riches yet, but, you know, maybe we're on the road.

8 Next thing, if you look at the thing that's
9 always exciting, is the five-minute real time energy
10 market at the ISO and, again, this is from the - let's
11 see, this was from the April 14th or April 12th, and we
12 had seven price spikes that are \$1,000 or above, and you
13 says, "Wow!" But, if you look at the duration of those,
14 it's basically like one, or two, or three, or five-
15 minute intervals, and if you've got a very fast device,
16 of course, you can hit that number and discharge as fast
17 as you can for maybe 10-15 minutes, but it's probably
18 still going to be difficult to make a whole lot of
19 money, even if you bought the energy to begin with at
20 zero, you probably can't discharge enough to make enough
21 money for very long periods of time.

22 There are other periods, when we look back at
23 July of last year, where we looked at significantly
24 longer number of periods, up to 45-50 minutes sometimes,
25 where the price stayed pretty high up in the \$70-100 to

1 \$200 range, and those particular periods are in the
2 summer, there was some pretty good money to be made.

3 Okay, the next thing, we're going after the
4 ancillary services, so I'm going to bid into the day-
5 ahead market and I'm going to bid to do the regulation,
6 and so, if you probably have looked at the ISO's
7 regulation market, previously, it used to be a long time
8 ago about \$30.00 a megawatt, it went down to \$20.00,
9 then to \$18.00, and then down to about \$11.00, and then
10 down to about \$8.00. Recently, it's been coming up, the
11 ISO is buying a lot more regulation, and the price has
12 been going up, and so here is a day where it was the Reg
13 up, it was \$15.00, and Reg down was \$9.00, except there
14 was some numbers at the end of the day that were really
15 spiked. But let's say I was in the market and let's say
16 the average price was about \$24.00 across that period,
17 times 24 hours, so I could make almost \$600.00 in the
18 regulation market, and let's say I took - or, let's say
19 the average was closer to \$500.00 over that period, so
20 it took \$500.00 times 365 days, every day was like this,
21 I could make about \$20,000; again, it's probably not the
22 road to riches, but at least it's a start.

23 So, I think that, as we looked at AB 2514, the
24 issue is, okay, we've got to look at all of these things
25 and the trick is going to be, if we put some of this

1 storage in the distribution system, how do we also then
2 have both T&D value and also can we bid it back into the
3 market without driving the distribution system planner
4 crazy, because of the volatility we've introduced back
5 into the distribution grid. So, conclusions and trends,
6 let's see, certainly cost challenges going ahead and
7 hopefully the target price for energy storage is coming
8 down, and we're going to have the magic solutions.

9 MR. GRAVELY: Do you want to ask questions now,
10 or do you want to wait until the panel -

11 CHAIRMAN WEISENMILLER: I think let's go to the
12 end of the panel. Hopefully we're not going to keep
13 going back through avoided cost concepts, but certainly
14 if anyone else wants to talk about it, let's try to get
15 through that fast.

16 MR. GRAVELY: Our next speaker is Dan Rastler
17 from EPRI and it's interesting, the charts you'll see
18 now, EPRI has the challenge sometimes of presenting
19 numbers, no matter what number you put on the table,
20 someone is not going to like it, but they do the best
21 job I've seen in the industry so far of trying to come
22 up with comparable prices for multiple technology,
23 multi-applications, and try to do the best they can to
24 be accurate, so they are showing us some numbers here,
25 at least their estimates from their studies of what

1 different technologies cost and what their value is.

2 Dan.

3 MR. RASTLER: Thanks, Mike, and thanks again for
4 the invitation to share with you some of our research
5 findings. Yeah, we do take a lot of heat sometimes of
6 trying to objectively portray facts, but we're always
7 open to understanding, getting better data, and this
8 work that I'm sharing with you is based on some
9 benchmarking work that we've been doing the last couple
10 of years, and it's ongoing. Again, reference to this
11 report where a lot of the storage benchmarking cost and
12 value analysis is documented in detail, there is an
13 executive summary that's a short read of about 20 pages
14 or so, and if you want the full read of 150 pages or so,
15 get the full document.

16 I'd also like to acknowledge Eric Cutter who is
17 here, who is at Energy Environmental Economics, who has
18 been working with EPRI closely on this work and
19 continues to work with us as to taking this work to the
20 next level. So, we've been really trying to get our
21 hands around what are the total installed costs of a
22 fully Grid ready energy storage system, and these are
23 some data that are out of the EPRI report that I
24 referenced. And I just should say that these are
25 today's costs, and they're very application specific,

1 and they include what I would call mostly the all in
2 cost of what a utility or an owner would have to bear,
3 particularly with respect to the interconnection and
4 getting it really Grid ready for the Grid.

5 And just a couple of takeaways on this. We are,
6 you know, emphasizing a lot on our work at EPRI on
7 compressed air energy storage, and when you look at the
8 dollar per kilowatt, or the dollar per kilowatt-hour,
9 which is a CapEx number, which is the dollar per
10 kilowatt divided by hours, it's one of the lower numbers
11 we see out there when we look at the bulk supply
12 options. That said, it still does have its challenges
13 in earning revenue in the marketplace. We've also been
14 trying to benchmark some other bulk storage options,
15 even though we have above-ground compressed air, but
16 what could 50 megawatt, five-hour systems look like,
17 both in the near term and in the long term, in terms of
18 some of the emerging technologies? This year, we're
19 going to be looking at a few other options that we
20 didn't get a chance to last year, sodium nickel chloride
21 technology, which is very well near term, and then we're
22 also going to look at zinc chlorine and sodium ion
23 technologies, which are a little bit more the emerging
24 area.

25 Okay, so now turning a little bit to the revenue

1 and cost benefit analysis, and we've been really looking
2 at two different approaches. We've been applying this
3 total cost recovery method, which tries to look at what
4 is the value of storage in a specific application and
5 trying to present value the various value streams, and
6 kind of knit them together to come up with a value that
7 is a proxy for what a total install cost device could
8 be. It's also important to look at these options under
9 a cost per delivered KWH basis, so they're taking into
10 account CapEx, the round trip efficiency, as well as
11 what is the cost to charge this system or, also, if it's
12 a compressed air plant, what's the cost of natural gas.
13 And, of course, you've got to also consider the ONAM
14 [ph.] and life, and how many cycles do I get out of this
15 system over its intended life. So, it's important to
16 look at these projects with these type of metrics. Both
17 are really needed to support the business case.

18 So we started out looking at these applications
19 and trying to understand, well, what are these benefits
20 really worth, and try to really quantify them, and this
21 chart illustrates kind of a range across all the ISOs.
22 We could probably dial this down for you for CAISO. But
23 a couple of interesting things come out of this and, of
24 course, Dave just went through a few of them, as well,
25 in his last talk, but you'll see that - and we have been

1 looking at this from a utility perspective, so things
2 that jump out are what is the potential value of
3 deferral of CapEx? So, we've got deferral of
4 transmission investments, deferral of distribution
5 investments, we've been looking at fast regulation,
6 that's another one that stands out pretty significantly
7 as you look at the numbers.

8 So we've been trying to look at how do you then
9 look at an application and stitch these benefits
10 together, and this is an illustration of an example of
11 some work we did in the PJM market looking at a two-
12 megawatt system, and on the left you're seeing a sort of
13 traditional utility perspective and what some of the
14 benefits kind of stack up to, target values are - read
15 that as average U.S. 50 percentile. And you'll see that
16 the costs are challenging. That's about a half a
17 million dollars for a two-megawatt system, so that's
18 about \$250.00 per kilowatt hour. On the high side,
19 that's about a million dollars -- or \$500.00 a kilowatt
20 hour.

21 Now, if you look at trying to stitch site-
22 specific benefits together and bring it into play local
23 capacity, regulation, perhaps deferral if you can get
24 it, the economics can be quite more promising. So,
25 we're encouraging consideration to look at ways in which

1 these benefits can be better monetized and help make the
2 business case.

3 So we looked at these 10 applications and,
4 again, tried to look at the value, again, in terms of
5 dollar per kilowatt hour of usable storage, and tried to
6 map those into the various applications I showed
7 earlier, and we're finding that, at least there are a
8 couple of ones that really stand out, it's not
9 surprising that frequency regulation can really pencil
10 out itself today, probably without a lot of other
11 stitching, but also from the utility perspective, Grid
12 support, and particularly assets that can be moved
13 around to support needs across the Grid in multiple
14 years, and really capture multiple deferral investments,
15 really look pretty interesting.

16 We're moving this work this year together to
17 really try to bring to the industry a tool that will be
18 regulatory solid, to help them look at the business
19 case. Again, we've also been looking at the leveled
20 cost of storage across the various technologies, and
21 again, this is that leveled cost for KWH delivered.
22 And I won't go through the details, but to give you a
23 sense of where we see the ranges are, based on the
24 current cost projections that we see.

25 Here's just a sample of some of the more

1 detailed look across the various ISOs, and this gives
2 you a feeling for what the benefits really are and what
3 the revenue streams are, and here we're looking at price
4 arbitrage and system capacity, and voltage support,
5 which really doesn't show up too much. But then - now,
6 if you can start looking at regulation on top of that,
7 that starts to look interesting, and then 15-minute
8 regulation looks actually a little bit better.

9 So now let me just turn before I close to some
10 other work we're doing to really look at how storage
11 portfolios fit into the market, how they can really
12 support wind integration, and what role storage plays in
13 bringing on more wind. And we've been doing some very
14 detailed granular modeling work with my friends here in
15 the audience, LCG Consulting. We did ERCOT about a year
16 ago, just recently did PGM, and the New York ISO
17 markets, and these were, again, fairly low penetrations
18 of wind when we think about what's planned for the
19 future. But, again, this points to the kind of analysis
20 I think California needs to do to really understand
21 where you get the biggest bang for the buck, how does
22 storage interplay with future transmission and capacity
23 investments. And so we have been testing various
24 portfolios and to try to understand what is the
25 underlying economics, as well as how do these assets

1 support wind integration. And to illustrate one example
2 out of ERCOT - am I running out of time?

3 MR. GRAVELY: Thirty seconds.

4 MR. RASTLER: Thirty seconds, well, I'll let you
5 read the details, but ERCOT is somewhat similar to
6 California, although there is a little bit more coal in
7 the mix. But here you'll see that compressed air does
8 pencil out roughly around 10 percent IRR if we can get
9 around - about \$800 a kilowatt. Some of the other
10 technologies are a little bit more challenging, but an
11 important thing I should mention, too, distributed
12 batteries, if you can locate these at - of course, ERCOT
13 is a nodal market, if you can locate distributed storage
14 at these high LMP zones, you can really get some pretty
15 interesting system benefits. The LAES here is Liquid
16 Air Energy Storage, I didn't have a chance to change the
17 chart.

18 So, just to conclude with some recommendations
19 to do similar types of analysis, look at the criteria
20 for improving the system in terms of system benefit
21 costs, producer and consumer benefits, and those other
22 items. And I'll close with that and look forward to
23 your questions. Thank you.

24 MR. GRAVELY: Okay, the next speaker is Doug
25 Divine from Eagle Crest, so, again, we've covered the

1 topics in general, so we would have a chance to talk
2 about them, so just go ahead and summarize the examples
3 you have, but also point out some of the specific
4 challenges you're having for technologies as you present
5 those, too. Thank you.

6 MR. DIVINE: Yeah, thanks to the Commissioners
7 and the staff for allowing us to talk about energy
8 storage, and I'm going to focus on bulk energy storage
9 today. Real quickly, Eagle Crest, we're developing a
10 1,300 megawatt closed loop energy storage project 60
11 miles east of Palm Springs. We have energy storage
12 capacity in excess of 23,000 megawatt hours, and expect
13 to be fully licensed by the end of this year.

14 I'm going to talk quickly about the costs, the
15 benefits, and revenues associated with, again, focusing
16 on utility scale storage. Cost estimates, I think, for
17 - I'll start with the second bullet here first - energy
18 storage should be built when it is the lowest cost, or a
19 low cost, long term solution. Cost estimates for energy
20 storage that make sense, I think, in the Western United
21 States, somewhere between \$1,500 and \$3,000 per KW for
22 pump storage.

23 Now, the benefits. We've been through these
24 benefits, I'm going to let you read these. I think the
25 key point is from pump storage to alleviate, you know,

1 again, there's with the new technologies on variable
2 speed pumps, they have the ability to run them above
3 where they essentially act as a large flywheel, so they
4 can provide almost all those services that flywheel
5 provides. In addition, with appropriate design, they
6 can provide very fast ramp rates. There is a project in
7 Europe that can ramp at essentially 25 megawatts per
8 second, so extremely fast ramp rates.

9 Now, we've talked about, you know, part of the
10 policy is, what are the revenue sources for utility
11 scale grid storage. So, these are long assets. They
12 have a 50-year life or more for a pump storage asset.
13 Due to the nature of electric markets in California,
14 U.S. financial markets, it's unlikely that the non-
15 utility owner would construct a facility without either
16 a partnership or a off-TAC agreement with either an
17 investor-owned or a municipally-owned utility. So the
18 revenue sources are either the utility ownership, some
19 kind of contract storage agreement, or treatment or some
20 of all the storage project as an advanced transmission
21 asset and some form of cost recovery for at least a
22 portion of it through the TAC.

23 I'm going to give you back some time, but you
24 know, recommendations, again, looking at these, I'm
25 going to start at the bottom and work up, I apologize

1 for that. But I think what we're looking at with AB
2 2514 implementation, you know, in order to provide for
3 variable energy integration and system reliability, we
4 need to set some least regrets targets for utility scale
5 storage that is cost-effective. The PUC needs to
6 recognize that utility scale storage needs contract
7 terms in order to be competitive out there, we need 20
8 to 25-year terms, given the size of these projects,
9 there is economies of scale with pump storage, bigger is
10 better, bigger is less expensive, and then, finally, I
11 think that the Commission should look at some form of
12 storage form of an NPR, so a way to calculate, you know,
13 let's figure out what is that cost bar looking forward,
14 estimating the values of capacity, the values of the
15 arbitrage value of energy, the ancillary services that
16 we'll need in a 2020 plus environment with 33 percent
17 renewables, as well as the greenhouse gas issues, and
18 then other site-specific issues. I think, by creating
19 that landscape, I believe that there are technologies
20 out there, case and pump storage, that are cost
21 competitive today. Thanks, I appreciate the chance to
22 talk to you.

23 MR. GRAVELY: So our next speaker is - Mike, are
24 you online?

25 MR. KINTNER-MEYER: Yes.

1 MR. GRAVELY: Okay, so we'll bring yours up and,
2 again, if you could try to keep it around five minutes,
3 we would appreciate it.

4 MR. KINTNER-MEYER: Yes, this will be short.
5 We're switching gears here and looking at demand side
6 resources to help mitigate some of the intermittency
7 problems. We here at the laboratory have been working
8 on Grid assembly appliances, Smart appliances for quite
9 some time, and with the advent of - or emergence of
10 electric vehicles, we're looking at how can electric
11 vehicles be used as a grid asset, and as a resource to
12 the Grid. Next slide.

13 With certain analysis, with collaboration of the
14 Bonneville Power Administration, to look at stationary
15 energy storage, but used this also to re-couch and
16 reformulate the question of how many vehicles would it
17 take to provide balancing services if the northwest
18 power pool would increase its wind capacity from
19 currently - from the 2008 values of 4.4 to 14.4
20 gigawatts. So, we looked at various technology options
21 and derived first the new additional balancing
22 requirements which you see here on the bottom right
23 picture. If you filter it and you're looking at the
24 faster cycle requirements, which we call intra-hour,
25 with cycle ability of less than the one hour, it would

1 amount to about 1.85 gigawatts of an increment, as well
2 as a decrement, so fairly symmetric. Next slide.

3 So we were asking the question, given these new
4 balancing requirements, how many vehicles would it take?
5 And we're just in the process of finalizing the data,
6 so, because the data are not quite finalized, I haven't
7 presented them here, but I want to give you a flavor
8 there, that the number of vehicles necessary to provide
9 the entire - and that's the entire balancing
10 requirements - and we're looking at some of the
11 technical potential, not whether that's economic, but
12 from a technical potential - it's a function of how
13 large the battery is, as well as the availability of the
14 vehicle to contribute the resources. That means, what
15 is the charging infrastructure? And we differentiate it
16 to two cases there, a case for home charging, and then a
17 case for home and work, which basically means public
18 charging stations and charging stations provided by the
19 employer at parking lots.

20 What I can say is that, if you provide a
21 charging capabilities, which we call a level one and
22 level two charging, level two is 240 volts, usually
23 limiting the current to 30 amps, sometimes 50 amps, so
24 it's a transfer of about seven to 10 kilowatts vs. level
25 one charging at the voltage of 120 volts, limiting by 15

1 amps, which transfers electricity less than two
2 kilowatts, using that split 50-50 of that
3 infrastructure, and if you provide abilities to charge
4 at work, the vehicles necessary to provide the
5 additional balancing is less than today's vehicle stock.
6 So, what this is indicating is that there is a
7 significant potential in the new emerging electric
8 vehicle technology as part of the future portfolio of
9 Grid flexible or flexible Grid asset that can be brought
10 to bear. So how do you actually do it? Next slide,
11 please.

12 So you're seeing here often regulation services
13 associated with vehicle to Grid, which is basically the
14 same concept as a stationary energy storage, you're just
15 utilizing the vehicle and, rather than being mounted on
16 a fixed foundation there, it's on four wheels. But you
17 are charging it if you have over-generation, you're
18 discharging it if you have under-generation. Next
19 slide.

20 So, what we are calling vehicle to Grid or Smart
21 Charging, would basically reduce this modulation that
22 you saw in the vehicle to Grid, to only the charging
23 mode, so it is a modulated charging based on over-
24 frequent over-generation or under-generation. So we
25 call it vehicle to Grid Half because it only provides

1 half of the capacity to the Grid, so it can only go from
2 zero load to full charging or full load, however, if you
3 click one more time, I think there is a much better
4 value proposition, although you only have half of the
5 capacity value in vehicle to Grid, half a smart
6 charging, the costs are much less. There's no
7 interconnection gear necessary to the charging station,
8 or your house, because you never turn your vehicle to a
9 generator, and it also removes all the uncertainties
10 regarding battery life reduction that currently all of
11 the transportation battery manufacturers have. If you
12 were to expose a vehicle battery to Grid cycling, you
13 would void the warranty. So, you could bypass these by
14 just doing Smart Charging, or what we call "Vehicle to
15 Grid Half." Next slide.

16 We implemented this in a test vehicle that you
17 see here, so we are actually doing it and performing
18 this. We're doing this in a particular way where we
19 sense the over-generation and under-generation by
20 measuring the local frequency. So we can even provide
21 frequency or frequency product without requiring
22 communications from the Grid operator to the vehicle,
23 just by measuring the frequency, very similar to a
24 closed loop governor control on a generator. So, this
25 is really tackling the balancing requirements, issues

1 that Mark mentioned earlier this morning. As far as the
2 consistent over-generation is concerned during low load
3 conditions, this will most likely not work. Other
4 incentives have to be brought to bear such as price
5 signals that would be then communicated to the vehicle,
6 to say this is non-opportune time to charge you, reduce
7 your total electricity bill by charging during times
8 when the electricity costs are low, or even negative.

9 So, in summary, I just want to indicate that
10 we're looking at emerging technologies here that will
11 provide potential services to a vexing problem with
12 integrating renewable resources. And I think electric
13 vehicles are such a good target, it will come fully
14 loaded with electronics and the necessary additional
15 control strategy to do what I'm just talking about, is
16 minor in the cost. So it's a matter of how do we
17 monetize the value, how do we present the value to the
18 customer, and that is a challenge that needs to be
19 addressed as we have discussed there with the larger
20 energy storage equipment. So, that's my presentation.

21 MR. GRAVELY: Thank you very much, Michael.
22 Thank you very much. The next presenter is John Bryan
23 from Fleet Energy Company.

24 MR. BRYAN: I appreciate the invite from the
25 Commission. John Bryan from Fleet Energy Company. We

1 are a spin-out of the nation's largest fleet sales
2 dealer, so we sell about a billion and a half vehicles
3 per year to large fleets, FedEx, AT&T, think of them
4 like that. My prior role was at Xcel Energy as a
5 Program Manager for a one megawatt sodium sulfur battery
6 vehicle to Grid component, and then Smart Grid City, as
7 well, so components of Smart Grid City. We are a
8 service provider, energy and large vehicles, so we
9 already sell the vehicles, so we're going to own the
10 batteries in them, retrofit as need be.

11 So, one of the misnomers in the industry is that
12 we use the Prius as a point of reference at the uptake
13 of electric vehicles. The Prius is a great vehicle, but
14 it's a very small car and it's not really good for
15 fleets. If you look at the commercial fleet business,
16 60 percent of every vehicle sold in the United States is
17 actually a commercial vehicle, so most of those are
18 heavy vehicles. Since they're fleets professionally
19 managed, controlled locally, usually a centralized
20 charging location and, on average, they go 32 miles per
21 day, you can see the data and it's in the presentation
22 and online, both, from the Department of Transportation.

23 If you took half those vehicles and made them
24 electric or sold them in the near future, you're going
25 to have a lot of gigawatt hours of energy storage

1 sitting out there, you might as well use them in some
2 form or another, especially if they're already electric
3 vehicles and already communicated to, as the last
4 presenter noted. That's 13 hours of storage for the
5 grid, that's about half the fleet.

6 I don't need to go in too much of this, I'll
7 just at least explain what it is, this is Northern State
8 Power, Minnesota, from when I was at Xcel Energy, we
9 basically took the existing wind and extrapolated it out
10 to what 20-30 percent looks like, and those yellow lines
11 are wind dipping into baseload, blue is coal and red is
12 natural gas. So, if you start having significant
13 problems, and we know we need to have a place to put it.

14 Just, in lieu of time, I won't go into details
15 on this, the gist of it is, time of charging matters to
16 the utility. The coincident peak matters when you do
17 it, you need to be able to control these things, and
18 tailpipe emissions vs. the upstream emissions from the
19 generators matter, as well, depends on the time of day
20 and what is your actually coming out of the plants, the
21 generation plants as you're charging your vehicles.

22 This one, I find this one fascinating, this is a
23 two-second, a 32,000 points of data, two-second signal
24 from PGM for frequency regulation, it moves all over the
25 place. The only reason why I have it up here is to

1 point out is, as you're fluctuating your plants, trying
2 to follow the signal, you should have them operating
3 more efficiently, lower emissions, lower costs, lower
4 operations and maintenance, by having something that is
5 actually built to charge and discharge rapidly, like a
6 battery of some sort.

7 Batteries are already everywhere. This is,
8 again, I'm actually using the Prius, but the work that
9 we did at Xcel Energy in the picture, there's almost
10 five million Priuses out on the road, they've got a
11 kilowatt-hour and a half battery, so there is already
12 7.4 gigawatt hours out there. We might as well use
13 them. Yeah, we can't use these now, but the upcoming
14 technology is that you get more and more of these
15 implemented, electric vehicles implemented in the grid,
16 we should use them. That cost is already in the
17 vehicle, and there's an opportunity to use that as both
18 transportation and as energy.

19 Last slide, but also a couple of issues from
20 actually trying to project finance this, we have project
21 financing. One of the issues that we run into is the
22 lack of a defined contract, independent power producer
23 -- purchase power agreements, standardizing those for
24 energy storage specifically would be a huge boost to the
25 banks to make them more comfortable, as we've already

1 discussed earlier, the venture capital is - this is a
2 big asset, it's too much - it's very difficult to do in
3 venture capital.

4 The other item that I think was important to
5 note is that the transportation and energy industries
6 are in some ways very separate, but as electric vehicles
7 come together, they're going to be - communicating that
8 vehicles could be an asset to the Grid and as a
9 component of the utilities portfolio, makes the
10 communication from actual implementation of project
11 financing easier.

12 The last point that I had to make is that, since
13 60 percent of the vehicles out there are commercial of
14 some format or another, these are your - these are
15 entities, businesses and commercial entities that are
16 used to spending capital to save costs. And they have a
17 fairly short range, so I don't want to incent anything,
18 these vehicles are already coming out there for major
19 fleets, we should be using them. And that's all I had.
20 Thank you.

21 MR. GRAVELY: Thank you very much. Our next
22 presenter is Matt Stucky from Abengoa Solar.

23 MR. STUCKY: Before I start, I have a quick
24 question. Does anybody in the audience have a laser
25 pointer? I left mine at home and thought I could -

1 okay, there you go, perfect. Good afternoon, my name is
2 Matt Stucky. I am a Manager in the Business Development
3 Group with Abengoa Solar, and I appreciate the
4 opportunity to present today. I see my role here today
5 as that of an advocate and representative of the solar
6 industry, and particularly the solar thermal developers
7 such as Abengoa Solar, and would like to explain how the
8 thermal energy storage can be easily integrated into
9 thermal - solar thermal power plants, and how that can
10 change the output of the shape of that power plant.

11 With that, I'm going to move and start with the
12 schematic here, just to kind of show how this technology
13 works. On the right-hand side, we have a steam turbine,
14 and this is just a basic Rankine cycle, and where you
15 put steam into the turbine, condense it after you're
16 making power back into hot water, pump it back, and
17 through a heat exchanger, make steam and keep the cycle
18 going. So, at this point, you have a need for an input
19 of thermal energy. This particular process flow diagram
20 is showing a parabolic trough plant, so, to collect heat
21 energy from sun, you can concentrate it using mirrors
22 and, in this case, if you have trough-shaped mirrors,
23 you can focus the sun's energy on a linear receiver,
24 Running through that receiver, a heat transfer fluid,
25 and the commercially used product is an oil that you can

1 heat up to about 730 degrees, so coming out of the solar
2 field, you have an oil at 730 degrees, you come through
3 the heat exchanger, give up that heat to the steam
4 cycle, and then come back around to the solar field and
5 heat it again.

6 So, ignoring for a minute the storage component
7 shown here, this is a standalone power plant. So, you
8 can incorporate energy storage in the form of thermal
9 energy storage into this system by using molten salt.
10 Imagine that - there's a certain thermal input needed to
11 operate this steam turbine, you can size the solar field
12 to meet that heat input. Now, imagine you over-size the
13 solar field and you now have additional heat that, in
14 addition to running the steam turbine, you can also heat
15 up a secondary fluid and, in this case, you can use
16 molten salt, that's what we're showing here. So, moving
17 this salt from a cold tank, cold in this case being 500
18 and something degrees Fahrenheit, over to a hot tank,
19 you're heating it up to 700 and something degrees, and
20 when you no longer have an incoming solar radiation, you
21 can draw heat from this system to continue to run your
22 turbine.

23 Now, this system is called an indirect thermal
24 energy source system because the actual storage fluid is
25 not the fluid that is being heated directly by the sun,

1 we're indirectly heating it by first heating a heat
2 transfer fluid.

3 Now, I want to also show a second kind of
4 diagram for another kind of plant that has even greater
5 potential for thermal energy storage, and this is a
6 plant with a central receiver that you could mount at
7 the top of a tower and, instead of having rows and rows
8 of parabolic troughs, here you have relatively flat
9 mirrors that would again collect energy that falls on a
10 given area of the earth, focus it onto a central
11 receiver, and the advantage of this system is that you
12 can get rid of - this can be a direct thermal energy
13 system - you can get rid of the intermediate fluid and
14 heat thermal salt or molten salt directly, and the
15 benefit there is that you can get the hot side hotter.
16 And when you're giving up this heat again to the Rankine
17 cycle at the top of the diagram, for a given gallon of
18 molten salt at this elevated temperature, you get much
19 more heat out of it as you pass through this heat
20 exchanger, and so, for the same volume of storage, you
21 actually have much more thermal storage inherent in
22 that. So, I just kind of wanted to show how the
23 technology works, and then this graph demonstrates how
24 you can basically change your output profile of a plant.
25 In red, you have standard output profile for solar

1 thermal plant, it looks a lot like the output for a PV
2 plant; when the sun rises, you produce power, produce a
3 peak capacity through the mid day, and then you drop off
4 in the late afternoon. And when the sun sets, you're
5 not producing at all. If you were to integrate storage,
6 if you were to over-size the system, the collection
7 system, you can add hours of additional energy
8 production capabilities and this is just one example of
9 how you could continue to produce power when the sun
10 goes down. Now, you could also store that heat energy
11 overnight and increase and be producing power before the
12 sun comes up; likewise, you could, really, the
13 possibilities are limitless in terms of when you're
14 collecting energy from the sun, when the sun is up, but
15 you're producing power whenever you're drawing it off of
16 your heat storage.

17 Now, this graph is actually not really based off
18 of any real exact data, but I use it just to illustrate
19 a point and what's possible with thermal energy storage.
20 In the red, just imagine you have, I guess, a bundle of
21 intermittent generation, such as PV and wind, so this is
22 just showing how this could be variable throughout the
23 day. Now, imagine that you have an oversized solar
24 thermal plant, you could ramp, you could manipulate the
25 output in the generator, up and down, to provide

1 basically a mirror image of the output from some
2 variable sources, so that the combination of the two is
3 a straight baseload output profile. Now, it's not
4 exactly this easy, but I use this simply to demonstrate
5 what's possible in integrating thermal storage into
6 these systems.

7 So, this is actually technology that's not
8 really pie in the sky, or a future, not something we
9 have to wait decades to implement, but rather has been
10 implemented over the last many years, starting SEGS I in
11 the 1980's here in California, the Solar Two Plant,
12 which is the second one on the list, which is actually a
13 molten salt storage plant that operated from about '95
14 until '99 in Daggett, California. We have in Spain,
15 there are 50 megawatt plants with molten salt storage
16 that are in operation right now, with multiple hours of
17 storage. Gemasolar is a plant in Spain that is starting
18 up right about now, as we speak, it's a 17-watt central
19 receiver tower that's actually going to have 17 hours of
20 storage, making it effectively a baseload plant. And
21 then there's Solana which is an Abengoa solar project in
22 Arizona, which will be the single largest thermal energy
23 storage project on the planet, once it's built. It's
24 currently under construction.

25 And so, in the interest of time, I won't go into

1 this rather busy detailed slide, but I would like to
2 kind of jump to some policy recommendations and, if we
3 in the solar industry were to present ours asks on how
4 to - or ask policymakers to allow and facilitate the
5 implementation and development in California of these
6 technologies, I think AB 2514 is a great start by
7 setting targets for the procurement of thermal energy
8 storage. One intriguing idea is to introduce time of
9 day rules to the RPS System. By that, rather than
10 accounting over the entire year, whether a utility is
11 procuring a certain percentage of renewable resources,
12 but rather break the day into periods, such that this is
13 required every day, of every hour of the day. And, in
14 addition to that, you could add a storage payment on top
15 of the MPR for solar thermal projects, I mean, that's
16 one way to say it, and another way to say it is for
17 utilities evaluating similar offers from renewable
18 projects, if there is a renewable project that offers
19 storage, in addition to being a renewable resource, that
20 should be preferentially favored, I would say.

21 Since we're being greedy and asking for, you
22 know, the entire wish list would include something like
23 the California version of the loan guarantee program,
24 there's a Federal version right now, the exemption of
25 sales and use tax on energy storage components, I think,

1 would certainly facilitate the implementation of this
2 technology. There is a bill, AB 1376 that is working
3 through the Legislature now, it's a partial sales tax
4 exemption that would apply to storage components, expand
5 and pass AB 1057, which is a manufacturing sales tax
6 exemption, that could be expanded to include thermal
7 storage equipment, and then I think the State of
8 California can help by just lobbying and supporting at
9 the Federal level the extension of the 1603 Program,
10 which is basically grants for energy property in lieu of
11 tax credits. There is also a tax credit that will
12 revert to 10 percent in 2017. We would ask to make
13 permanent the current status of 30 percent for that
14 investment tax credit. And then make solar projects
15 salable for private activity bonds. And all of these,
16 as a whole, not only create a market for thermal energy
17 storage, but also provide the incentives and overall
18 lower the cost of financing. With that, I thank you.

19 MR. GRAVELY: Thank you. Our last speaker for
20 this panel is to give us the ratepayer perspective,
21 David Ashuckian from the Public Utilities Commission.

22 MR. ASHUCKIAN: Thank you very much. David
23 Ashuckian. Although I work for the Public Utilities
24 Commission, I'm the Deputy Director for the Division of
25 Ratepayer Advocates, and we are an independent division

1 within the Commission. We are under statutory mandate
2 to advocate for low cost rates for utility customers,
3 consistent with safe and reliable services. Our
4 Director is actually appointed by the Governor, separate
5 from the Commission. And we have our own separate
6 budget.

7 I was asked to come and provide the ratepayer
8 perspective and I was beginning to think that I was a
9 little bit out of place, but given the last speaker's
10 wish list, I can respond to some of those as my
11 presentation kind of addresses some of those issues. A
12 lot of my slides are redundant from what we've heard
13 today already, the background about the bill and the
14 hearing that Michael talked about at the proceeding at
15 the PUC, so I won't talk about that.

16 We have, you know, as we heard today, there are
17 all different types of storage and many different types
18 of storage have many different applications, and
19 certainly I'll talk about some of those challenges that
20 we will have to deal with because of that. But, again,
21 I won't go into the various technologies here, you heard
22 about pretty much everything, I would think, so far
23 today. you also heard about the many benefits they
24 provide, we certainly agree with those, and certainly
25 the fact that they can displace the need for other

1 things that provide benefits and reduce costs, as well,
2 so, again, I won't go into these details. Again, I
3 think you've gotten pretty much all of that already.

4 Again, the Bill, AB 2514, requires that storage
5 be viable and cost-effective, and that's where our input
6 comes in. And certainly our role in advocating for the
7 proper policies as they are developed by the PUC, is a
8 main area for that. We certainly have looked at the
9 Scoping Plan or Scoping Documents. The questions that
10 the PUC is asking of parties in developing those plans,
11 and some of the things that we have identified, is that
12 we want to make sure that we're not creating policies in
13 order to fit the technology in; for example, time-of-use
14 rates and dynamic pricing is one policy that we're
15 integrating and it's been identified that, well, that
16 type of pricing can actually favor the use of energy
17 storage because it will shift people's usage. If that's
18 actually true, we want to make sure that we're not
19 establishing a rate to fit storage in, but we're
20 creating a rate to make the whole system integrated
21 better. So we want to make sure that the technologies
22 fit the application, that we're not making applications
23 to fit the technology, basically.

24 The bottom line on our recommendations, a couple
25 things that we've heard today that I think I would

1 certainly endorse, that is that, you know, right now
2 this is a policy driven activity, not a market driven
3 activity, and that means that, in our minds, you know,
4 we should make sure that we go at this slowly, we make
5 sure that the technology and the policies that we're
6 establishing fit the technology, and that it is cost-
7 effective, that we look at how the costs and the
8 benefits are achieved. I also saw in one of the early -
9 I think it was EPRI's presentation - that we should
10 deploy at the speed of total cost value; I think that's
11 a great line and that goes to our next point, where
12 sometimes when we see that we've established a mandate
13 for a target, we tend to lose sight of the integration
14 value and looking at the cost benefits of the program,
15 and we just focus on achieving that target and that's
16 one of the reasons why our recommendation is to hold
17 back and not set a specific target. Certainly,
18 continuing to look at applications and evaluate them as
19 they are cost-effective and cost benefit.

20 And lastly, we need to always continue to
21 compare the viability and the cost of storage with other
22 options. Again, ratepayers are mandated essentially to
23 pay for demand response, they're paying for energy
24 efficiency, they're paying for smart meters that will
25 facilitate the demand response, and now we're going to

1 end up paying for renewables, they're paying for peaker
2 plants, and dispatchable resources to back up the
3 renewables, and now you're going to ask them to pay for
4 storage to help back up the renewables that could offset
5 the need for peakers. We have to integrate all these
6 programs. Again, we often see that each individual
7 program is trying to achieve its goal, but there's very
8 little consideration of the integration between
9 programs. We're still procuring fossil fuel generation
10 in order to integrate renewables. If, in fact, energy
11 storage comes online, we need to think about, okay, we
12 can get by with less fossil fuel generation, but the
13 folks who are in the business of procuring and building
14 fossil fuel generation see this as, "Hey, we need...", you
15 know, they make an argument for fossil fuel generation
16 integrates the renewables. So, again, it's up to the
17 policies to make sure that we're balancing all these
18 competing and what I would call duplicative efforts that
19 ultimately will only result in lower costs if we
20 actually adjust various programs to accommodate the
21 interlap and overlap between the various activities.
22 And, again, one of our major jobs is evaluating requests
23 that the utilities present to the Commission for
24 revenue. Basically, they come to the Commission and say,
25 "Do we want to ask for X millions of dollars to do a

1 project?" It's our job to evaluate that request to see
2 if it's cost-effective, if it's cost beneficial, how it
3 integrates, and so we need to develop tools to accurate
4 metrics to develop how various applications of different
5 types of storage will be measured in this cost-
6 effectiveness; because energy storage has such a diverse
7 level of applications, it's going to be difficult to
8 figure out what does this actually result in the bottom
9 line to the cost to the ratepayers, and what other
10 programs will be back out or ramped down because we're
11 now doing this. And that's, again, my main message.
12 Thank you very much.

13 CHAIRMAN WEISENMILLER: Again, I would certainly
14 like to thank Dave for coming and representing the PUC
15 in this proceeding. We appreciate our fellow agency's
16 involvement as part of the dialogue.

17 MR. GRAVELY: So, I think there's a chance for
18 questions first and we'll see if others - go ahead.

19 CHAIRMAN WEISENMILLER: Yeah, I think actually I
20 was just going to start off with an observation. We've
21 had testimony from several groups today about the value
22 of storage and I think people have to look at history a
23 little bit, you know, in the context of PURPA, we really
24 got into avoided cost, and the issue of what would the
25 cost be but for the generator. And eventually there was

1 at least a decade-long, if not much longer proceedings
2 at the PUC, really getting into the nuts and bolts of
3 what's the value of power and a lot of the discussion
4 today used some of the say concepts. Certainly, none of
5 the people making those discussions had ever been expert
6 witnesses in those proceedings, at least not from my
7 recollection. But it turned out to be very very
8 controversial because, what's going on? The other
9 interesting test, and I guess the end result of all
10 that, was in 1890, the notion was to get away from the
11 regulatory proceedings, try to go to liquid market
12 indexes, and the prices, and use that as the basis for
13 avoided cost, as opposed to computer model awards. And
14 I think, similarly, if you look at the other use of that
15 skill, was in project financing, due diligence for
16 projects and, again, there was sort of a limited number
17 of companies that were bankable in terms of the
18 evaluations for that. I had one of them. But in that
19 context, certainly in the merchant power era, people
20 looked at the value of power and I remember that era - I
21 first got the impression it was crumbling when we
22 discovered one of the companies for a Texas power
23 project had revised its projections and sort of
24 concluded the project met all the covenant ratios; three
25 months before it became operational, within three

1 months, it was bankrupt. So, in terms of looking at why
2 did the models do so poorly, you know, part of it was
3 all these models assume sort of a perfect system,
4 perfect system - sort of a prefect CAISO for the whole
5 west, well, in fact, there's lots of bilateral
6 contracts, there's lots of permits, there's lots of, you
7 know, most of the west is not in that framework, so
8 there are lots of reasons why the real world is not even
9 close to these models, and that's one of the reasons why
10 the simulations just turned out to be not bankable.
11 And, again, coming out of that, the project finance
12 community was looking more for liquid prices evolving,
13 that if you had liquid markets and price strips, you
14 might be comfortable financing something, but they
15 weren't going to be comfortable with anyone's
16 projections, really, going forward. And maybe they'd
17 forgot, but, I mean, a lot of money was lost in that
18 era. So, in terms of looking at storage, which is much
19 much harder than the merchant plants were, because in a
20 way, for storage, you're looking at what's on the
21 margin, both in the low load periods and in the high
22 load periods, and trying to compare those two - the
23 marginal fractions and the value of power in those
24 various points. And if you look at most of the
25 production cost models, they do a very bad job

1 estimating how storage is going to operate for pump
2 storage. So, again, analytically, we're really trying
3 to push the envelope here and I think we should all be
4 pretty cautious about the results with, again, if there
5 is a way we can actually get to liquid - very liquid
6 prices in California, you can actually see what the
7 value of power is off peak and on peak, you could get a
8 much better sense of what storage makes sense than to
9 try to get into the computer modeling games again. So,
10 I mean, that's one of the uptakes I would have. So, the
11 Energy Commission could spend years trying to come up
12 with projections that people believe on the value of
13 storage, but it's very difficult and I'm not sure we'd
14 be very comfortable with the estimates. So I think,
15 again, going forward and trying to figure out what is
16 the right amount of storage, it's going to take a lot of
17 creativity to get something credible on that area, and
18 some of the parts of it that are interesting to look at,
19 I thought the Abengoa thing was interesting. One of the
20 questions is, on the procurement process now, there's
21 been a real shift from solar thermal over to PV, but if
22 you look at the characteristics, obviously, for PV,
23 you've got much more volatility on the output than you
24 would on solar thermal, even without storage. So,
25 again, at some point we have to struggle on how do we

1 get those types of characteristics reflected in the
2 procurement process, so that, again, ratepayers are
3 getting the best values and we're giving the best
4 pricing signals going forward.

5 So, again, certain, you've certainly given us a
6 lot of thought, but I think some of the issues being
7 teed up are going to be very complicated, trying to
8 figure out what is the value and what are the right
9 amounts.

10 MR. GRAVELY: Okay, given the time, I think
11 we'll go ahead and go to the last panel and hold the
12 questions until the public session. Most of the
13 speakers will be here for questions. Thank you all very
14 much for your time, I appreciate it.

15 So if we could have the third panel come
16 forward, we'll go through and hear the utility
17 perspective, both from the public utility and the
18 industrial-owned utilities, as well as the Public
19 Utilities Commission, again, from the perspective of the
20 utility being the ultimate customer for storage when the
21 purpose of the storage is to support utility Grid
22 integration. The first speaker is Mark from Southern
23 California Edison and he'll give us the Edison view on
24 storage.

25 MR. IRWIN: Great, thanks for that and I

1 appreciate you inviting Edison to talk today. It's been
2 really interesting to hear different people's viewpoints
3 and I'll try to quickly go through some of the things
4 that we're repeating and also try to attribute some of
5 the phrases like "storage at the speed of value" to the
6 U.C. San Diego and U.C.L.A. and Cal teams that coined
7 such a fantastic phrase.

8 So, that really leads me to the first slide that
9 we talked about and, so, people have talked to you about
10 applications, they've talked about operational needs,
11 and storage at the speed of value really comes back to
12 that, is you need an application to create a value. And
13 so Edison's approach to storage has been to look at it
14 on an application basis, to look at those applications
15 throughout the system from clear down on the
16 distribution system very close to the home, all the way
17 into grid-based storage. We identified 12 applications
18 and evaluated them all, some of them more promising than
19 others, but did not find any to implement today. But we
20 found things that we looked at actually initially how
21 does it look today, and then we looked at what do you
22 have to believe for it to be economic. And we saw,
23 actually, a lot of promising things. And I'll talk
24 later about the public information we've provided
25 recently on that and some of the other things we've

1 done. So we start out, you know, storage at the speed
2 of value -- thanks, Byron -- application-based storage.
3 So the next question is, you know, how is energy storage
4 from the utilities perspective different than from the
5 market perspective? And who should own storage? And
6 those two things really kind of go hand in hand. So,
7 when somebody asks me, should the utilities own storage,
8 my answer is not always as helpful as people like,
9 "Well, it depends. What's the application we're doing?"
10 So, if we're doing something on our distribution system
11 that's integral to the reliability of our distribution
12 system, we're deferring a distribution system asset
13 build, it seems pretty straightforward that the utility
14 needs to own that to be able to provide a reliable
15 service. So, when it's a reliability-based type of
16 application, it seems to make a lot of sense that the
17 utility would own it. If we move to the other end of
18 the spectrum where we get to a grid only based
19 application, also similar to the way we've looked at
20 power generation for a long time, grid only application
21 would make sense to have either an independent party own
22 it, or the utility own it, we've seen that application
23 different across. But the challenge that that latter
24 structure of market only has, that I think a lot of
25 people have actually identified today, and a couple of

1 other folks have talked about, is that's a challenging
2 bar to reach.

3 One of the things we see in these 12 different
4 applications is there will be some opportunities where
5 what we call, and other people have called - I heard
6 "stacking pancakes," I heard "multiple cases," we call
7 it "stacking use cases," so we think those are actually
8 going to be some of the more promising opportunities for
9 implementation. And then, again, when we're back
10 stacking into use cases, some of those are integral to
11 reliability, that kind of feeds back into, well, who
12 needs doughnut and who doesn't need doughnut, and so,
13 again, when we're reliability-based issues, again, we
14 have a view about the utility really being the right
15 person.

16 So the other thing that I like, I like it when
17 other people think the same as we do, so Byron, I have
18 some more things for you guys that I'm happy with. R&D.
19 You know, one of the things that, for a utility to
20 integrate assets into its system, you guys have heard
21 today lots of people saying these things are proven
22 today, you've heard DOE talk about all the different
23 ARRA funded projects that are out there. Okay, a
24 utility isn't interested in deploying assets into its
25 Grid for reliability purposes that it's never tested on

1 its system before, that it's never integrated into its
2 system. So, this slide we have here talks about the
3 things Southern California Edison is doing today to make
4 that happen. Somebody said they had the biggest battery
5 project in the Duke project down there, and it's a 36
6 megawatt project, but it's a 24 megawatt-hour battery;
7 we should have made a bigger inverter so we could have
8 said, "Our 32 megawatt-hour battery has more capability,
9 but we didn't size it for that super fast response,
10 large volume, we sized it for a longer duration
11 charge/discharge." So, we're building that battery in
12 the Tehachapi system. It's at a location that has both
13 Grid and reliability opportunities, that's why we
14 selected that area, it's an area on the 66th KV system up
15 there that historically has had some level of wind
16 curtailments, particularly in some particular n-1
17 conditions, so we have 12 specific uses we're going to
18 demonstrate, we're going to demonstrate them each
19 individually, and then we're going to stack them and run
20 them together. We haven't yet worked all the way
21 through the prioritization of which usages will come
22 first. My sense, based on the organization I work for is
23 the reliability will always be number 1, which quite
24 frankly for this location makes sense, and then we'll
25 see how much of the value can we get from the other

1 uses. We won't get 100 percent because reliability will
2 always come first.

3 So this project we're implementing, we expect to
4 be in construction and on line in late 2012, and to have
5 a two-year demonstration period. So we're really
6 excited about being able to bring more data to this.
7 The other things we're doing, which are kind of
8 interesting, we don't kind of stop at the batteries,
9 again, we talked about 12 applications. In our Irvine
10 Smart Grid project, we have you could say four different
11 battery implementations, I'll start with the easiest one
12 which is Battery in the Home, and we're going to have a
13 home-based battery, we're doing a lot of other things in
14 the homes, we're putting PV on the roof, we're doing
15 energy efficiency things, depending on different levels
16 we're demonstrating, we've got eight different major
17 demonstration pieces of our Irvine project, but one of
18 them is a home battery in two groups of homes and we're
19 going to give the homeowner the opportunity to decide
20 what they do with that battery at times and we're going
21 to take the opportunity also during times to decide how
22 we charge and discharge that battery with their solar
23 facility that they're installing.

24 And this looks a lot like the car implementation
25 people talked about earlier, you know, Home Battery has

1 a lot of the same constituencies, it's a small battery
2 out on the system that we're trying to access. The
3 other thing we're doing, and I think there was in the
4 DOE project description Community Energy Storage that
5 AEP has a project, ours is embedded within our bigger
6 project, we're doing it on one distribution transformer
7 for a group of six to eight homes, that's one of our
8 community energy storage applications. The other one is
9 we're building a solar car shade so it'll be a car shade
10 on the top of a parking garage, with PV on the top, a
11 battery charging facility, 20 stalls for cars to come in
12 and charge when they want to try to understand people's
13 behavior when they don't have a cost associated with
14 charging, and how much will it get used, can we minimize
15 the impact on the Grid of that.

16 Then, finally, we're putting a larger
17 transportable battery onto our system. When you think
18 about transportable, I always think about mobile homes,
19 they're not really transportable, but they are. This is
20 a container-sized facility, you know, we can move it,
21 get it on a truck, take it off with a crane, so it
22 works, it works a little better than a mobile home does.
23 But we're doing two things, actually, with that battery,
24 a couple of different interesting applications, some of
25 them have been discussed today, one is to look at, you

1 know, when we talked about demand response being a
2 potential opportunity to displace the need for us much
3 storage, we are going to use the battery to send signals
4 to the Grid. People also talked about PMUs and
5 communication, things off of the advanced meters, we're
6 trying to see how large the signal has to be for our
7 grid substation to understand that that's happened, so
8 we're trying to figure out what's the - is it a
9 megawatt? Is it 40 kilowatts? Is it 50 kilowatts? So
10 we've got a two megawatt battery, half megawatt-hour, or
11 500 kilowatt-hour, that we can charge and discharge two
12 megawatts at a time, so we can swing a load of four
13 megawatts to see what signal gets all the way through,
14 so we're both testing the battery on the system, but
15 we're also testing the DR and what communication we can
16 get with the system.

17 The final application that that same battery
18 does, potentially, is to unload a feeder that's getting
19 really hot during the summer, so if we have a particular
20 feeder, again, if you think about people putting a bunch
21 of electric vehicles out on our system, on to feeders
22 that were designed for the number of houses, not the
23 houses plus a car in half of them, one of the ways we
24 may end up deferring capital investment might be to put
25 a battery out there to be able to get overheating off of

1 our system and overloading off of our system. So,
2 again, we're talking about all these use applications.
3 We're out demonstrating it. This project will be on
4 line in 2013 in a two-year demonstration.

5 Okay, so what are the key issues about storage
6 going forward? I think, you know, the big issue for us,
7 as I started out, is about let's look at the
8 applications, let's look at what we need, let's support
9 the ISO in their evaluation of what the system needs,
10 let's figure out what the asset is we need. We'll
11 figure out on the distribution system, on the
12 transmission system, once we've proven the capabilities
13 of these assets, we'll figure the value that we can get
14 down there, and let's try to plug them together, figure
15 out what is the most efficient way to do it, it might be
16 storage, it might be demand response, it might be --
17 more likely, it's some of both, but that's what we're
18 hopeful is people will have a good conversation going
19 through this, take advantage of the R&D work that's
20 going on, and take advantage of the ISO study work. So,
21 that's it. Oh, sorry, one last thing, we've done a
22 little bit of work on this, we published a White Paper a
23 little while ago, it's on our website, we did that work
24 last year, and then we got a Storage 101, a little bit
25 easier, an eight-page pamphlet that we've got available.

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 Our website location for the White Paper is referenced
2 here.

3 CHAIRMAN WEISENMILLER: Thanks. Why don't you
4 submit those for the docket, too?

5 MR. GRAVELY: Thank you very much. Can we hear
6 from PG&E, Antonio?

7 MR. ALVAREZ: First of all, thanks for inviting
8 me to participate in this discussion about the utilities
9 view of energy storage. I'm Antonio Alvarez and I'm
10 responsible for the Renewable Integration at PG&E. What
11 that means is, over the last year or two, I've been very
12 involved in the integration studies that the ISO has
13 been doing to make 33 percent RPS feasible. How we
14 approach storage, we approach it just like pretty much
15 any other resource need, and we first try to identify
16 what is the need, what is the problem we're trying to
17 solve. And then, reflecting on the current integration
18 study, we try to identify the need in terms of the
19 amounts, the type, the operating characteristics
20 required for the resources or supply or demand side
21 resources that are capable of providing those
22 requirements, and then see how much of those
23 requirements can be provided by the existing system.
24 You know, there may be modifications that can be made to
25 the existing system to make it more flexible.

1 We know that, as we add wind and solar
2 generation, we're going to require the system to be more
3 flexible than it is today. Well, some of that
4 flexibility can come from the existing system, some can
5 come from storage, additional demand response, and other
6 flexible resources. So, once we have identified that
7 need, the residential need, then we select the best mix
8 of resources that can be used to meet that need and we
9 do that generally through a competitive solicitation,
10 where it is basically technology and we look at both
11 demand and supply and try to figure out which is the one
12 that gives customers the best value.

13 Just going down to the recommendations on the
14 three or four questions that were asked from this panel,
15 1) in terms of the role of storage, again, I suggest a
16 road map that starts with the identification or need,
17 and then a competitive process to select the resources
18 that are needed, that are needed to satisfy those needs.
19 In terms of ownership, you know, the real answer is it
20 depends on how integrated storage is with the existing
21 system. I can see, reflecting back on the first
22 question that Commissioner Weisenmiller asked about, you
23 know, whether we're looking at economies of scale as
24 kind of the determination for whether the utilities
25 should own, I can think perhaps of a couple of examples,

1 1) the Grid reliability example that was mentioned by
2 Southern California Edison is perhaps one that should be
3 owned by the utility; the other one that I can think of
4 is a pump storage application where the resource is part
5 of the same system where the utility operates, you know,
6 different power plants under a common FERC license, that
7 seems to me like an application where the utility
8 ownership would be applicable, or appropriate. Others
9 in the bulk system, again, it depends on whether the
10 utility or third parties could offer a better value to
11 the consumer. And that usually is determined through
12 our competitive process.

13 In terms of AB 2514, we are not in favor of set-
14 asides. To us, what that means is that you have kind of
15 an optimal solution, it requires kind of a special
16 treatment of a resource in order to be selected, so we'd
17 rather have a processing which the alternatives can be
18 compared on equal footing, and then we select the one
19 that best meets the need and provides the best value to
20 the customer. That's pretty much all I have. Thank
21 you.

22 MR. GRAVELY: Mike Turner, here from San Diego.

23 MR. TURNER: Good afternoon. My name is Mike
24 Turner, I work for San Diego Gas & Electric Company.
25 Thank you for allowing me to come up here today and

1 share SDG&E's perspective on energy storage. Energy
2 storage is not a single application or technology, it
3 can be installed in various locations with multiple
4 applications. Behind the meter, it can be used to
5 manage customer loads, also be used to manage on-site
6 generation and cost at specific locations. On the
7 distribution system, it can be used to manage
8 reliability. In the future state, it can be used to
9 island or have customers stay in service in a micro-grid
10 mode, even with upstream outages. On the transmission
11 system, we can manage power flows and shift power from
12 on-peak to off-peak, also maintaining power quality,
13 mitigating intermittent renewable energy sources. On
14 the generation system, we can provide energy arbitrage
15 and also ancillary services.

16 Some of these applications may be better suited
17 for market or commercial benefits, and some of them are
18 better suited for operational benefits. The ownership
19 of the energy storage devices for these different
20 applications should depend on various factors,
21 especially, we think, operational benefit, safety and
22 reliability certainly being most important. Therefore,
23 we think the utilities are certainly candidates for
24 ownership at all these levels. We think that because
25 the utilities are responsible for operating the

1 distribution grid presently. Customers expect the
2 distribution to be operated safely, efficiently,
3 reliably, and with power quality. The utilities are
4 currently responsible for operating the distribution
5 system to comply with all of these parameters.

6 On the distribution system, we will install
7 energy storage to address increasing penetration of PV
8 and other distributed generation systems. We use energy
9 storage to provide voltage regulation and frequency
10 regulation, also to mitigate power intermittency and
11 voltage flicker, and also defer capital upgrades. We're
12 also looking at installing energy storage at the
13 substation level in order to mitigate intermittency
14 associated with larger, centrally located, renewable
15 energy generators, and also to provide voltage and
16 frequency regulation benefits.

17 Here's a real live example of some of the
18 problems caused by intermittency associated with a large
19 PV system near the end of a distribution feeder. The
20 upper graph is a profile of the voltage, as well as
21 current output of a large one megawatt PV system at the
22 end of one of our distribution feeders, a 12 KV feeder
23 down in San Diego. That shows the output basically for
24 about one day of the output of that PV system.

25 The bottom graph shows a magnified view of about

1 five minutes of that output, and you can see how,
2 interesting, in that five-minute period, there's a lot
3 of variability. And, of course, that variability is
4 caused by clouds coming in and out of the region. And
5 just in that five-minute period on the bottom graph
6 there, you can see the clouds have come in and out about
7 three times, and the point of this slide is to show that
8 energy storage is needed in order to solve real
9 operational problems, therefore, we need to install the
10 storage in the right locations in order to effectively
11 mitigate problems like this.

12 Currently, SDG&E is pursuing a number of energy
13 storage projects in order to gain experience and begin
14 to understand and address the benefits and the
15 challenges associated with energy storage.

16 One large demonstration project we're currently
17 installing is a micro-grid project. Our micro-grid
18 project will employ a number of Smart Grid technologies
19 such as feeder automation, bar management, advanced
20 meter infrastructure, a local distribution management
21 system, and also energy storage at three levels. We'll
22 install it at the substation level, at the utility scale
23 size, that will be about .5 megawatts to one megawatt,
24 and we're looking at four to six hours of duration for
25 that utility scale application. We're also looking at a

1 distribution feeder application where it will be
2 installed and interconnected to the secondary side of a
3 line transformer, the size of that unit would be 25-50
4 kilowatts with about a two-hour duration. And the third
5 application of energy storage in this project would be
6 at residential units, home energy systems, and they
7 would be sized about one to three kilowatts with perhaps
8 a three-hour duration.

9 Our recommendations are to continue to install
10 energy storage projects in order to continue to gain
11 experience with these devices, and also experience with
12 the required support equipment. We need to develop
13 standard practices and working methods in order to be
14 able to install and operate these energy systems safely.
15 We need to work with manufacturers and integrators to
16 develop product value. Importantly, we need to
17 understand the need and the drivers for different
18 applications of storage.

19 We do not think that targets are appropriate
20 right now for energy storage because the impact of
21 renewable energy sources are not yet defined. We don't
22 know exactly how much energy storage we're going to need
23 for specific amounts of renewable energy sources in
24 various locations. Also, wide-scale deployment of
25 storage technologies will be difficult because large

1 scale production capabilities are still developing at
2 this time. And also, as a result of that, energy
3 storage systems are currently expensive. Therefore, we
4 think that energy storage systems should continue to be
5 assessed on a case-by-case basis. Thank you.

6 MR. GRAVELY: So we'll now shift to hearing from
7 the Public Utilities perspective, and the first one will
8 be Mark Rawson from SMUD.

9 MR. RAWSON: My name is Mark Rawson. I'm the
10 Project Manager for Storage Research and Development at
11 SMUD here in Sacramento. I'm going to give back some of
12 your time because I don't want to be repeating a lot of
13 what you've heard from some of my utility colleagues in
14 some of the earlier discussion, because I agree with
15 most of what they said about ownership issues and value
16 of storage, etc.

17 You've already seen some of this information
18 presented about what some of the drivers are, these are
19 the drivers for SMUD, our sustainable energy goal to
20 reduce our greenhouse gas emissions by 90 percent by
21 2050 is driving us to look at more renewables, which
22 means more intermittent renewables, in our case. And
23 with intermittency, we're looking to see if storage
24 might be a mitigation strategy for us to do much higher
25 penetrations of solar within our service territory.

1 So, you'll see here some consistency with the
2 requirements in 2514 for the types of things that
3 storage are supposed to try to address. This is just
4 some data from SMUD's situation with respect to
5 intermittency of our wind resources and some of our
6 solar projects, showing that storage may be an
7 opportunity for us to help deal with intermittency of
8 these types of renewables onto our system.

9 So, what is SMUD's storage approach, presently?
10 I like to describe it as a three-legged stool. The
11 first leg is technology screening and evaluation. We do
12 both internal assessments of storage technologies to
13 understand, you know, are they ready yet for utility or
14 customer deployment. We do participate quite actively
15 in EPRI's storage program as another resource for us to
16 understand what's happening with emerging storage
17 technologies, and some of the work that has been
18 presented earlier today is stuff that we benefit from in
19 the technology assessment area.

20 The third leg of our program is demonstrating of
21 the more promising technologies. I won't go through all
22 the different demonstration projects that SMUD has
23 underway, I've provided them in this slide deck in the
24 back, but it's very comparable to the projects that have
25 been presented by SCE and PG&E, and San Diego Gas &

1 Electric. Deployments behind the meter with customer
2 facilities that own photovoltaics, so looking at trying
3 to firm that intermittent resource right at the
4 customer's facility, all the way up through the
5 distribution system. We even have activities at SMUD
6 all the way up to the bulk level. I would say the third
7 leg of our program is more focused on the value piece of
8 storage and I'll spend just a couple seconds talking
9 about this. Because there has been some discussion
10 today about the many different applications and benefits
11 that can be derived from storage, some of those benefits
12 are better aligned for the utilities, some for the
13 customer, and in some cases they can apply for both the
14 customer and the utility. and the question that we need
15 to try to understand is how to quantify those benefits
16 under different storage deployment scenarios because
17 they're not all mutually exclusive from one another.

18 So some of the work we did last year in our
19 relationship with EPRI, basically used the approach that
20 Dan Rastler presented this morning, but we drilled that
21 down to four specific applications in SMUD's service
22 territory, looking at our voided cost structures. I
23 won't go through the details on this chart, other than
24 to point out that, in our particular situation, we seem
25 to be gravitating toward storage technologies needing to

1 get to about \$400 per kilowatt hour price point before
2 we'll start to see storage applications being cost-
3 effective, at least for these four applications that we
4 investigated. One of our projects that we're doing this
5 year is a zinc-bromine flow battery system, it's very
6 close to that point, but I would say that that is still
7 an emerging technology and, in the whole spectrum of
8 distributed storage research that we're doing, we
9 believe that many of these technologies remain unproven
10 in terms of what is the life of the technology, how
11 durable is it, and how reliable will it be, and what is
12 its ultimate cost going to be. And so, therefore, we
13 advocate that there needs to continue to be research and
14 development, and I think the Energy Commission's PIER
15 Program, as well as the Department of Energy, for
16 funding a lot of the demonstration projects that SMUD is
17 involved in today, that are helping our utility and our
18 customers understand not only the technologies, but all
19 the issues around how do we integrate these technologies
20 into our system, how do we see them, how do we operate
21 them, and can we rely on them as an asset for the
22 future?

23 I'll just close with a few recommendations.
24 I'll focus on the bottom part of it, as it relates to
25 the panel questions that you posted to us. I think, at

1 this point, there are so many emerging storage
2 technologies that we're seeing. In the last few years,
3 it's amazing how rapid storage technology has been
4 developing and I think this workshop today is an
5 illustration of, now, the policies trying to catch up
6 with the emergence of storage technology. But at the
7 same time, I think there needs to be a pause to take a
8 breath. The business models around storage technologies
9 and the companies that are trying to develop these
10 technologies also need time to develop. So, in that
11 vein, I think there needs to be flexibility that we need
12 to allow multiple ownership structures, whether it's
13 utility-owned assets from a reliability standpoint, I
14 agree with Edison's presentation on that point; whether
15 it's customers trying to implement storage as a demand
16 response strategy to deal with TMU pricing, what have
17 you, we need to allow for business models that make that
18 happen, as well. There needs to be flexibility to allow
19 utilities to pick the right type of storage for whatever
20 their need is, whether it's bulk renewables integration
21 requiring bulk storage, all the way down to customer-
22 sided storage to meet customer needs, or varied
23 distributed renewables. We need to let the need dictate
24 how we deploy storage and how utilities will own it.

25 The last point I'll make is I think we need to

1 continue to focus on cost-effectiveness, of the benefits
2 delivered. We shouldn't be pursuing storage for storage
3 sake, we should be pursuing it for the value that it
4 provides, and that drives us to need to look at the
5 applications that it could be used for, identify what
6 the value of the application is, look for the storage
7 technologies that meet the functional requirements of
8 the application, and go from there. And with that, I'll
9 quit.

10 MR. GRAVELY: So while you're doing that, we'll
11 bring up from Los Angeles Department of Water and Power,
12 Mohammed Beshir.

13 MR. BESHIR: Good afternoon. Again, thank you
14 for giving me the opportunity to come and discuss the
15 storage issue from LADWP's perspective, I just have a
16 little presentation. Again, I guess all morning and
17 part of the afternoon, many things have been said about
18 storage, I think I do agree, this is emerging technology
19 and, of course, at the end of the day, this could really
20 be a game changer for the industry, definitely. But I
21 believe there is some ways to go.

22 We were given three or four questions, I guess,
23 that's really what I'm going to limit my discussion,
24 even though there is more to be said, I'm just going to
25 focus on addressing some of those three questions.

1 The role of energy storage from LADWP's
2 perspective, I'm going to be talking about, I guess, a
3 market perspective, we heard many discussions earlier,
4 and how energy storage, who should own it, I guess, is
5 the second question, and the third question is on the AB
6 2514.

7 From LADWP's perspective, I guess we have
8 activities on all aspects of the storage business, but I
9 thought maybe what I didn't see discussed was really
10 application of energy storage and LADWP does have one of
11 the largest storage facilities in the country, I would
12 say, and we have been using the facility to integrate
13 our renewable resources. This Castaic facility is 1,200
14 megawatts, and the way we have been integrating the
15 facility today, we have a project called Barren Ridge
16 Renewable Transmission Project, as shown in the diagram
17 on your slide, we have a project where we are increasing
18 the capability of that transmission system, at the same
19 time integrating that Castaic power plant, as well as
20 some hydro facilities we have in the Owens Valley, into
21 the large set of renewables we are developing in the
22 Tehachapi and the High Desert Area, solar as well as
23 wind, a large amount of wind and solar. We have done
24 some testing and currently we do have 135 megawatts of
25 wind integrated through that system, and we do expect

1 that that renewable development will be much larger in
2 the next few years, and we do see a lot of positive
3 activities from the integration perspective. So, that's
4 one activity we are doing and I think the data and the
5 work we are doing and the Castaic Pump Storage facility
6 has been going through the modernization process for the
7 last few years, we'll continue to do that, putting new
8 controls, new aspects of that pump surge facility, it
9 definitely will help us integrate our renewables a lot
10 more efficiently and effectively to the system.

11 Other aspects of renewable integration we have
12 been doing may not be 100 percent related to storage,
13 but I think is related to the activities where we have
14 wind assets far away from our system, where we are
15 bringing, using DC transmission line with dynamic
16 scheduling capacity, to be able to bring those resources
17 to Southern California, where we will maybe be able to
18 integrate those resources more effectively using the
19 pump storage facilities and whatever other things we
20 have to the system. So that's from the integration
21 point of view. The ownership, definitely, we do feel, I
22 guess, as was said earlier, if a measured component of
23 it is reliability related, we do think, of course, a
24 utility does need to have a lot of say and that's really
25 what the reservation would be from the technology

1 considerations, also, but similar with how we have
2 handled the renewable development, if any time there is
3 tax incentives and what have you, as a municipality
4 service, we have not been able - we cannot use tax
5 incentives, so we have used some kinds of optional
6 capabilities, what we could probably have a combination
7 of ways of ownership, but I think this is pretty open as
8 far as discussion in the future.

9 With AB 2514, this as we see from the
10 application of that law to the municipal utility, we do
11 plan to follow, of course, the steps. We'll go through
12 the process. Obviously, as was said earlier, we don't
13 really believe these have to be really mandates or
14 targets going forward, the technology is evolving, there
15 are many aspects to storage. I think when we start
16 talking about mandates and targets, it does take away, I
17 think, the creativity and the flexibility of what you
18 want to do, especially when you are depending on
19 technology for reliability purposes, I think you really
20 have thinking you have to do behind those targets. That
21 is my presentation. Thank you.

22 MR. GRAVELY: So our last speaker for this
23 panel, and I guess the one that has the last word before
24 the discussion, is Michael Colvin who will give us the
25 PUC perspective on the utility approach.

1 MS. COLVIN: So, good afternoon. I'm privileged
2 that I get to book-end the day, I guess. I'm going to
3 try and do this relatively quickly because I know most
4 people have been sitting a long time.

5 One of the things that I think we heard a lot
6 throughout all the utilities is this idea of let's do an
7 application approach, where does it make sense and,
8 again, I want to echo back something I talked about
9 earlier in the day, which was I think what we need to
10 try and do is come up with the general policy statement
11 and then identify within this application model, or
12 application approach, what are the interesting barriers
13 to entry, what are the interesting barriers to cost-
14 benefit analysis that needs to happen? And it
15 certainly, then, rolls back up. There can be multiple
16 applications for one technology, or vice versa, multiple
17 technologies can work in one application, and so we kind
18 of just need to make certain that we kind of clearly
19 identify the sandbox we're trying to play in here.

20 Something that I think is useful when we talk
21 about identifying applications is saying, "Well, what
22 else could also fix this problem" And this goes back to
23 one of the themes that came up at the beginning of the
24 day, of could something else that is in our loading
25 order also work? Or, could something else work here, as

1 well? Could we achieve these benefits only from
2 storage? Or is there something else that might be able
3 to do it? I'm going to give a couple of examples just
4 to help with the thought exercise.

5 The first one is you've seen the very very scary
6 graphs that have the people at the ISO, you know,
7 shaking in their boots of, how do we integrate all this
8 wind and could storage be playing a role? One of the
9 things that I wanted to kind of throw out there as a
10 through exercise was, in the 2011 solicitation guidance
11 for the RPS, for the first time, we have room in there
12 for economic curtailment, it was something that the
13 utilities very hotly contested, that you really fought
14 for, and a balance was struck there, but for the first
15 time there was a value that will be put into a contract
16 saying, "If you curtail, here is a number around it."
17 Well, for me, that's a signal of saying, "Well, in that
18 situation, or in that application, that might be a value
19 stream that storage could capture." And that's just an
20 example of here is a problem, here is a contract way
21 that we might be able to fix it, and here is a price
22 signal that might come around that might be a role for
23 storage, or it might be a role just to curtail or do
24 something else. And so that's one possibility, that's
25 one way of thinking about something.

1 Another example, this is showing my bias of my
2 roots of spending many years on CHP stuff, one thing
3 that I'm certain everyone in the room knows, when you do
4 distributed generation, at certain times there are large
5 standby rates, and sometimes that can help product
6 economics, sometimes it can kill it. Well, let's think
7 again just as a thought example, what does a standby
8 rate mean? Well, if the DG goes down, you are
9 essentially paying for the Grid as a back-up. Well,
10 should you maybe have a second stand-by? Or one, under
11 that normal example, but if you have storage, isn't that
12 acting as your own back-up? And if that is the case, do
13 you maybe want to have a different stand-by rate? And
14 would that be a situation again, the avoided stand-by
15 rate, might be a way of creating a price signal in a
16 storage application? It's not a perfect analogy, I
17 grant you, but it is something that I think we want to
18 start thinking about in that context. Again, two
19 totally different examples, but our way of what I think
20 we need to do to try and help identify opportunities
21 using this application framework, they are very
22 stylistic, I recognize.

23 Shifting a little bit to a concept of ownership
24 models, I would say for the most part we are trying to
25 be very agnostic and, just like we were trying to be

1 very agnostic as to what storage technologies should be
2 put onto the Grid, ownership models should be fairly
3 agnostic, as well. I do want to agree with some of the
4 comments that were made earlier that, depending on the
5 application, the ownership model will very naturally
6 fall out, but it doesn't have to be exclusive, so an end
7 use customer, a third-party developer, the resource
8 generator itself, the utility, somebody else, you know,
9 don't know, could own just depending on the context. I
10 think ultimately, and I'm probably channeling my new
11 boss here, but the ownership model is going to come down
12 to a question of financing. How do we get the storage
13 to actually pencil out? Is the spot market going to
14 work? Is a long term contract the only way to do this?
15 Could a rate design do this in a smarter way? Again,
16 not trying to advocate any one option, but I think the
17 financing is going to dramatically influence how we
18 decide the ownership models - and, again, it's going to
19 be very application specific, and that's something I
20 think we didn't really get into in the utility part of
21 the conversation, but I think that's where the
22 conversation ultimately is going to need to go.

23 I think my last slide on this topic, there were
24 some questions about RDD&D. I think we've heard
25 throughout the day about some of the great projects that

1 came from the Stimulus funds, from ARRA, there are a
2 variety of options that are out there of how we would
3 have been able to leverage those monies and how we maybe
4 continue to be able to leverage that data that we're
5 going to get to figure out what is the problem that
6 we're trying to fix. My last point here is not all
7 storage, however, is 10 years away from
8 commercialization and needing demonstration, some of it
9 we've had for 20 years on our system, and is ready to
10 pencil now. And so, as we're thinking about, well,
11 what's the suite of what we want within the storage
12 context, and as the utilities are looking at, well, how
13 much storage do I want on my system, it seems to me a
14 smart mix would be kind of a portfolio approach of, you
15 know, some things that are available today, some things
16 that are available a little bit longer, longer term,
17 just like every kind of emerging technology. So, I know
18 that's a simplistic point, but that's something else
19 that I think we'll need to be thinking about as we give
20 guidance to the utilities kind of in the long term. And
21 with that, thank you.

22 CHAIRMAN WEISENMILLER: Thank you, again. I
23 actually had a couple of things to follow-up on about
24 that. So, the first question is for Edison, in a way.
25 As you indicated, Edison made a very strong case of

1 needing economic curtailment for the new resources -

2 MR. COLVIN: I don't think I specified Edison,
3 alone, I think all three utilities made a very strong
4 case -

5 CHAIRMAN WEISENMILLER: Now, but the flip side
6 of that is they were, at the same time, making a very
7 strong case for the need for storage for their system.
8 So, again, having made that case, what are the numbers
9 in terms of megawatts? You know? I mean, you can't
10 both need economic curtailment which can make these
11 things un-financeable, and not need more storage.

12 MR. IRWIN: So, I'm a little bit out of my
13 element, but not as far as I might otherwise be. I'm in
14 the Advanced Technology organization, but four months
15 ago, I was in the Renewable Procurement organization, so
16 I'm a little bit familiar with the issue. What we saw
17 in, actually, I think it was one of the earlier
18 presentations, it was really the driver for us for
19 curtailment, it wasn't the, you know, \$40.00 negative,
20 \$50.00 negative, it was that inter-hour \$500.00
21 negative; actually, they showed the positive side, but
22 we actually see the same negative side. And so, you
23 know, we approached it to say operationally it makes no
24 sense that we have a generator running, as an example,
25 we pay \$100 a megawatt-hour and yet we're having to pay

1 \$500.00 a megawatt hour to keep that online, so we're
2 having a net negative \$400 for taking that energy on.
3 That was one issue. So that's the first issue of
4 wanting to curtail, is because it makes a lot of sense,
5 even if we pay the generator. And then I think our
6 second issue was, well, we should have the market price
7 this risk to us because, in some circumstances, their
8 view of that risk might be different than ours, and we
9 shouldn't just say, "Well, we'll pay you if we do it,"
10 we should say, "Well, what do you want us to pay you?"
11 You know, do we get any hours free that we don't have to
12 pay for it? Or, do we get the firsts 50 hours? Do we
13 get something like that? So those were really the
14 arguments we made. I think we were probably the
15 starting point, the spin-off for that. But I think it
16 was really - it started with operationally it makes no
17 sense not to be able to do this when the economics makes
18 sense, and then the second thing was, let's price it in
19 the market. We gave people certainty, actually some
20 contracts that I was involved in signing while I was
21 still there have already been project financed with
22 those types of terms, so it's clearly financeable, you
23 can put a box around it and finance it, and
24 operationally it makes all the sense in the world.

25 CHAIRMAN WEISENMILLER: But is it 50? 500? A

1 thousand? I mean, how many megawatts of storage would
2 take care of the problem on the Edison system?

3 MR. IRWIN: Well, we didn't actually - so, we
4 don't have system models looking out 20 years as to what
5 the system is going to look like, but let me just throw
6 a dynamic on what's really created this problem for us
7 was, on our system, we have a lot of - Edison has more
8 renewable assets or renewable opportunities - better
9 renewable source than the other utilities do, so we have
10 San Diego buying assets from our system and PG&E buying
11 assets for our system, so we could look at the
12 curtailment that was going to occur because of the
13 current topology of the system and the current
14 generators, we actually probably say, in most cases,
15 it's zero. Okay? So we couldn't predict it. But we
16 would say, "If somebody else built there, without
17 building additional upgrades, which the ISO process
18 allows them to come in energy only, right, and not have
19 to build a lot of system upgrades, then the whole
20 curtailment risk was really unquantifiable. So, we're
21 moving towards being able to model things hourly and
22 that, but you can still only deal with the topology that
23 you know. And so that was really the big driver for us
24 and that scenario was we couldn't value it. We could
25 guess, we could look at, you know, CRR values and things

1 like that today, but under an ever changing dynamic, it
2 was challenging.

3 CHAIRMAN WEISENMILLER: Okay, well, switching to
4 Antonio for some questions, I guess the first one was
5 PG&E was the only one who opposed the ISO's storage
6 tariff, I don't know if you're the one to explain why,
7 or whether you want to have some of your colleagues in
8 the written comments explain?

9 MR. ALVAREZ: Submit that in written comments.

10 CHAIRMAN WEISENMILLER: Okay, because we
11 definitely want to hear on that opposition. I think the
12 other thing, again, I think I mentioned before, Rory
13 gave a presentation at IEP in September on Storage, and
14 I don't know if you had a chance to dig that up, but,
15 anyway, in that presentation, I guess what I was going
16 to - again, make things easy for you - what we'd like to
17 do is have you submit that for the record here, and give
18 people a chance to respond. Rory did a number of slides
19 that tried to go through some of the technical
20 characteristics, in terms of the ramp rates of different
21 units, and also compared across some of the storage
22 technologies and tried to draw the conclusion that, from
23 his perspective, looking at ramp rates and technical
24 capabilities, that the utility really needed, in terms
25 of storage, the pumped storage and compressed air was

1 going to be much more valuable to the system than some
2 of the other technologies. And so, again, it was a
3 technical comparison and I think people will find
4 interesting and presumably provoke some comments. But
5 certainly, if we can get that in the record and give
6 people a chance to respond to that, that would be
7 useful.

8 MR. ALVAREZ: We will be glad to submit that.
9 You know, I call tell you from, thanks to my Blackberry,
10 I was able to dig up some of the ramp rates, but not
11 all, but I can tell you that our pump storage, you can
12 get from minimum to max in five to 10 minutes, so it's
13 significantly higher than conventional fossil resources.

14 CHAIRMAN WEISENMILLER: You know, but that leads
15 to the question of, obviously, Helms was designed and
16 built in the '70s and doesn't reflect any of the
17 variable speed technology.

18 MR. ALVAREZ: Right, so you could probably do
19 better than that, yes.

20 CHAIRMAN WEISENMILLER: Yeah, and I mean, so
21 ultimately I think we would certainly be curious and,
22 obviously, you have a lot of poundage hydro that was
23 built probably 50-100 years ago, which certainly doesn't
24 reflect the variable speed. So, again, certainly it
25 would be good to get on the record some of what PG&E

1 might do in terms of revising its hydro system with the
2 variable speed to, again, better integrate in
3 renewables, you know, what the cost and benefits of that
4 might be. Yeah, if you could provide that, that would
5 be great.

6 I think the last question would be pretty much,
7 again, in terms of your comments, it would be good to
8 get any suggestions - this panel has or any other panels
9 on our PIER program in terms of the R&D we've been doing
10 on storage, in terms of what the high priority should be
11 and what would make that useful from everyone's
12 perspective, given obviously our budgets are much more
13 limited, say, than the Department of Energy or EPRI's,
14 in this area.

15 MR. ALVAREZ: Right. Right now, we don't quite
16 know the size of the problem we're getting into in terms
17 of not knowing exactly the need. I mean, the ISO has an
18 estimate of need that we work with them, and, as Mark
19 mentioned before, it's a function of the assumptions
20 that you make, but you can see a range around that that
21 could be pretty significant. So our approach to storage
22 is we want to make sure that we have options by 2020 to
23 be able to integrate the renewables we have.

24 CHAIRMAN WEISENMILLER: Because when people do
25 look at Rory's package of slides, if you look at pages

1 9, 10, 11 and 12, certainly you get into some of the
2 technical characteristics, it would be good to get
3 people's comments on.

4 MR. RAWSON: I'd like to comment if I could. I
5 think maybe I didn't make the point too explicit in my
6 quick talk there, but you know, PIER is supporting some
7 of SMUD's storage demonstration projects through cost
8 share through some of our ARRA grants. I would
9 characterize our storage demonstrations as trying to
10 accomplish kind of three things, there is the storage
11 technology itself and trying to understand how it
12 operates, try to see how durable we think it's going to
13 be, how reliable it's going to be, the third kind of
14 area of research is, how do we connect it to our system?
15 How do we give our operators the ability to see it and
16 start to get them comfortable with being able to rely on
17 that asset if they have to dispatch it? And then the
18 third area of our research projects, if they're customer
19 sited, is trying to understand how that storage system
20 would affect how customers choose to use energy, for
21 example, in a demand response type environment, does it
22 give them another tool in their toolbox that would
23 change how they respond differently to dynamic pricing?
24 So, the research that is being done in that area, that
25 PIER is supporting, I think needs to continue to be done

1 so that utilities and customers get more familiar with
2 this technology that, you know, there's lots of bulk
3 storage technology that's been deployed around the
4 country, but when we start talking about distributed
5 storage, that's still kind of a new thing and I think
6 both utilities and customers need to understand that,
7 and one of the best ways to do that is to be able to see
8 it, touch it, kick the tires, etc.

9 CHAIRMAN WEISENMILLER: Okay, and I actually -
10 one question for LADWP, I did some work with the City
11 Attorney down there in the '90s involving some
12 litigation between you and Edison, and one of the
13 outcomes of that litigation was a settlement where I
14 think Edison contracted to use some Castaic, I don't
15 know if that's still in place?

16 MR. BESHIR: No, that expired, oh, a few years
17 back. That was just a temporary - it had a time limit,
18 so it has gone a few years by now.

19 CHAIRMAN WEISENMILLER: Actually, the update, of
20 course, we probably would be encouraging both of you to
21 continue that sort of discussion if there is any unused
22 capacity at Castaic that Edison might find some use for,
23 or, for that matter, San Diego. And we certainly want
24 to thank everyone for their participation in this panel,
25 we certainly appreciate the opportunity to dig into

1 these and to get this perspective. Mike, I'm sure we
2 have more questions from the audience.

3 MR. GRAVELY: Well, actually, I think what we'll
4 do, given the time and if the panel doesn't mind, most
5 of the speakers are still here and so we'll go ahead and
6 go into the public questions and I'll reserve my Next
7 Steps until after the public comments. But what we do
8 have in the first two presentations on the public
9 session is we've talked a little bit about alternatives
10 to classical storage, batteries, or flywheels, or other,
11 and one we'll hear briefly, again, for the discussions
12 in the afternoon, we'd prefer you hold your comments to
13 less than five minutes, but preferably two to three
14 minutes. But we're going to hear about auto demand
15 response as one alternative, using existing systems for
16 that, and then we'll also hear from Lon House about
17 existing water infrastructure and how we can use that
18 for similar, so if you know what you need, these are two
19 alternatives, two possible very low cost alternatives to
20 meet some of those needs. So we'll start off with Dave
21 Watson from the Demand Research Center.

22 MR. WATSON: Thanks, Mike. And thank you all
23 for inviting me here today. As Mike mentioned, I'm with
24 the Lawrence Berkeley National Lab in the PIER funded
25 Demand Response Research Center. We've been working on

1 automated demand response for about eight years now and
2 made significant progress probably best known for
3 defining some of the standards that have been embraced
4 by NIST and we now have over 100 megawatts under
5 automated demand response in California using technology
6 that we first started out as research, but has been
7 turned over to the commercial sector. Now, all three
8 IOUs, and CAISO are using technology developed by the
9 DRRC.

10 What I want to talk about today is how demand
11 response can be used as a resource for integration of
12 renewables. And I'm going to start out first by
13 differentiating what demand response historically has
14 been, which has been very slow, it's been day ahead,
15 typically, you know, telephone calls, even if it's
16 automated, it oftentimes is day ahead announcements, and
17 then also it typically lasts for many hours, you know,
18 three or six hours, hot summer afternoons,
19 traditionally. The more recent work that we've been
20 doing has been both very fast, but with little or no
21 advance notice, sometimes as little as four seconds,
22 using the AGC signal from CAISO to do the automated
23 generator signal, from CAISO to do near real time
24 control of these resources, and in this test here, the
25 red line shows - I'm pointing to what's called the "Fast

1 Demand Response Aspect" - the red line is showing the
2 signal that we committed to, and the blue line shows to
3 what we actually achieved, so even though we only had to
4 ramp up within 10 minutes, we actually ramped up in less
5 than a minute, and this is a big box retail, and we
6 think this is repeatable, and we did a scoping study and
7 found a whole host of other types of commercial and
8 industrial applications throughout the state, not just
9 on hot summer afternoons, but also many of them in the
10 other hours of the day.

11 So, why should we look at this? Lower cost.
12 You know, we've seen a lot of costs here today, but
13 after eight years of doing automated demand response,
14 we're seeing installed first costs between \$75 and \$300
15 per kilowatt installed. And we see those with mass
16 adoption by control companies, those costs even dropping
17 even further to become essentially zero incremental
18 cost, because these codes are going into the Title 24,
19 for example. So, when I talk about costs, though, even
20 though that may sound very enticing, being, what, 10 or
21 20 percent of the cost of some of the other storage
22 technologies that we've heard about, there still are
23 challenges and demand response does not equal storage,
24 it has different attributes. I think we all face some
25 of the same questions about the economic incentives and

1 those need to be looked at in more detail, but, in
2 addition, demand response is different than storage in
3 that it varies based on time and temperature to a lot
4 greater degree. And we have little data about off peak
5 demand response, although we're gathering more in this
6 scoping study that we did, that I'll show you the
7 results of in just a moment, shows that there is
8 substantial resources, 24 hours a day, 365 days a year.

9 Another challenge is the monitoring and
10 verification, and the telemetry required to show that
11 something really has been shed. And then other issues
12 that are common to distributed storage of geographic
13 distribution and control, and so forth. These are some
14 of the existing CAISO programs that we have participated
15 in already, this is not just research, although these
16 ones are pilot programs. We have participated in both
17 Reg. up, Reg. down, and non-spin ancillary services, and
18 we believe the technology is ready for spin, as well.
19 I'll go through these kind of quick.

20 We looked at all different sorts of C&I loads
21 for their potential and, you know, the ramp rates vary
22 somewhat, but we believe that some can be as fast as a
23 minute to 15 minutes or so and last anywhere from 20
24 minutes without even being noticed in many cases, to
25 several hours. A couple that I'd like to point out,

1 frozen warehouses appear to be a very good resource, you
2 can sub-cool frozen warehouses and essentially use -
3 when the prices go negative on the wholesale market, you
4 can use that energy by sub-freezing. We see a lot of
5 over opportunities in Ag pumping and data centers, also.

6 This shows - this is the results of a scoping
7 study where we looked at commercial industrial loads all
8 throughout the state, all different kinds, and looked at
9 the peak hour of the whole year, and using a methodology
10 where we took into account the existing control system
11 infrastructure, which is a proxy for how easily and low-
12 cost can we reach those loads, we can get about almost a
13 gigawatt in the hottest hour of the year and in the
14 middle of the morning in January, I think it was, we
15 could get about a quarter gigawatt throughout the state.
16 With modest investments in capital improvements, in
17 control systems, and by "modest," I mean increasing the
18 penetration of energy management control systems in
19 these facilities from, say, 30 percent in commercial
20 buildings to 50 percent, and in Ag pumping from 10
21 percent to, say, 50 percent, we can double those
22 numbers, so we can get, you know, the numbers that you
23 see there, a half a gig to two gig, roughly. We see
24 this working in conjunction and augmenting grid scale
25 storage, they're not apples and apples, they don't come

1 on line quite as quickly, but they appear to be a lot
2 less expensive, so we imagine and request rules that
3 would incentivize utilities and ratepayers to create
4 programs that made it worthwhile to make this part of
5 the loading order, where perhaps storage could come on
6 line in a few milliseconds or microseconds, a fraction
7 of a cycle, and perhaps demand response could be on line
8 within a minute or five minutes later. And that could
9 significantly shift the cost analysis of this equation.
10 And, again, it's a portfolio of products geared toward
11 specific applications. And the application, as we all
12 know, is to increase the use of renewable resources,
13 which are variable.

14 This is just a little bit more detailed data,
15 again, showing that these resources are variable. We
16 are continuing our work on this area, but it appears
17 very promising and I encourage demand response to be
18 part of the discussion in the portfolio of products to
19 integrate renewable resources in the state.

20 CHAIRMAN WEISENMILLER: Okay, thank you. I
21 think the key question is, well, what are the policy
22 measures we need for demand response, is it pricing
23 signals? Is it capacity markets? What is it?

24 MR. WATKINS: Either of those would work. I
25 like to think of it as - that structures are in place

1 technology-wise for either of those to work, but if it's
2 financially viable, or mutually beneficial for
3 ratepayers and utilities to create and participate in
4 these programs, it will happen. And if doubling the
5 rate during peak hours doesn't work, then maybe 10X will
6 work. And I should note that, when prices go negative,
7 the automated demand response works, as well, because,
8 as I mentioned, there are cases like frozen warehouses,
9 that could actually be paid to accept more energy, and
10 then use it the next day, it wouldn't just be wasted.

11 CHAIRMAN WEISENMILLER: All right.

12 MR. GRAVELY: Having thought about this also,
13 sir, one thing we mentioned is that, like in other
14 cases, the current structure for demand response and the
15 current rates are based on peak load, either peak load
16 or load shifting, using this technology is something
17 that needs to be integrated into the definition of what
18 DR is and how it's used, and what it qualifies for. So
19 there is, just like storage, there's a proof of the
20 pudding, there's a demonstration phase, we've done some
21 demonstrations as long as three and four years, we've
22 done with Joe Etto [ph.] and the residential homes, but
23 what we're running into is, going forward, in fact, that
24 the world sees DR as a summertime peak load opportunity,
25 and we need to change that for purposes of Grid

1 integration, as a 24-hour seven day a week opportunity,
2 realizing the quantity isn't quite as high, but the
3 opportunity and the value is there. So, we do need to
4 look at the way DR is defined in all of the
5 documentation, and allow it to be defined in a manner
6 that it's not just peak load or load shifting.

7 Any other questions? Thank you, sir. So, the
8 next one, Lon House will give us a similar example of
9 how we can use an existing infrastructure to address
10 some of these issues also.

11 MR. HOUSE: Good afternoon. My first slide is
12 what I'm not going to tell you about, you've already
13 heard this afternoon about large pump storage
14 facilities. What I'm going to talk about is very small
15 pump storage facilities and give you a little bit of a
16 quick background on the way water systems operate.

17 All water agencies that supply treated water
18 have some sort of storage in their system. And storage
19 has been added to their system to integrate with the
20 water system, and you'll see an example a little later,
21 but it is generally - it is not set up to deal with
22 electricity, and to deal with the needs for storage
23 here. The next one, and this is just an example, what
24 you'll see is that a lot of the water systems, the
25 storage is in one of two things, it's either on the

1 beige thanks that you see on top of all the hills around
2 here, or it is underground, and one of the things that
3 the underground storage - and these two are to two huge
4 underground storage facilities, but the ones that I'm
5 actually talking about are what are called ASR, Aquifer
6 Storage Recharge, in which water is actively injected
7 into the ground. But what happens is, throughout the
8 day, water is being pushed up into storage, or injected
9 into ground storage, and then it's used when it's
10 necessary.

11 So what I wanted to do is I wanted to just go
12 through this real quick with you. This is one instance,
13 this is the El Dorado Hills Fresh Water Treatment
14 Facility, and the blue line is the pumping out of the
15 Folsom Lake, and it's running about a megawatt, and the
16 red line is the fresh water treatment facility, and this
17 is the demand response event, so you see what's
18 happening here, is this water during these other
19 periods, the water is being used, it's being either sent
20 to the system or it's being used for storage. When the
21 demand response event hit, the water treatment plant
22 shut down, 1.5 megawatts, and the pumping from the fresh
23 water from Lake Folsom pumped down, so in this one
24 instance here, in this one small system, you're getting
25 almost 2.5 megawatts of demand response. What you don't

1 see here is the generation, that's because there isn't
2 any, because in this period right here, the water is
3 still being sent out to the system, but it's being sent
4 out from storage. And one of the things that we talked
5 about in the earlier part of this century was putting in
6 generators for this time because, right now, the head
7 from this, that's coming out of storage, is just broken
8 by pressure reduction valves. And we didn't do that
9 because there wasn't any place to put the electricity,
10 but this is just an example, you can see it works for
11 demand response, this whole period, this six-hour period
12 right here, that pressure is being broken by pressure
13 reduction valves. It could be very easily run through a
14 reversible pump turbine. Okay, what the water agencies
15 right now drop between 400-600 megawatts every summer
16 afternoon, so they're used to doing that. And these are
17 just some estimates that I came up with today of - there
18 is the potential of about another thousand megawatts, I
19 estimate, of either new facilities that are either re-
20 operation of existing facilities, or the addition of
21 some additional new facilities. One of the advantages
22 is this is not a technology that we don't know anything
23 about, right? We know about how the big pump storage
24 facilities work, we know how to operate the water
25 systems, it's much less expensive than other systems

1 because you've got half of the system in there. You
2 either have the ASR field under the ground, or you've
3 got the storage facility sitting there, so the only
4 thing that you have to do is you have to put a reservoir
5 at the other end of it, and you need some sort of either
6 take out the pressure reduction valves and put in
7 generators, or you use reversible pump turbines. One of
8 the really nice things about these is these are located
9 right in the load centers, right? You can drive around
10 anyplace that's got elevation, and you can see these
11 tanks sitting up there right in the load centers. This
12 would be really valuable to have, particularly if you
13 get a big penetration of, say, residential
14 photovoltaics, because you've got something that can
15 respond, right, very very close. The disadvantage is
16 they're a much smaller size. They're under 10
17 megawatts, they're generally two to five megawatts
18 potential. They will require some additional analysis
19 and investigation to figure out what needs to be done
20 and how to integrate it with the rest of the water
21 system, and quite frankly, there's no research being
22 done on this. The Energy Commission, PIER, is not doing
23 any research on this, and the water systems aren't
24 looking at it because - right -- because what they're
25 doing is they're interested in supplying water and this

1 energy, they just basically say, "All right, fine,
2 somebody else can figure out how to do this, but you
3 have to prove to us that we can do this, it makes cost-
4 effective sense for us to do this, and it doesn't mess
5 up our system."

6 So this is just a summary of some additional
7 information, but the one thing that I would encourage
8 you to do is, while you're out there looking at all
9 these other technologies, take a look at these. You've
10 got half of the system already in place, it's not a
11 technology that's foreign or exotic, or something that
12 is foreign, we just need some demonstration projects and
13 we need some additional analysis to be able to convince
14 the water systems that it's in their best interest or in
15 the state's best interest to do some modifications to
16 their system, that are responsive to energy, not just to
17 water concerns. And that's my presentation.

18 CHAIRMAN WEISENMILLER: Okay. So, one other
19 question for you on the water agencies. I know San
20 Diego Water Authority, obviously, has large pumps that
21 they've got in a demand response program. In terms of
22 generally on the water agencies, in terms of their
23 pumping loads, how is that handled in the demand
24 response arena? Is that another opportunity? Or is
25 that already captured?

1 MR. HOUSE: Well, the total demand for the water
2 agency demand is about 3,000 megawatts in the state, and
3 that's actually a study I did for you guys. And like I
4 said, they are right now dropping between 400 and 600
5 megawatts every summer afternoon, that's in response to
6 two things, one is the bi-modal water supply that we
7 need, the other is time of use pricing. But again, what
8 they're doing is they're just operating their system to
9 supply water and it's been a - there's about 150
10 megawatts of water agency load that's currently in
11 demand response programs, but it is something that is a
12 tough sale - it's not really a tough sale, but it's
13 something that they have to get used to because, if they
14 start shutting things off in their system when they're
15 not used to doing it, they have to really make sure that
16 everything else operates and their customers still get
17 the water. And in San Diego County Water Authority,
18 they've got - it's either a 400 or - either 40 or 60
19 megawatt pump storage facility, but what I'm actually
20 talking about here are the much much smaller ones,
21 basically just the big tanks that you - you know, 8 to
22 10 million gallon tanks that you could fairly easily,
23 without much new technology, convert to being able to
24 either accept, or not accept, or produce electricity on
25 a given day and upon call.

1 CHAIRMAN WEISENMILLER: Okay, thanks.

2 MR. HOUSE: Thank you.

3 MR. GRAVELY: So, Avtar Bining has been
4 collecting the blue cards and I want to have him go
5 ahead and call people up and then, afterwards, we'll
6 take anybody from the audience that wants to speak, and
7 anybody online who has questions that we haven't
8 answered. So we'll start first with the people who have
9 submitted blue cards.

10 MR. BINING: Yes, with the Chair's permission,
11 we will allow these people to speak briefly for a couple
12 of minutes to make their comments.

13 CHAIRMAN WEISENMILLER: That would be great.

14 MR. BINING: The first request is from Alfonso
15 Baez from South Coast Air Quality Management District.

16 MR. BAEZ: Thank you, Avtar. Good afternoon.
17 As Avtar mentioned, my name is Alfonso Baez, I'm a
18 Program Supervisor in the Technology Advancement Office
19 at the South Coast Air Quality Management District, and
20 I would like to thank the Commission and staff for this
21 very informative presentation and workshop on the
22 various aspects of energy storage for renewable
23 integration.

24 The South Coast Air Quality Management District
25 has supported and continues to support clean renewable

1 generation and storage; in fact, next week, Friday, May
2 6th, we're going to our Governing Board to release a
3 request for proposal for the deployment of several
4 megawatts of renewable - of in-basin [ph.] and renewable
5 electric generation with storage to support electric
6 transportation technologies. Through this RFP, the
7 District will be making about \$30 million available for
8 deployment of these technologies. The funding comes
9 from expected mitigation fees from the permitting of
10 natural gas power plants in our district. Our hope and
11 our goal for this RFP is to leverage the funding through
12 this RFP, with other potential sources of funding, for
13 example, CEC, DOE, SJP, CSI, and other funding to really
14 move forward storage technology and renewable
15 technologies. As I mentioned to Avtar, I've been
16 wanting to come out here and mention this, we will work
17 together, our agency, with the Commission, to move this
18 very important storage technology forward in the future.
19 Thank you.

20 CHAIRMAN WEISENMILLER: Thanks for your
21 participation and for coming. I heard from a friend
22 last night about the program and she was certainly
23 excited about trying to participate in that. So I think
24 you're getting a lot of interest in Southern California
25 in this and, you know, certainly if there are ways we

1 can work together on it, that would be great.

2 MR. BAEZ: Definitely, thank you.

3 MR. BINING: Thank you, Alfonso. The second
4 speaker is Mr. Ed Stockton.

5 MR. STOCKTON: Good afternoon, Commissioners.
6 My name is Ed Stockton. I'm the President and CEO of
7 Hydrogen Technologies, Inc. I'm here today to ask you
8 that the Committee include hydrogen storage and thermal
9 hydrogen processes as viable options within the revised
10 2011 Integrated Energy Policy Report. We haven't seen a
11 lot of hydrogen up here, it's kind of like it
12 disappeared, however, Europe seems to be going hog
13 heaven over it, in fact, one of the largest hydrogen
14 generating companies in the world owned by State Oil,
15 one of the largest -- well, it is the largest hydrogen
16 generating company in the world, they're one of the
17 largest oil companies in the world -- are coming to
18 America very soon to begin deploying their hydrogen
19 technology. We are working in unison with them.

20 Hydrogen technology has developed the hydrogen
21 steam boiler. What is unusual about this hydrogen steam
22 boiler is it doesn't require an air permit, it runs off
23 of hydrogen and oxygen, not atmospheric oxygen, but
24 oxygen made from the electrolysis of the water, from
25 renewable energy. We built a 50 kilowatt unit in

1 Modesto, California, the United Association of Plumbers
2 and Pipefitters, it was a grassroots joint venture. We
3 have several hundred people that have volunteered. We
4 have the United Association of Plumbers and Pipefitters
5 and the International Brotherhood of Electric Workers,
6 who put this 50 kilowatt unit - I'd like for them to
7 speak right after, they came here today to talk a little
8 bit about it. On May 12th and May 13th, the California
9 State Pipes and Trades Council is having a competition
10 for all their apprentice down there and you and your
11 staff are invited.

12 Why is this hydrogen steam boiler - and it's not
13 just the boiler, it's the system - why is it important
14 and have value to California? First of all, the
15 question was brought up, is it volume, or is it a
16 technological breakthrough? I think one of the most
17 important parts about it is the mindset, it's how we as
18 a community in our whole - how we as the State of
19 California change our mindset on how we do business. I
20 truly believe that the technology is here in the room to
21 do exactly what you're trying to do. Being a power
22 plant operator, running power plants for West Coast
23 Operations for Florida Power and Light, both coal, gas,
24 wind, solar, geothermal, the thing that drives the value
25 - that was another question - what is the value of that

1 storage? Value is directly related on any electrical
2 delivery is based off of certainty. You contract
3 forward based off of certainty, the higher the
4 certainty, the higher the dollar value you get. That's
5 where the banks come in, they evaluate it. Hydrogen
6 steam boilers have been around for 200 years, this is
7 well known technology. Electrolysis has been around
8 since 1925, this is all bankable technology. Our system
9 serves as a battery to store and discharge power in the
10 form of steam and/or electricity when needed, using
11 stored hydrogen. It creates certainty in excess
12 renewable power for wind, solar, and water movement. It
13 strategically can shift power and time so that it can be
14 used when it's most needed, without creating air
15 pollution. It allows energy to be stored and re-used
16 cleanly, efficiently, and economically, even when the
17 wind is not blowing and the sun is not shining, or the
18 water is not moving. We've been recognized by the San
19 Joaquin Unified Air Pollution Control District, and
20 which they've given us a support letter for our
21 technology. We're using existing conventional durable
22 power plant technology. It can be built very small, or
23 very large. There are a couple more points, and then
24 I'll be done.

25 We believe that hydrogen and systems on hydrogen

1 are critical components in achieving California's
2 Renewable Portfolio Standard. We believe that it can be
3 used in conjunction with an electrolyzer anywhere on the
4 Grid to act as a load shaving or filling device to
5 balance the Grid. But we've talked about electric cars
6 doing that, well, the Norway, which is the Hydrogen
7 Highway throughout Norway, Finland, and whatnot, they're
8 focusing on hydrogen, they're focusing on a lot of
9 things like we are, but the hydrogen highways are a real
10 piece of equipment for them that they're making. What
11 that allows is to where, instead of deciding how the car
12 driver is going to plug in whenever they decide they're
13 going to plug in, and I can tell you right now, trying
14 to get my family to plug in to anything at any
15 particular time that I want, doesn't happen, but the
16 bottom line is, that's a lot more difficult. As an
17 example, if the temperature for tomorrow is being
18 calculated by the U.S. Weather Service and that goes
19 into the CAISO model, and on average across the State of
20 California we're off by one degree, on average, that's
21 about an 800 megawatt shift up and down; what that means
22 is that, if you could take 800 one megawatt units, a
23 little over every six miles from Sacramento to San
24 Diego, you could put a one megawatt load shaving device
25 and filling device, which you could make that as part of

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 your hydrogen highway. So, now, you can have a tank
2 measurement of actual gas, so you're not relying on when
3 the car is coming in, you just shave and load apparently
4 to each place where the tank is at. Now, what I'm
5 telling you is not a new idea, and I encourage you that
6 people everywhere that I go and having hundreds of
7 volunteers work on this project - volunteers, I might
8 add - is that there's a huge social and economic desire
9 for more distributive form of energy and it's known as
10 the Intergrid. Some of you may have seen the CNN video,
11 it's about a minute and 20 seconds, by a renowned
12 economist, his name is Jerry Rifkin, if you go to
13 [Http://FOET.org](http://FOET.org), and watch him, he will talk about the
14 Intergrid. There are three Intergrids that have already
15 started, one in Houston, one in Boulder, Colorado, and
16 one in Southern California. And this is where the
17 common denominator is hydrogen. Hydrogen can be shared
18 from pier to pier, pier to community, and it - he
19 believes in his statement to CNN, he believes that this
20 is going to be the third industrial revolution. To
21 learn more about our hydrogen boiler, you can go to
22 www.hydrogenboiler.com, and with that, thank you very
23 much for the opportunity to speak.

24 COMMISSIONER PETERMAN: Hello, thank you, and
25 glad you were able to bring that technology up in the

1 workshop today. Just one follow-up question. Can you
2 give me a ballpark dollar per kilowatt hour on using the
3 hydrogen boiler?

4 MR. STOCKTON: It's - hydrogen, there are two
5 factors to everything, just like anything, it is the
6 cost of your electricity going in and the cost of water
7 if you decide if you're cooling or whatnot. Typically,
8 it can be anywhere from about - if wind costs you 5.2
9 cents a kilowatt, then you would multiply that a factor
10 of a little over three, to up to five, depending on the
11 technologies that are out there. So, 5.2 could cost you
12 \$.15. So, from a strategic time shifting component,
13 then what you're able to do is you're able to take wind
14 power like on the Altamont where they don't even run
15 them at night, they feather them because there's no
16 value in it, and you could now turn that into daytime
17 power. And we know how much peak power costs and how
18 that all goes.

19 COMMISSIONER PETERMAN: So, sorry, was the
20 assumption there that you're using wind to generate the
21 hydrogen?

22 MR. STOCKTON: Wind, solar, water, yeah. Wind
23 was the example of it, and then there are capital costs
24 and however you lay that out. Our focus right now is on
25 wind, that's where we see the market.

1 COMMISSIONER PETERMAN: Thank you.

2 MR. STOCKTON: You're welcome. Thank you.

3 MR. BINING: Yeah, the next speaker is Mr. Billy
4 Powell from Electrical Workers.

5 MR. POWELL: Good afternoon, Commissioners. My
6 name is Billy Powell. I represent the Electrical
7 Workers in the Central Valley for Local 684. Obviously,
8 there are many opportunities in different ways to apply
9 storage. My request is that hydrogen definitely should
10 be considered in your policy as you really make your
11 policy coming forward. So, thank you very much.

12 CHAIRMAN WEISENMILLER: Thank you for coming.

13 MR. BINING: The next one is Bill Taylor from
14 [Inaudible].

15 MR. TAYLOR: I always make that mistake and let
16 Ed talk first. Bill Taylor, I'm with the Plumbers and
17 Pipefitters over in the Central Valley Area. It's
18 pretty obvious from what Ed said, a boiler that produces
19 steam without any emissions and how important that is to
20 the plumbing and pipefitting industry. That's what we
21 do for a living, we install boilers and put in pipe. We
22 see a great need in California for this type of
23 technology. We feel that it's going to be put in a lot
24 of plants, retrofits, and things of that nature. It's
25 going to be a simple process. It can be configured to

1 look and have the same connections as a regular boiler,
2 so basically you're taking one out and replacing it with
3 one that has zero emissions. So, we felt so strongly
4 about the technology that we actually installed one in
5 our facility for training purposes, and for HTI to
6 demonstrate. And like Ed said, we're going to have a
7 demonstration on the 13th, and everyone is invited, and
8 if you can't make that day, we'd be more than welcome to
9 set something else up to where you can come and see it
10 from start to finish. So, again, I'll just say that we
11 think that hydrogen should be part of this plan and
12 should be installed into it. So, thank you for your
13 time.

14 COMMISSIONER PETERMAN: Thank you. Before you
15 leave, can you give more information about the
16 demonstration to the workshop leaders? That would be
17 useful.

18 MR. TAYLOR: Absolutely, yes.

19 COMMISSIONER PETERMAN: Thank you.

20 MR. BINING: The next speaker is Harold
21 Gottschall about sodium sulfur batteries experience in
22 the U.S.

23 MR. GOTTSCHALL: Thank you, Avtar. As he said,
24 my name is Harold Gottschall and my company is
25 Technology Insights. I'm here on behalf of NGK

1 Insulators. We were the manufacturer of sodium sulfur
2 batteries. A little bit of history. A sodium sulfur
3 NaS battery was developed by a utility, that's Tokyo
4 Electric Power, for utilities. It's a six-hour battery.
5 The first six megawatt unit was commissioned in 1996.
6 We've been supporting NGK for the past 10 years. And
7 the principle request I have of the body here is to
8 address the problems that has delayed the
9 commercialization of NaS batteries in the U.S. There's
10 some 300 megawatts deployed worldwide; in that 10 years,
11 we've only deployed 20 in the U.S., only 13 are
12 operating, six of those are still in a warehouse in
13 California for the last two years. The underlying
14 barrier has been the legacy market structure and
15 regulations that you've heard from other sources, that
16 as you proceed into AB 2514, this is an issue that must
17 be dealt with for any technology like a NaS battery,
18 that is, a technology that will perform multiple
19 functions and you've heard many of the speakers describe
20 what those multiple functions are. Thank you for your
21 time. I will put my suggestions in comments.

22 CHAIRMAN WEISENMILLER: Thank you for coming.

23 MR. BINING: Next, we have Amber Riesenhuber
24 from Independent Energy Producers Association.

25 MS. RIESENHUBER: Good afternoon, Commissioners.

1 My name is Amber Riesenhuber for the Independent Energy
2 Producers Association. First, I'd like to thank you for
3 a very interesting and informative workshop today. As
4 mentioned throughout the workshop, solar -- storage is
5 one mechanism that can provide the ancillary services,
6 Grid reliability, and load following requirements that
7 will be needed to integrate the renewable resources.
8 But while storage is one mechanism to provide these
9 services and products, we think there are other
10 technologies out there that can equally provide the
11 products, as well. Our view is that we should allow
12 these other technologies, as well as storage, to compete
13 in the procurement process, on a competitive level
14 playing field so that we can have the best solution at
15 the lowest cost. We like solar - I keep saying "solar"
16 - we like storage and we think that it's a viable option
17 that we can employ as we move forward in the emerging
18 and existing technologies, but we'd like to see it
19 implemented and integrated in a low cost fashion, and
20 through a competitive procurement mechanism. So, thank
21 you for the opportunity to comment today.

22 CHAIRMAN WEISENMILLER: Thank you for coming
23 today and thanks for your comments.

24 MS. RIESENHUBER: Thank you.

25 COMMISSIONER PETERMAN: Just curious, what are

1 the alternative products to storage that you would like
2 to see in the same competitive marketplace?

3 MS. RIESENHUBER: Well, we represent about
4 26,000 megawatts of all the different technologies that
5 we think can also provide these ancillary services, and
6 we'd like to see them compete, as well, with these solar
7 technologies in the competitive procurement process.

8 COMMISSIONER PETERMAN: So gas plants?

9 MS. RIESENHUBER: Yes.

10 COMMISSIONER PETERMAN: Okay.

11 MS. RIESENHUBER: Thank you.

12 MR. BINING: One more, last one is Craig Horne
13 from [inaudible].

14 MR. HORNE: Thank you, Commissioners. My name
15 is Craig Horne and I'm CEO and Co-Founder of EnerVault
16 Corporation. We're a venture backed company down in
17 Sunnyvale and we're one of the ARRA storage
18 demonstration award winners that were mentioned earlier
19 with Imre Gyuk's presentation, putting a system down in
20 Turlock, California at an almond farm, and one thing I
21 just wanted to point out with that application is that
22 there's a significant number of off-Grid diesel pumps
23 used for groundwater and that would translate to between
24 600 and 900 megawatts of added load on the Grid if those
25 were converted over to electric. If you look at the

1 price of diesel today, \$4.00 to \$5.00 a gallon, it's
2 getting pretty expensive to run the diesel pumps. The
3 main reason I'm here is you asked a question earlier
4 about is it going to take volume or breakthroughs to
5 move things forward, and I want to echo the comments
6 earlier about it needing to be volume. Being a venture
7 backed company, we talk to a lot of different venture
8 investors and the biggest thing that they're looking for
9 is clear signals, and I think when you look at the
10 technologies like ours and others, and you heard about
11 today, they can be very cost-effective if the different
12 value streams that they provide can be monetized from a
13 single system, especially ones that are located down in
14 the load center next to users. The other thing, on the
15 notion of value, too, I wanted to put forth, is that we
16 talked a lot about the present value and how it would
17 impact the Grid today with avoiding T&D upgrade
18 deferrals, or provide ancillary services, but the other
19 way I think you should think about storage in the big
20 picture is that is a buffer against future price shocks.
21 If you look back in 2008, where natural gas went up to
22 \$12.00 or \$14.00 a million Btu, even today, over in Asia
23 now, it's up to about \$11.00 a million Btu because it's
24 pegged to the price of oil. Down the road, if we start
25 getting back into a booming economy, a global basis, you

1 might see these prices go up again, and with renewables
2 having to be backed by things like natural gas,
3 consumers will be subjected to large price spikes, so
4 with storage and renewables, it might be higher cost at
5 the beginning, but you have insurance against price
6 spikes down the road, and so somehow if that could be
7 figured in the value equation, I think that would be an
8 important aspect. Thank you.

9 CHAIRMAN WEISENMILLER: Thanks for your
10 comments.

11 MR. BINING: Yeah, we have a few questions on
12 the WebEx here.

13 MS. KOROSEC: Mr. Shims, we're opening your line
14 now. Go ahead and ask your question. R.J. Shims, you
15 had a question about New York ISO. Are you on the line?

16 MR. SHIMS: Hello?

17 MS. KOROSEC: Yes.

18 MR. SHIMS: Hi, sorry about that. Yeah, my
19 question just generally was, I know that, in New York
20 ISO, they had introduced a year or year and a half ago a
21 actual storage tariff and they had some at least
22 demonstration projects, but utility scale projects that
23 were going in, one of them may even be operational now,
24 and I was just curious if anybody had any information or
25 insights that could be shared from New York ISO, which

1 it sounds like they're a couple years ahead of where
2 California is, in terms of doing something concrete with
3 respect to promoting storage and its integration into
4 the Grid.

5 MR. GRAVELY: Mike Gravelly. I think we have our
6 ISO representatives that are no longer here, so my
7 personal experience in checking into these is we have
8 companies from the East Coast coming out, looking for
9 similar tariffs from on the West Coast, and I just - our
10 structure is not the same as the East Coast, and our
11 tariff structure is slightly different, and how they
12 implement the FERC rules are different, and so I think
13 we heard from our last representative that they are
14 moving forward with storage tariffs and those types of
15 things, but they haven't had as much of an aggressive
16 direct interface as some of the East Coast ISO's have,
17 so I don't know specifically what's happening out there,
18 but I can tell you that our ISO is implementing the same
19 rules, but not at the same pace.

20 CHAIRMAN WEISENMILLER: Yeah, but again, there
21 is a demo down at the AES facility in Southern
22 California that has an ISO storage tariff, so there is
23 at least a demo in California.

24 MR. GRAVELY: That's correct, I'm sorry, there's
25 one in Long Beach, there's a two megawatt system with

1 AES, that's correct.

2 MS. KOROSEC: All right, next we have a question
3 from Richard McCann. Richard, your line should be open.
4 Richard, are you there? All right, the next one was
5 from Jim Hicks, can you open Jim's line? Oh, he is no
6 longer online. All right, we have the written question,
7 so what we can do is give those to our staff and then
8 they can respond either via email or via a posting on
9 our website. All right, we're going to open all the
10 phone lines. If there is anybody who was not hooked
11 into the WebEx who would like to ask a question on the
12 phone. All right, no questions on the phone.

13 MR. GRAVELY: Any further questions from the
14 audience here? Does anybody have any questions that
15 didn't get a chance to come forward? Sure.

16 MR. WINTER: Hello. Thank you for the day. My
17 name is Rick Winter. I'm Founder and CTO of Primus
18 Power. We were mentioned a little earlier in one of the
19 very large and colorful slides, I really appreciate
20 that. I wanted to echo a few comments from before and
21 perhaps give a little color to the volume vs.
22 breakthrough question. It's a very important question
23 that needs to be, I think, there is no doubt at all in
24 my mind that it's volume, it's not breakthrough.
25 There's a tremendous pent up availability of

1 breakthroughs of intelligence and brilliance that we
2 have in this state, and we're not utilizing it. I've
3 been involved with four different start-ups in terms of
4 building up storage technologies. I've been working in
5 Grid storage for 22 years, starting on the small Coconut
6 Island in the Torres Straight between Australia and New
7 Guinea and the difference between running the company I
8 have now and the three other companies is pretty
9 dramatic, it started with a 75,000 CEC PIER EISG Grant
10 and that built with funding from venture capital and
11 from the Commission, enabling an ARRA Grant, and the
12 difference in being able to get stuff done and knowing
13 where you're going, and having some sort of road map,
14 and being able to go to a vendor and say, "We're about
15 to build a 25 megawatt battery, are you interested," the
16 difference in being able to reduce the risks when you're
17 looking to market opportunity is just night and day
18 dramatically different. And that's what we don't have
19 today, we just went through a round of funding, we just
20 raised another \$11 million. We went through a lot of
21 venture firms and, thank God it's fun to do this because
22 I've got to say, it's a little nauseating sometimes, but
23 one of the biggest risks - I'll just tell you about
24 three risks - there's technical risk, financial risk,
25 and market risk, over and over and over again, it was

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 the market risk that was the biggest problem with being
2 able to see whether it is worth doing energy storage.
3 And I think this is the area that the Commission can
4 address and I think this is an area that is incredibly
5 important to being able to solve a lot of the technical
6 issues we've been talking about today. Thank you.

7 CHAIRMAN WEISENMILLER: Thank you for coming.
8 Thanks for your comments.

9 COMMISSIONER PETERMAN: I'm also glad to hear
10 that you were able to leverage PIER funding with venture
11 capital funding, as well.

12 MR. GRAVELY: Last call for questions. Sir,
13 last comments?

14 CHAIRMAN WEISENMILLER: I, again, thank everyone
15 for their contributions today. I think we've had a
16 productive workshop, certainly we have more coming up, a
17 preview of coming attractions as we look at distributed
18 gen on May 9th. I certainly would appreciate people's
19 interest and comments on that.

20 COMMISSIONER PETERMAN: Yes, I'll just echo the
21 Chairman's sentiments, great to see everyone here. This
22 was a very fruitful discussion, I learned a lot, and am
23 looking forward to engaging with all of you going
24 forward on how we deal with this issue. Thanks.

25 MR. GRAVELY: Thank you. Commissioners, so I

1 will close, I also want to thank Avtar for doing most of
2 the work of setting up the conference, getting all the
3 people here, the IEPR staff for arranging everything for
4 us, so it's been - fortunately, we've had two good
5 workshops, please provide us any written comments that
6 you have, we can use your written comments as we work
7 together and develop recommendations. As we develop
8 recommendations, we will share those with the public,
9 they will be part of the IEPR in the fall, and you will
10 have a chance to review and comment on those. If you
11 have questions, you can contact us any time, but we will
12 take all the information we've gotten from the last two
13 workshops, and the other workshops, and do our best to
14 come out with recommendations for the future, and we
15 would encourage your feedback from when we are able to
16 put the recommendations together, and if you have
17 specific recommendations, by all means, please send them
18 to the docket by May 11th. May 11th is the deadline for
19 comments - okay, May 16th, anyway, so please if you have
20 information that you'd like to augment, that we didn't
21 cover today, we'll also take that. And if there are
22 technologies out there that we didn't get to cover, feel
23 free to share those with us, we will be doing a
24 technology assessment as part of the IEPR, so we would
25 encourage your information if it wasn't presented either

1 in November or today. Thank you all very much for
2 coming and we appreciate all the time and your interest.
3 Thank you.

4 [Adjourned at 4:31 P.M.]

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

