

BEFORE THE  
CALIFORNIA ENERGY COMMISSION

In the Matter of, )  
 ) Docket Docket No. 11-IEP-  
IEPR Committee Workshop on ) 1G, 11-IEP-1H  
Distribution Infrastructure )

**Committee Workshop on Distribution Infrastructure  
Challenges and Smart Grid Solutions to Advance 12,000  
Megawatts of Distributed Generation**

CALIFORNIA ENERGY COMMISSION

HEARING ROOM A

1516 NINTH STREET

SACRAMENTO, CALIFORNIA

WEDNESDAY, JUNE 22, 2011

9:35 A.M.

Transcribed from a WebEx recording

Commissioners Present

Robert Weisenmiller PhD, Chair and Presiding Member,  
IEPR Committee  
Karen Douglas, Associate Member, IEPR Committee  
Carla J. Peterman, Presiding Member of Renewables  
Committee

Staff Present:

Paul Feist, Advisor to Karen Douglas  
Jim Bartridge, Advisor to Carla Peterman  
Kevin Barker, Advisor to Robert Weisenmiller  
Suzanne Korosec, IEPR Lead  
Linda Kelly, California Energy Commission  
Michael Gravely, California Energy Commission  
Rachel MacDonald, California Energy Commission

**Also Present (\*on phone)**

Panelists

Christopher Villarreal, California Public Utilities  
Commission

Panel 1:

Jon Eric Thalman, Pacific Gas and Electric Company  
Robert Sherick and Gary Holdsworth, Southern California  
Edison Company  
Tom Bialek, San Diego Gas and Electric Company  
Neil Millar, California Independent System Operator

Panel 2:

Frances Cleveland, Xanthus Consulting  
Bob Yinger, Southern California Edison Company  
Tom Bialek, San Diego Gas and Electric  
\*Ben Kroposki, National Renewable Energy Lab  
Don Von Dollen, Electric Power Research Institute  
\*Brian Seal, Electric Power Research Institute  
Jeff Berkheimer, Sacramento Municipal Utility District

Panel 3:

John Dennis, Los Angeles Department of Water and Power  
Craig Kuennen, Glendale Water and Power  
Jeff Berkheimer, Sacramento Municipal Utility District

Craig Lewis, California Clean Coalition  
Timothy O'Connor, Environmental Defense Fund  
Eugene Shlatz, Navigant Consulting  
Alexandra (Sasha) von Meier, California Institute for  
Energy and Environment  
Kurt Yeager, Galvin Electricity Initiative

Also present:

Gerald Bateson  
Merwin Brown, CIEE  
Dave Brown, Sacramento Municipal Utility District  
\*Barbara George  
Frank Goodman, San Diego Gas & Electric  
Jaclyn Marks, California Public Utilities Commission  
Andrew McAlister, California Center for Sustainable  
Energy  
Alan [Last name not announced], East Bay Power

I N D E X

	Page
<b>Introduction</b>	
Suzanne Korosec, IEPR Lead	6
<b>Opening Comments</b>	
Chair Robert Weisenmiller, Presiding Member Commissioner Karen Douglas, Associate Member	10
<b>Comments from the California Public Utilities Commission</b>	11
Christopher Villarreal, California Public Utilities Commission	
 PANEL 1:	
<b>Planning for interconnecting and integrating 12,000 MWs of DG into the Distribution System</b>	18
Moderator: Linda Kelly, Clean Energy Commission	
Jon Eric Thalman, Pacific Gas and Electric Company Robert Sherick, Southern California Edison Company Gary Holdsworth, Southern California Edison Company Tom Bialek, San Diego Gas and Electric Company Neil Millar, California Independent System Operator	
<b>Public Comments</b>	79
<b>Presentation: Transforming the Grid - Power to the Customer</b>	85
Kurt Yeager, Galvin Electricity Initiative	
 PANEL 2	
<b>Inverter functions to support the safe management of increasing amounts of local distributed generation and storage on distribution systems throughout the state.</b>	105
Moderator: <b>Frances Cleveland</b> , Xanthus Consulting	

I N D E X

Page

Panelists:

Bob Yinger, Southern California Edison Company  
Don Von Dollen), Electric Power Research Institute  
\*Brian Seal, Electric Power Research Institute  
Ben Kroposki, National Renewable Energy Lab  
Tom Bialek, San Diego Gas and Electric  
Jeff Berkheimer, Sacramento Municipal Utility District

**PANEL 3:**

**Publicly Owned Utilities Perspectives and Strategies to support the state's new increased renewable distributed generation goals and smart grid technology options** 163

Moderator: Rachel MacDonald, California Energy Commission

John Dennis, Los Angeles Department of Water and Power  
Craig Kuennen, Glendale Water and Power  
Jeff Berkheimer, Sacramento Municipal Utility District

**Discussion: Assessing Smart Grid Investments to Benefit Customers and the Environment** 183

Timothy O'Connor, Environmental Defense Fund

**How Research Development and Demonstration can Help Advance Distributed Generation** 195

Mike Gravely, California Energy Commission  
Alexandra von Meier, California Institute for Energy and Environment

**Discussion: Strategies for Grid Connection- Making Distribution Grid Interconnection Costs and Timeframes Reasonable and Predictable.** 217

Craig Lewis, California Clean Coalition

**Discussion: Distribution System Upgrades to Accommodate 12,000 MW's of Distributed Generation - possible solutions and trade-offs** 235

Eugene Shlatz, Navigant Consulting

Adjournment 254

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

P R O C E E D I N G S

JUNE 22, 2011 9:35 a.m.

CHAIRMAN WEISENMILLER: Good morning. Let's start the meeting.

MS. KOROSSEC: All right. Good morning, everyone. I'm Suzanne Korosec, and I manage the Energy Commission's Integrated Energy Policy Report Unit. Welcome to today's workshop on Distribution on Infrastructure Challenges and Smart Grid Solutions to Advance the State's Distributed Energy Goals. This workshop's being conducted by the Energy Commission's Integrated Policy Report Committee.

Just a couple of quick housekeeping items before we get started. Restrooms are out in the atrium, through the double doors and to your left. We have a snack room on the second floor, at the top of the stairs, under the white awning. And if there's an emergency and we need to evacuate the building, please follow the staff outside to Roosevelt Park which is diagonal to the building, and wait there until we're told it's safe to return.

Today's workshop is being broadcast through our WebEx conferencing system, and parties need to be aware that it is being recorded. We'll make an audio recording available on our website a few days after the

1 workshop, and a written transcript. However, we had a  
2 technical glitch this morning. Our Court Reporter  
3 called in sick so we're going to have to be relying on  
4 the WebEx recording for our written transcript. We  
5 would like you to be aware that each time you speak to  
6 please identify who's speaking since we don't have a  
7 person physically here to denote who's speaking at each  
8 point of the day. We will also be asking you during the  
9 public comment period to fill out the two comment cards  
10 that are available on the table out in the foyer with  
11 your name and affiliation so that we can make sure that  
12 those are reflected correctly in the transcript.

13           Also during the public comment period, please  
14 come up to the microphone at the center of the room so  
15 that we can make sure that the WebEx participants can  
16 hear you. And it's also helpful if you can give one of  
17 us your business card if you do come up to speak.

18           For WebEx participants, you can use either the  
19 chat or raised hand function to let our WebEx  
20 coordinator know that you have a question or comment and  
21 want to relay your question or open your line at the  
22 appropriate time. Those that are participating only by  
23 phone, we'll open the phone lines at the very end of the  
24 public comment period. We're accepting written comments  
25 on today's topic until July 6. And the notice for

1 today's workshop, which is available on the table in the  
2 foyer, has the information on how to submit the  
3 information to the IEPR docket.

4           So briefly on how this fits into the  
5 Integrated Energy Policy Report, the Energy Commission  
6 is required to prepare an IEPR every two years that  
7 includes assessments of things like energy supplies,  
8 demands, price, transmission, distribution and provides  
9 recommendation for energy policy forward. This year a  
10 critical element of the IEPR is the Governor Brown's  
11 Clean Energy Jobs Plan. Among other things, that plan  
12 calls for building 12,000 megawatts of localized  
13 electricity generation and 8,000 megawatts of large  
14 scale energy renewables and necessary transmission lines  
15 by 2020 and also developing energy storage to reduce the  
16 need for peaker plants and out-of-state coal imports and  
17 to help firm up renewables.

18           As directed by the Governor's Plan the Energy  
19 Commission is preparing a renewable energy strategic  
20 plan as part of the IEPR. This will identify challenges  
21 to meeting our renewable energy goals and to provide  
22 suggested strategies to address those challenges. We  
23 anticipate releasing the first draft of that report at  
24 the end of August and holding an IEPR Committee Workshop  
25 on September 14 to get public comments. Obviously,



1 distribution level integration is going to be one of the  
2 major challenges that will be covered in the renewable  
3 strategic plan. Our electric distribution system is the  
4 largest element of the overall electric system but it  
5 wasn't designed to accommodate the amount of renewables  
6 that are envisioned in the state's policy goals. We'll  
7 need to be modernizing our aging distribution system  
8 using new distribution automation and smart grid  
9 technologies to improve power quality and reliability,  
10 develop uniform standards and cyber security measures  
11 and coordinate distribution and transmission system  
12 planning. Our agenda today begins with comments by the  
13 CPUC, followed by two panels this morning. The first  
14 covering the Investor and Utility Plan for  
15 interconnecting and integrating 12,000 MWs of DG and the  
16 second covering inverter function to support the  
17 management of increased DG in storage in the state's  
18 distribution system. We'll next have a presentation  
19 from the Galvin Electricity Initiative on DG  
20 Infrastructure and Solutions and then we'll break for  
21 lunch hopefully around 12:15.

22 In the afternoon, we'll reconvene with a panel  
23 on publicly owned utility perspective and strategies.  
24 Next, we'll have a presentation from the Environmental  
25 Defense Fund on assessing smart grid investments to

1 benefit customers and the environment followed by a  
2 discussion of how R&D can help advance DG. We'll then  
3 hear from the California Clean Coalition about  
4 strategies for grid connections and from Navigant  
5 Consulting on possible solutions and tradeoffs involved  
6 with distribution system upgrades. We'll finish up the  
7 day with an opportunity for public comment. We have a  
8 very full agenda so I won't talk very much longer and  
9 I'll turn it over to the Chair for opening remarks.

10 CHAIRMAN WEISENMILLER: I'd like to thank  
11 everyone for their participation today. Obviously, I  
12 think, we're bringing together two interesting and  
13 important topics and, as Suzanne said, we have a pretty  
14 packed agenda so I'd just assumed we start.

15 MS. KOROSSEC: All right. I'll turn it over to  
16 Linda Kelly, our distribution guru, and she'll take us  
17 through the workshop.

18 MS. KELLY: As Suzanne said we have a full  
19 agenda so I'll just go right into the agenda. Our first  
20 presenter will be Christopher Villarreal from the CPUC  
21 and he's going to give us an update on the smart grid  
22 proceeding at the CPUC. Chris is a Regulatory Analyst  
23 in the Policy and Planning Division of the California  
24 Public Utilities Commission. He is a staff team lead on  
25 the CPUC's smart grid proceeding. Chris has been

1 instrumental in helping the CPUC develop policies  
2 related to smart grid deployment plans, privacy, third-  
3 party access and cyber security. In addition, Chris has  
4 been involved as part of our Commission Staff on a  
5 number of other issues including demand response and  
6 dynamic planning. Chris?

7 MR. VILLARREAL: Good morning. I'm Chris  
8 Villarreal with the California PUC. I want to thank  
9 Chairman Weisenmiller and the CPUC for inviting me to  
10 participate this morning. As Linda said, I'm just going  
11 to be giving a relatively short overview of where the  
12 CPUC is at on their ongoing OIR. The first couple of  
13 slides are mainly for—I don't need to go over them.  
14 I've presented on them to you before, last December, so  
15 they're largely here for historical purposes. I'll just  
16 skip right on over to the deployment plan.

17 As you may remember, the legislature in 2010  
18 passed SB 17 which directed the PUC to develop a  
19 requirement for a smart grid deployment plan. In June  
20 of last year we issued a decision. The decision said  
21 that the deployment plans must address eight topics:  
22 smart grid vision, a baseline strategy, grid security  
23 and cyber security strategy, smart grid roadmap, cost  
24 estimates, benefits estimates and metrics. The  
25 deployment plans are due to be filed by July 1 of this

1 year.

2 San Diego came in well ahead of the deadline.  
3 They filed theirs with the PUC on June 6. The  
4 deployment plan was organized by the eight topic areas  
5 but identified within the eight topic areas, nine  
6 program areas. And I'm going to spend a little bit of  
7 time talking about San Diego.

8 So the nine areas that they identified for  
9 their deployment plan is customer empowerment, that  
10 includes providing customers with additional  
11 information, how to help customers make more use of the  
12 information that we made available to them from the near  
13 home area network and other tools. The second one is  
14 renewable growth which includes integrating renewables  
15 to make an impact of the renewables on the grid partly,  
16 I imagine, that some of this will be discussed today.  
17 Electric vehicle growth is very similar to renewables,  
18 how to mitigate the impacts of electric vehicles on the  
19 distribution grid. Reliability and safety, some of the  
20 programs that they've identified are advanced measuring  
21 and identification technologies including VAR dynamic  
22 ratings and voltage ratings. Again, this is to help as  
23 more technology information is available down on the  
24 distribution grid, this information will help San Diego  
25 plan better for the future. Security, operational

1 deficiency, There are such things as arc detection for  
2 fire prevention, smart grid RD&D. One of the examples  
3 of that is funding for microgrid projects. Integrating  
4 cost cutting systems deals with communications  
5 infrastructure and other technologies that cut across,  
6 not just simply energy but on the communications side.  
7 And workforce development. As I think many of us are  
8 aware, the workforce is beginning to age a little bit  
9 and the utilities as well as the PUC have to deal with  
10 increasing amounts of retirements coming up, so how do  
11 we bring the workforce up to speed and how do we  
12 encourage more workforce to take over the openings.

13           This is a list of cost and benefits. I threw  
14 this up here because it's nice to see the numbers. What  
15 I'll point out is that those are five and ten year  
16 estimates and provisional numbers. The estimated cost  
17 of \$3.5-3.6 billion to do all the programs that they've  
18 identified with estimated benefits of \$3.8-7.1 billion.  
19 So those numbers are, obviously, dependent upon the  
20 technology, how the market develops, whether or not  
21 things can be—if cost can come down in the future. This  
22 is just a snapshot of where we are today, June 22, 2011,  
23 and what might be possible ten years from now. So I  
24 think we want the cost and benefits but we also want to  
25 appreciate that these numbers are very fluid because

1 it's unclear what technology will bring in the coming  
2 years.

3           So, what are we going to do next? As I said,  
4 the deployment plan for Edison and PG&E are due by July  
5 1. I suspect that we'll get them right around July 1.  
6 What we plan to do is, in coordination with the CPUC and  
7 the ISO, we'll hold a series of workshops to review the  
8 deployment plan, for the reasonableness - whatever  
9 reasonableness that they mean, and then to ensure some  
10 consistency across the deployment plans. I suspect the  
11 workshop will be held throughout the year and into the  
12 beginning part of next year. And just a reminder that  
13 an approval of the deployment plan does not mean cost  
14 recovery. Cost recovery and approval to a specific  
15 program will still need to be done through the general  
16 rate case or through a separate application. San Diego  
17 and Edison are both in the middle, beginning to middle,  
18 of their GRC phase right now. San Diego recently issued  
19 a notice to the GRC Service list that they're going to  
20 have a public meeting to discuss how the deployment plan  
21 integrates with their existing GRC.

22           So I can't do a status update without talking  
23 about private and third party access proposed decisions.  
24 That's not necessarily on the topic of this discussion  
25 for this workshop but I think it's part of the status

1 update. So the PUC issued our privacy and third party  
2 access for proposed decision on May 6. Initial comments  
3 were filed on June 2. We got 25 commentors and reply  
4 comments were filed on June 8. The major item from the  
5 proposed decision are that it implements SB 1476 on  
6 privacy and security requirements and utilities, it  
7 aligns California with the Fair Information Practice  
8 Principles which are the basis for a number of federal  
9 privacy statutes and rules. It directs the utilities to  
10 provide additional information and tools to customers to  
11 better manage usage. It proposes that pilots provide  
12 prices in near real-time. That does not mean real-time  
13 pricing programs. It just means providing the price of  
14 electricity to customers in as near real-time as  
15 possible. It proposes a pilot to provide customers to  
16 connect devices to the meter through the home area  
17 network. It requires the utility to notify the PUC upon  
18 a security breach affecting 1,000 or more of their  
19 customers. And it would initiate a new phase of the  
20 rulemaking to determine applicability of the privacy  
21 rules upon gas companies, electric service providers and  
22 community choice aggregators.

23 I suspect, and I hope, that this decision will  
24 likely not be voted out of our Commission meeting next  
25 week. I'm hoping that it will be voted out at our first

1 meeting in July, on July 14. So that is basically the  
2 status of where we are. I'd be happy to answer any  
3 questions that you may have.

4 CHAIRMAN WEISENMILLER: Thank you very much  
5 for being here and for your presentation. And we  
6 appreciate CPUC's participation in this proceeding. I  
7 guess a couple of questions that I have are that as  
8 SDG&E deployment plan numbers. My impression is that  
9 they included the smart meters that have been rolled  
10 out, is that correct?

11 MR. VILLARREAL: The benefits may have—I  
12 believe the benefits did but the costs, since they were  
13 already approved, would not be new additional costs they  
14 would be existing baseline costs.

15 CHAIRMAN WEISENMILLER: Okay. That's good  
16 clarification. And the other question that I had. One  
17 of the issues on the smart meter rollout has been,  
18 whether the good or bad news, has been consistency  
19 across the utilities. So in terms of the smart grid,  
20 again, I was wondering how you would try to deal with  
21 having three individual applications and encouraging  
22 experimentation but at the same time trying to have  
23 enough consistency so that, let's say, the Cal ISO is  
24 more of a single type of interface.

25 MR. VILLARREAL: Well, procedurally, the first



1 thing we'll do is we consolidate the three applications  
2 so that we'll have one judge, one set of staff and one  
3 assigned commission that is flipping the various  
4 applications across the Commission. By consolidating  
5 them we'll be able to have a series of coordinator  
6 workshops where CPUC staff and ISO staff will be able to  
7 participate directly with development of the deployment  
8 plan. How we then approve the deployment plans and what  
9 that actually end up meaning, I believe, is still to be  
10 determined. Again the deployment plans are not  
11 approving costs and programs. So the end result will  
12 still be this is the plan, this is an approved plan, but  
13 you still have to get money funded through the GRC.  
14 That's just what our thinking is right now. As we get  
15 our other two deployment plans in and as we start  
16 working through the workshop that strategy may change.  
17 We may find a better way to do this but for now that's  
18 the idea that we have.

19 CHAIRMAN WEISENMILLER: That's good. The last  
20 question that I have is obviously one of the things that  
21 we're dealing with on the distribution system is a lot  
22 of it is circa 1950s vintage and so to some extent the  
23 smart grid is both the replacement and the  
24 modernization. Do you have a sense of if the San Diego  
25 part what the split is between the replacement and

1 modernization?

2 MR. VILLARREAL: I do not at this time. Tom  
3 Bialek is here and when it's time for his panel, I'm  
4 sure you could ask him that asks and he'd have a much  
5 better answer than I could. What I will say is that the  
6 deployment plan, which I happen to have right here, is  
7 right around 300 pages and in that 300 pages there is a  
8 lot of specificity but I think it could still be more  
9 specific and that is something that we'll continue to  
10 address over the upcoming months is to get the more  
11 specifics out of this thing through data requests or  
12 through workshops with the utilities to really be able  
13 to answer that question, that exact question, you asked.

14 CHAIRMAN WEISENMILLER: Thank you very much.

15 MS. KELLY: The next item on our agenda is a  
16 panel. And this panel is looking at Planning for  
17 interconnecting and integrating 12,000 MWs of DG into  
18 the Distribution System. And we've invited the three  
19 investor-owned utilities to participate in this panel as  
20 well as the ISO. This afternoon we're going to talk  
21 with the POUs and ask them a lot of similar questions.

22 But what all distribution systems have in  
23 common in California is that they were carefully  
24 developed and engineered to deliver one way power from  
25 central station down to the transmission system

1 substation customer. Today these same utilities are  
2 being asked to engineer and update this system with the  
3 new California goals. This panel has been asked to  
4 individually discuss how, in the next 1-5 years, they're  
5 going to plan to deal with aging infrastructure,  
6 managing interconnecting hundreds of distributed  
7 generation projects on the customer side of the meter  
8 and evaluating determining what smart grid technologies  
9 they should integrate and when they should integrate  
10 them.

11           Traditionally, planning for transmission,  
12 distribution and generation has been done in isolation.  
13 But just as the one way power grid that we all use and  
14 enjoy today is outdated and becoming outdated, this  
15 paradigm of planning in isolation is also outdated.  
16 Part of the panel will be to discuss how the planning  
17 for the future and raise issues and discussions on how  
18 to better coordinate that planning as we go forward to  
19 achieve those goals of the state.

20           I think that what I'd like the panel to do is  
21 that I'll introduce you one at a time and you can just  
22 come up and make your presentation and then go back to  
23 the table and when we're concluded we'll ask questions  
24 of the panel. First, some additional questions I have  
25 and then open it for the public.

1           The first person on the panel that we're going  
2 to start with, we're going to start on the North. We're  
3 going to start with PG&E and this gentleman's name is  
4 Jon Eric Thalman and he is a Director of Regulatory  
5 Strategy and Support at PG&E. His department supports  
6 PG&E's Transmission Owner and General Rate Case  
7 Regulatory Filing and supports strategy and policy  
8 development for new electric transmission and  
9 distribution technologies. Mr. Thalman?

10           MR. THALMAN: Thank, Linda and good morning  
11 Commissioners. I'd just like to say that in preparing  
12 these remarks we've endeavored to address specifically  
13 the questions that were outlined in the agenda and were  
14 asked specifically of us and these were broken into  
15 three categories. These are planning for the future,  
16 what our future plans are, specifically looking at  
17 interconnecting DG resources to the distribution system  
18 and also how we're incorporating our smart grid goals  
19 and our environmental goals into that overall effort.

20           Starting from the top with the planning. Our  
21 focus with planning for the distribution system around  
22 reliability and flexibility and operational control. It  
23 takes many different players modernizing, looking at  
24 installing advanced automation and monitoring control  
25 technology, focusing our capital investments on

1 installing new tools that can improve the performance  
2 from a reliability perspective and from the maintenance  
3 perspective. Also using condition based maintenance  
4 practices to know when to best make the upgrades and to  
5 avoid outages from component failures and also improving  
6 human performance just as we execute the work.

7           As was mentioned, a lot of our infrastructure  
8 was installed back in the 50s and earlier in the two  
9 decades surrounding that. We have an ongoing program to  
10 address that. These details are outlined in our GRC but  
11 they follow a standard category of substation breakers,  
12 wood poles and cable replacements. We're moving forward  
13 with that as we expand the smart grid capabilities of  
14 the distribution system with automation and control  
15 schemes and also being able to draw more information  
16 back so that we know more of what's going on so that  
17 instead of a passive grid, a distribution grid, it's  
18 active and knowledgeable, controlled and up-to-date in  
19 monitoring the grid.

20           Some of the challenges as we look at high-  
21 levels of DG penetration, of course, and these are  
22 topics that I'm sure we'll talk at great length today as  
23 we move through the different panels and presenters is  
24 maintain service voltages within appropriate limits,  
25 dealing with voltage transits for a variety of different

1 reasons whether it be renewable intermittency or  
2 changing loads, integrating all of this into system  
3 operations. How do you now manage a distribution system  
4 that was once a one way feeder operation to a two way  
5 more of a network? A lot of work has been done around  
6 forecasting measures and we're looking at that also. If  
7 you're going to have intermittency is there a way to  
8 looking ahead of that. I know that the ISO is looking  
9 at that.

10 I mentioned earlier monitoring the control  
11 which is an important aspect as you need to have your  
12 infrastructure to be able to accomplish those  
13 capabilities. And then also these are kind of presented  
14 in order of priority from a PG&E perspective. There's  
15 also potential for inadvertent islanding. There are  
16 appropriate safeguards for that right now but as we go  
17 forward and the grid is evolving that is something that  
18 we need to address and look at when it would be  
19 appropriate.

20 So some of the specific things we're doing to  
21 look at pilots in some of these areas that will help up  
22 accommodate more DG are some pilots. We have a demand  
23 response pilot with the ISO to look at adjusting loads  
24 and participating in ISO markets to be able go firm  
25 resources for renewables. We have some, two actually,

1 battery storage projects. One of them is going to be  
2 operational this fall, a two megawatt system out of  
3 Vaca-Dixon, that will be looking at mitigating  
4 distribution system impact and also helping to integrate  
5 local PV resources in that area.

6           And then, finally, as part of our smart grid  
7 plan which will be filed later this month before the  
8 July 1 deadline by the CPUC, we're proposing to look at  
9 some testing of voltage control systems or volt VAR  
10 optimization tools. This will be in a laboratory and in  
11 a pilot environment to see how these might perform on a  
12 distribution feeder to help control voltage as well as  
13 higher penetration levels of DG.

14           So some of the existing tools and new tools  
15 we're looking for in distribution planning, or our  
16 toolbox, if you will. We're just rolling out a new load  
17 tool program this year that helps our distribution  
18 planners to model more accurately distributed generation  
19 resources and new loads and new types of loads. This  
20 program we're integrating our planning and operation  
21 functions this year and next year. We also use a more  
22 robust planning tool that's used more on the  
23 transmission side than the distribution side for  
24 modeling interconnections and distributed resources that  
25 are under the ISO control. This allows us to analyze

1 the impacts and look at what appropriate updates will be  
2 needed for reliability. And then finally in our  
3 generation interconnection services we're continuing to  
4 look at how to handle the increased level of  
5 interconnection requests and to be more effective and  
6 efficient in processing those and being more accurate  
7 through this database tool we're using to track all of  
8 these interconnection requests, thousands and thousands  
9 of interconnection requests, and ways in which to  
10 aggregate those so that we can better assess the system  
11 impacts and know what's going on and what's the plan on  
12 their end.

13           This is to shed some context on our  
14 interconnection process. The planning process that we  
15 look at to interconnect loads and distributed generators  
16 has some important aspects that we feel are vital to go  
17 forward with the changing face of volt meters. For both  
18 new loads and new customers and load growth we look at  
19 each one of these on an individual basis for their  
20 potential for increasing the—for the need to increase  
21 the capacity on the distribution system. So factors  
22 such as location, load, service voltage, service point -  
23 each one of these needs to be looked at individually  
24 while all at the same time keeping accuracy of the  
25 process and even being expeditious about it.



1           On the flip side, looking at new distributed  
2 generation resources. You also need to look at each  
3 resource based upon its circumstances. For both of  
4 these we followed similar principles all the while  
5 trying to increase and improve the efficiency and  
6 accuracy of the study but do it quickly and in a timely  
7 manner.

8           Inevitably, and I'm sure Neil will probably  
9 touch on this from an ISO perspective, as the amount of  
10 distributed generated resources increases it has a  
11 bigger impact on the ISO operation. So there's a need  
12 for, even at the distribution level, there's a need for  
13 coordinating with the ISO. So for large amounts of  
14 proposed distribution resource pockets and also  
15 transmission connected, there's certain areas where this  
16 begins to have a substantial impact on ISO control.  
17 Some examples of that are in Fresno and Bakersfield  
18 where we're seeing large amounts of distributed  
19 resources being proposed and coordination with the ISO  
20 is appropriate there. Also the ISO has a responsibility  
21 to perform the deliverability assessment as part of the  
22 resource adequacy program from the CPUC and to the  
23 extent that this has an impact, the ISO needs to be  
24 involved. And then also, again, the ISO needs to be  
25 involved due to the scheduling—involvement in the

1 scheduling items over one megawatt so we need to be  
2 coordinated with them.

3           So further points on interconnecting  
4 distributed resources to the distribution system. We  
5 feel that it is unnecessary to coordinate distribution  
6 studies on a statewide basis. We feel that that would  
7 be an unnecessary step. For example, for PG&E service  
8 territory it's generally not important to coordinate  
9 what's going on in Stockton with what's going on in  
10 Fresno. So you don't need to have an overarching  
11 statewide plan. You can look at these on a local basis.  
12 Some suggestions we'd like to provide on some process  
13 improvements on your connection study. I think a lot  
14 can be done to educate developers and utilities on the  
15 process. We find ourselves answering a lot of questions  
16 and asking a lot of questions and trying to gain clarity  
17 about what the developers' expectations are, what the  
18 rules are and helping them understand what the rules are  
19 from a utility perspective.

20           I think there could be some further work done  
21 on coordinating the procurement programs such as feed-in  
22 tariff; we have renewable auction mechanism and then the  
23 interconnection process. Some of those could be better  
24 coordinated.

25           Also, there's a need for, tying back to the

1 first point on educating for the risk of using a loaded  
2 word such as transparency, around some of the market  
3 rules. For example power purchasing agreements,  
4 interconnection rules and timelines, planning an  
5 interconnection group having to answer a lot of  
6 questions about purchase agreements. Well, that's not  
7 their role. In fact they shouldn't answer that  
8 question. That's the energy procurement side. A lot of  
9 education for developers to understand, "Yeah, you're  
10 understanding to PG&E but you shouldn't ask the  
11 interconnection folks about your power purchase  
12 agreement." That puts them in an awkward position.

13 We also believe that looking to pre-identify  
14 sites could be helpful. We realize that developers are  
15 kind of shooting in the dark sometimes and to do some  
16 kind of pre-screen to identify needed areas and helpful  
17 needed areas would be helpful. And then also when you  
18 look at the queues, the interconnection queues, there's  
19 projects that have been there for years and, not that it  
20 doesn't take time to develop projects and there's lots  
21 of hurdles and we want to mitigate those, but perhaps  
22 there needs to be a policy where we can help minimize  
23 the queue by sun setting some projects when they're no  
24 longer viable as there are some hurdles that people have  
25 to continue to - that developers have to meet in order

1 to stay in the queue.

2           So touching on the third section, some of our  
3 smart grid and environmental goals that we're working  
4 towards, there was a question on what air projects we're  
5 involved with. Here's two who were a sub recipient of a  
6 WDAT grant on the synchrophasor project, there's a  
7 matching portion of that as part of a much larger part  
8 effort on the Western United States. There's also  
9 compressed energy storage project. We're looking at a  
10 feasibility study and initial environmental reviews to  
11 look at a 300 megawatt compressed air energy storage  
12 project down in the Kern County area that's conveniently  
13 located with a lot of renewable wind resources and solar  
14 resources in that area. There's matching and PG&E funds  
15 for that also.

16           If that proves to be feasible and cost-  
17 effective then PG&E would go to the next step and issue  
18 a competitive solicitation and go to the next phase on  
19 that.

20           Some of the other things we're working on, and  
21 these are technologies in our general rate case that we  
22 filed in 2011 or we're finishing in 2011, excuse me, our  
23 smart grid activity has been worked into our historical  
24 level of spending so what that implies is the  
25 maintenance work and replacement work that we're doing.

1 We're just going in and replacing it with updated  
2 equipment for the smart grid. In addition to that we  
3 included \$66 million in our—from 2011-2013 on the  
4 capital extension forecast for some foundational smart  
5 grid deployment component.

6           And a lot of these are focused on information  
7 and IQ type of connecting, bringing the data so that you  
8 have the visibility of what's out there in the  
9 distribution system. A lot of these are focused on this  
10 type of component. The actual—a lot of the actual  
11 switching and kind of devices that was used to gather  
12 the information seems kind of the next wave.

13           Finally, some of this compliments that I  
14 mentioned as some of the next wave. These technologies  
15 and software—some of the three of these that we're  
16 looking at, and I mentioned these earlier, the volt VAR  
17 optimization technology, we're looking at that pilot.  
18 Once we gain some more security on that then we'll look  
19 to move forward in those areas, if it looks viable. We  
20 think that that is an area that has promise when you're  
21 looking at the issue of controlling voltage on the  
22 feeder when you have a large penetration of resources  
23 out there. We're also looking at leveraging the  
24 capabilities in the smart meters in our area to see how  
25 those might be helped—might be a help to the

1 distribution resources in the areas where there are  
2 smart meters. And then also, looking to team with  
3 inverter manufacturers. We have some studies going with  
4 them to examine ways that the new inverters might be  
5 able to convert—communicate with the new control system  
6 in the distribution system. Just to list that as an  
7 example, if you have a voltage problem out on a feeder  
8 you might look to employ some type of device like a volt  
9 VAR controller or a capacitor or an energy storage  
10 device or whatever would be the most appropriate, but  
11 you'd have inverters that would control—four quadrant  
12 control inverters that might be able to control the  
13 megawatt and mega VAR flows and control the voltage.  
14 We'd like to look at what would be the viability of  
15 involving those in that control using them as part of  
16 the grid.

17           So just in summary on this, we've taken  
18 somewhat of a conservative approach in calculating the  
19 economic benefits of these. This is more of a pilot  
20 methodology. We're looking at it and looking at the  
21 economics. We have endeavored to quantify some of the  
22 CO2 reductions for some of these but we haven't really  
23 penciled those in as a financial benefit in our filings.  
24 I think that's the end of my presentation. Thank you.

25           CHAIRMAN WEISENMILLER: Thank you, very much.

1 Very interesting presentation. A couple of questions.  
2 As the first speaker, you'll probably get more than your  
3 fair share. The first one is probably a good  
4 opportunity for you to talk about how this plan reflects  
5 lessons learned that PG&E got from its smart meter  
6 rollout experience.

7 MR. THALMAN: There's many lessons learned  
8 from smart meter. I think one of them—I mean the  
9 biggest lesson from smart meter is communication with  
10 its customers, I believe. The technology issues and the  
11 rollout were appropriate and expeditious but it's  
12 communicating to your customers and if you bring more  
13 tools down to the customer level as more as the  
14 operation and control of the systems is brought down to  
15 the customer level then we believe it's more important  
16 for them to understand what's going on with us. For  
17 example, our customers are installing renewables on  
18 their—say they're going to put PV on their rooftop or  
19 there's something going on in their community level,  
20 it's important to communicate with customers so those  
21 messages don't get sideways so they see this as an  
22 advantage and an improvement in their energy usage and  
23 delivery.

24 COMMISSIONER PETERMAN: A follow up question  
25 to that Jon. The technology infrastructure upgrades

1 that you mentioned focus in the areas of information  
2 exchange, data management and data storage that are part  
3 of the GRC. Once you do those, do those require new  
4 meters to be installed? To then be compatible?

5 MR. THALMAN: Ideally it would not. We're not  
6 looking to have to install meters. But that's somewhat  
7 constrained what you're looking at but if you're  
8 building from the ground up with a foundation of devices  
9 that will collect the state information versus the meter  
10 and an information system that will communicate that and  
11 aggregate it and then next you have the devices that  
12 will use that for moving that which we believe is a  
13 natural way to progress, you do narrow your options,  
14 obviously. But we believe that that's a natural way to  
15 progress - that you start with collecting the data and  
16 bringing it together and then the right equipment to  
17 utilize that.

18 COMMISSIONER PETERMAN: So this is the  
19 bringing it together upgrades that we should expect?  
20 These upgrades would bring it up a level?

21 MR. THALMAN: Yeah. Well, as I mentioned in  
22 the briefing three slides ago we're mostly working on  
23 right now is the information systems to bring this  
24 together. So a lot of our smart grid improvement and I  
25 think this will be a lot of what you'll see is what



1 we'll file with the CPUC in a couple of weeks, or 10  
2 days, is that IT will bring this together and then the  
3 devices - there'll be some devices that will be on pilot  
4 level and they'll roll out on a pilot level that will  
5 come as you go through and do maintenance on the system  
6 and replace those devices.

7 CHAIRMAN WEISENMILLER: I guess a similar  
8 question was to ask you to describe you how PG&E has  
9 taken the lessons learned from the San Bruno experience,  
10 like the expert panel, in terms of its thinking with the  
11 smart grid.

12 MR. THALMAN: There are a lot of things  
13 pointed out in that report. Are there any in particular  
14 that you'd like me to address?

15 CHAIRMAN WEISENMILLER: Well, I think  
16 certainly in terms of the questions on process or  
17 management of a focus but the safety focus. But I guess  
18 one of the questions is how can this help us be  
19 comfortable on safety issues. I'm sure this may be the  
20 first time but probably not the last time people have  
21 asked you how the lessons learned from that are  
22 affecting your smart grid operation in general.

23 MR. THALMAN: Safety continues to be an  
24 important priority at PG&E and that's no exception on  
25 the distribution system. Our policies on islanding

1 protection requirements reflect that. By building in  
2 this manner, by looking to bring the data together and  
3 do pilots with testing out these devices before just  
4 going out and installing them. I think that's a prudent  
5 way of progressing so that you can test and you can know  
6 before you put these things in your neighborhood. Not  
7 that there's any glaring problem with a volt VAR device  
8 but you don't want to cause an outage in an area where a  
9 volt VAR device isn't coordinating with something else  
10 or we haven't thought through all the ways that the volt  
11 VAR device would work with the control system or a group  
12 of inverters for solar panels in residential theater.

13 CHAIRMAN WEISENMILLER: At this point is there  
14 any consensus or evolving consensus on what are the best  
15 practices for dealing with interconnection at the  
16 distribution system?

17 MR. THALMAN: I think that that's an  
18 interesting—I don't know that there is a consensus. I  
19 think that at PG&E we feel that there is some guiding  
20 principles that need to be followed and that is that  
21 while we do want to not hold up progress and move in  
22 this direction, you don't want to get—to do  
23 interconnection studies where you've applied a broad  
24 brush in a general formula and you didn't look at the  
25 important details to an interconnection and then find

1 that you have a problem in that area and you've having  
2 to go back to the developers and the expense of working  
3 with developers and trying to resolve things is that the  
4 customer might suffer; especially if you get to the  
5 point where you get something installed and it's causing  
6 problems. So we think that--there's not really a  
7 consensus. I think that that's one of the important  
8 things that in this workshop and advisably other  
9 workshops need to address. The question is what is the  
10 best way to look at the interconnection process.

11 CHAIRMAN WEISENMILLER: And I know you're  
12 still working on smart grid filing but I'm trying to get  
13 a sense of the magnitude between the replacement cost  
14 and the smart grid cost in terms of--is it an extra 50  
15 percent or 100 percent?

16 MR. THALMAN: I don't have that right now. We  
17 can try to provide that.

18 CHAIRMAN WEISENMILLER: Okay. That'll be  
19 good. And I guess the last question for you. PG&E, I'm  
20 gonna say, is probably at 204 in its general rate case.  
21 After one of the recent storm induced outages and the  
22 Commission ordered a filing to look at reliability of  
23 service and throughout the various parts of your service  
24 area territory. And as we look at sort of DG rollout, I  
25 was trying to figure out how far people have thought

1 about either reliability of benefits to resource  
2 adequacy benefits to be targets of certain areas.  
3 Again, I know we remember the statistics generally well,  
4 but obviously as you're going up into the Santa Cruz  
5 Mountains I think in every storm you lose lots of power  
6 in those areas. And certainly up in the north coast  
7 area too, I mean there are areas where the winter storms  
8 come in and the distribution—which will result in  
9 transmission distribution losses and outages and trying  
10 to figure out how DG might be part of helping solve some  
11 of those issues.

12 MR. THALMAN: Well, currently, the safe and  
13 prudent way to progress with DG is when you're dealing  
14 with, and I think what we're getting at is the ability  
15 to island an area, that's a far more complex problem  
16 than the level of DG we're putting into an area plus  
17 there's significant safety concerns. You can imagine  
18 the Santa Cruz Mountains you're sending employees up to  
19 work on lines but yet they need to know who has  
20 sufficient DG in the area and what little island might  
21 still be working. I think that safety being paramount  
22 that that needs to be looked at clearly before we can go  
23 ahead and allow that scenario. Granted, there's some  
24 upside to being able to get people's power on if you can  
25 island an area but we feel that the safety concerns

1 outweighs that need. Granted, keeping the power on is  
2 also a safety concern but having crews out working and  
3 not knowing which lines are live and which ones are not  
4 I think would be important. But the other comment with  
5 smart grids is that the information that is gathered,  
6 the switches and other automated devices that would  
7 allow power to be established quicker, you don't have to  
8 roll trucks and crews and—we believe that that actually  
9 has a bigger upside to restoration after a storm or a  
10 large event in an area. You're not relying on people  
11 calling in, you've got the instant map from the smart  
12 meter data of who's on or who's not and you know exactly  
13 where the problems are. In addition to that, the  
14 operators looking at that, you also have automated  
15 schemes and those are some of those that we're piloting  
16 for the smart grid that would automatically detect and  
17 energize appropriate sections and then isolate other  
18 sections so that crews can go out and work on those.

19 COMMISSIONER PETERMAN: Jon, one last  
20 question. One slide 10, Interconnecting DG to the  
21 Distribution System, under suggestions for process  
22 improvements. Could you expand more on coordinating  
23 procurement programs in particular what aspect of  
24 coordination would be most important, is it timing or?

25 MR. THALMAN: I'd be guessing to be honest

1 with you.

2 COMMISSIONER PETERMAN: Pardon?

3 MR. THALMAN: I'd be guessing on the  
4 coordination issues there. I was asked to raise that as  
5 a bullet point. And we can elaborate on that further if  
6 you'd like.

7 COMMISSIONER PETERMAN: As an overarching  
8 point then?

9 MR. THALMAN: Yeah.

10 COMMISSIONER PETERMAN: I'll keep it in mind.

11 CHAIRMAN WEISENMILLER: Thank you.

12 MR. THALMAN: Thank you.

13 MS. KELLY: The next member of the panel is  
14 Robert Sherick from Southern California Edison and at  
15 the table he's also joined by Gary Holdsworth, I don't  
16 know where Gary's title is but I have seen him at all  
17 the interconnection processes that the ISO and for  
18 Southern California Edison so he's definitely an expert  
19 on interconnection so I encourage you to ask him any  
20 questions in that particular area but Mr. Sherick will  
21 talk—he's from the Advanced Technology and Distribution  
22 Transmission Business Unit and he's going to talk about  
23 planning for Southern California Edison and smart grid  
24 solutions for the future.

25 MR. SHERICK: Thank you. Good morning. Thank

1 you for allowing Southern California Edison to address  
2 these questions on distributed generation and to lend to  
3 its points I will be talking about planning for the  
4 future and our deployment plan and yes please direct the  
5 interconnection questions to Gary who is our expert on  
6 that and I'm sure that he would very much enjoy the  
7 discussion in-depth on that subject. So I'll be briefly  
8 addressing the questions from the first and third  
9 sections and Gary will be addressing the questions from  
10 the second section.

11           So there's a question on the overall vision on  
12 the distribution for Southern California Edison and this  
13 is our overall transmission distribution vision. We  
14 think it includes both the transmission areas and the  
15 distribution areas very well. We've talked a lot about  
16 safety and continue to talk about safety. Just a couple  
17 of days ago we had an instance with one of our personnel  
18 in one of our substations. It is an ongoing concern and  
19 PG&E talked about the islanding issue. We're very  
20 concerned about that and believe that as long as we have  
21 some sufficient rules and understanding we can make that  
22 an issue where it will be done safely. Comply with the  
23 rules. This is both compliance and sort of safety and  
24 reliability as well as the environmental policies in the  
25 state of California. Keep the lights on. We've talked

1 a lot about the aging infrastructure. Really if you  
2 look at Southern California and the growth of Southern  
3 California in the post-war years, a lot of our  
4 infrastructure was built in the 50s and 60s and a lot of  
5 that infrastructure needs to be replaced.

6 As we build a smart grid, we definitely need  
7 to have the infrastructure behind it that's going to be  
8 able to accommodate new control systems and new voltage  
9 VAR operating systems as well.

10 Satisfy our customers. A lot of this has to  
11 do with, obviously, interacting and engaging our  
12 customers. A lot of this has to do with being an  
13 effective and efficient utility for interconnections to  
14 come on to the system, being able to apply the devices  
15 to the system.

16 Spend wisely. That is pretty obviously a wise  
17 goal of ours going forward.

18 And build for the future. Really looking to  
19 enable the utility to be around for another 125 years so  
20 we are looking to safely and efficiently integrate  
21 centralized and distributed renewable generation into  
22 our system. When it comes to vision, when you've been  
23 in business for 125 years, we are now hitting our 125<sup>th</sup>  
24 anniversary; safe, reliable, clean and cost effective  
25 energy in Southern California is what we're trying to



1 do. That clean component is certainly new. It's  
2 probably only been there the last 30 years of our  
3 history. And then there was a question concerning how  
4 do we integrate all of this and, really, through the  
5 general rate case one of the nice things is that every  
6 three years, we have to get up in a public forum and  
7 explain what we're doing, explain what the costs are,  
8 explain why they're doing the expenditures that they're  
9 suggesting and we have a very good opportunity to  
10 integrate both our existing infrastructure with those  
11 activities that we're looking for in the future.

12           Concerning the ARRA investment opportunities,  
13 we have two very large programs that we're the lead on.  
14 One is the Irvine Smart Grid Demonstration Program, I'll  
15 talk a little bit more in detail about this program  
16 since it does have a good deal to do with distributed  
17 generation storage. This is divided up into several  
18 subprojects; the subprojects that I've got listed are  
19 more applicable to today's conversation.

20           Zero net energy home, a goal of the state's by  
21 2020 for all new residential homes. We are looking at  
22 how that might be done, what are some of the impacts of  
23 that, how that would be managed. We have some—two  
24 feeders in our distribution circuit and applying some  
25 technology to a set of homes that will include both

1 solar panels and storage in the homes and be able to  
2 take a look at how the customers may operate that DG  
3 storage and how we might operate that DG storage and be  
4 able to make some comparisons. This includes the  
5 communications that you go and give the customers and to  
6 see how you can incentivize them, to use them in an  
7 optimal way. Also, plug in electric vehicles, both at  
8 the home and work, so we're going to be setting up some  
9 electric vehicle charging stations in the home as well  
10 as at a parking lot in nearby parking Irvine Campus and  
11 be able to see how that would be able to work and  
12 interact with some distributed generation on the rooftop  
13 at that particular parking lot.

14           Community storage device. Looking at how that  
15 might work and how that might be optimized. We're also  
16 piloting our Distribution Management System. We're in  
17 the midst of going through requirements set in a  
18 distribution management system and we really do feel  
19 that there is some infrastructure that's absolutely  
20 required for being able to have a robust distribution  
21 system with different distributed generation, being able  
22 to plug into the distributed generation system, and  
23 being able to manage that so you can control it and  
24 monitor it down to our distribution management system.

25           We've got another project looking at demand

1 response and how we might be able to measure that in an  
2 instantaneous basis and confirm demand response to that  
3 they know we're sending out or actually producing the  
4 demand response that we expect.

5           And then the Advanced Grid Demonstration  
6 Program is looking at private security from an end-to-  
7 end perspective. We also have a very large (inaudible)  
8 storage program and an eight megawatt battery, a 32  
9 megawatt hour battery, that is being installed up in the  
10 Capuche area where we've got a lot of wind generation  
11 and there's about 13 different components of that  
12 project that we're looking to demonstrate and evaluate.

13           And then finally, we've got a super conducting  
14 transformer that we're installing as part of the Irvine  
15 Smart Grid Demonstration Program. We're not the lead;  
16 we're, essentially, the site host on that one.

17           So briefly this is the overview of the Smart  
18 Grid Demonstration Program and a couple of things we're  
19 doing here besides looking at distributed generation,  
20 we're also taking a look at doing our protection and how  
21 the distribution circuit works. Right now we've got a  
22 radial system and we're looking to combine two theater  
23 circuits into a looped circuit so that we can feed back  
24 into both circuits from the other. That requires a  
25 couple of different technologies that we're using such

1 as some interrupters and be able to isolate the outages  
2 that might occur on the system in a much more efficient  
3 way than what we are currently doing. So this is an  
4 overview of the super conducting transformer, the  
5 distributed storage, the individual homes and the  
6 different case studies we're doing on those individual  
7 homes and the protection that we're looking to redesign  
8 in this particular demonstration program.

9           This is about an \$80 million program, again,  
10 using ARRA funds in association with the Department of  
11 Energy.

12           There was a series of questions concerning  
13 what are you doing on the distribution system in the  
14 near term, the medium term and the long term. So let me  
15 address those briefly. Obviously, for the details the  
16 general rate case will give you a good sense of what  
17 we're doing in the next three years from 2012 - 2014.

18           The near term. We are going to be completing  
19 our smart grid deployment. That will be done toward the  
20 end of 2012. Continuing ongoing infrastructure  
21 replacement. This is work that we have been doing and  
22 continue to do, would like to get authorized to do more  
23 of this in working with the Public Utility Commission on  
24 that issue. We're continuing our circuit and capacitor  
25 automation. These are programs that we've put in place

1 probably the last 10-15 years. We do our voltage  
2 control on the distribution system using capacitors in  
3 the field as opposed to in the substation so it's closer  
4 to load to the advantage of that, a little bit of  
5 complexity on the automation side but it's worked fairly  
6 well for us in the last 15 years. Also, as I mentioned,  
7 piloting our distribution management program as part of  
8 the Irvine project. We're piloting, hoping to pilot, a  
9 self-healing circuit automation and this is really  
10 taking a look at the Irvine relay protection scheme into  
11 a variety of different locations in the California area  
12 to make sure that that not only works in Irvine but  
13 works in different types of environments throughout our  
14 distribution system.

15 We are also working on updating our wireless  
16 communication system. This is in anticipation of more  
17 and more need for information to be passed on that  
18 wireless communication system. We passed that system 15  
19 years ago associated with the capacitor automation,  
20 circuit automation.

21 And then I skipped the one, the smart  
22 distribution plans. We're really taking a look at doing  
23 some more predictive analysis of our distribution  
24 transformers to try to reduce those failures that may  
25 happen on those transformers and get those transformers

1 connected ahead of time.

2           On the medium term we're looking to implement  
3 the distribution management system. We are looking very  
4 much to leverage the ARRA program, particularly the  
5 things that we're showing in the Irvine Smart Grid  
6 Demonstration Program. We do believe that most of those  
7 concepts will be directly able to deploy so we're  
8 looking to take a look at those components of the Irvine  
9 project and implement them in our system after the  
10 evaluation process.

11           And then also there's about \$4 billion  
12 invested through the ARRA program. We expect to get a  
13 lot of learning from other utilities on what they've  
14 done and the Department of Energy is very sincere about  
15 making sure that information gets communicated  
16 throughout the country and make sure that we take  
17 advantage of that effort on their side. Evaluate the  
18 pilot programs that we discussed above for possible  
19 deployment.

20           And then on the long term our perspective is  
21 there is so much going on in the sort of one to five  
22 year timeframe. There's not too much reason to get too  
23 ahead of ourselves, we think that there's a lot of  
24 learning to be done. We think we've made a tremendous  
25 investment nationwide through the ARRA program and want

1 to make sure that we get our full learnings from that  
2 before we start planning out some things. Now we do  
3 have quite a few ideas on what might be in the five plus  
4 year timeframe but, quite frankly, there's really no  
5 reason to do really a detailed analysis of it. We do  
6 have 10 year forecasts. We do have that information in  
7 our deployment plan but, to Jon's point, it is subject  
8 to change and I think that's the key takeaway.

9           On the deployment plan itself, we will be  
10 filing that by the end of this month. We just want to  
11 briefly give a view of how we're looking at this. And  
12 this is a draft of the functions and the way we looked  
13 at it. It's pretty close to what we'll be filing next  
14 week.

15           What we did was we took a look at what is a  
16 smart grid, what is the definition of it, what are the  
17 different functions and of those functions what types of  
18 infrastructure is being driven by those functions. So  
19 we've listed over here on the left hand side the  
20 different smart grid functions - distributed energy  
21 resource integration, customer information, and plug in  
22 electric vehicle readiness and then we mapped those  
23 functions to infrastructure requirements.

24           The infrastructure that we defined is going to  
25 broadly be grouped into three phases. One is sort of

1 managing control systems so these are the centralized  
2 applications and hardware associated with doing  
3 something like a distribution management system or an  
4 energy management system on the transmission side. So  
5 these are computer systems that we believe we're going  
6 to need to support these functions.

7           Then there's this middle layer of  
8 communication networks. We know that there's going to  
9 be a tremendous amount of information flowing over our  
10 communication networks and these are all the different  
11 types of communications systems that we're taking a look  
12 to either build or upgrade.

13           And then, finally, the field devices. These  
14 are essentially the devices that are being plugged in to  
15 our management control systems through our communication  
16 networks.

17           And we've kind of gone through the deployment  
18 plan for each of these functions to identify each of the  
19 individual systems that need to get built or upgraded  
20 and that are essentially how we've looked at the smart  
21 grid. It's a highly integrated system so it's very  
22 difficult to talk about a single component without  
23 talking about the be it all plan; that's why we're very  
24 happy to have the opportunity to get that overall plan  
25 defined on a piece of paper and get it submitted and get



1 an opportunity to have those discussions with the Public  
2 Utility Commission and other stakeholders.

3           One of the sort of key drivers to the smart  
4 grid, and what we've looked it, is it really is a very  
5 complex system. A system that we've done a lot of work  
6 on how do you manage very complex in-depth system that  
7 have tremendous interdependencies at the same time not  
8 trying to get a complete command and control system that  
9 manages everything. We just simply don't believe that's  
10 going to happen. We think that there's some discrete  
11 processing that's going to happen on a distribute level  
12 that's going to tie in to some type of centralized  
13 system and really kind of go through the analysis of how  
14 that's going to work. We really are taking our first  
15 steps at that and know that we have a long way to go on  
16 that.

17           So that's the comments that I had on those  
18 first two sections. I don't know if you want to hold  
19 the questions and let Gary talk about interconnections  
20 or if you want to address questions right now.

21           CHAIRMAN WEISENMILLER: Why don't we let Gary  
22 talk—one question, go ahead.

23           COMMISSIONER PETERMAN: I have one question  
24 that's more appropriate for you, and maybe for other  
25 panelists going forward. When thinking about safety,

1 what role is there for the DG customer in helping to  
2 ensure safety? And what opportunities for behavioral  
3 changes, etc.?

4 MR. SHERICK: Well, I think that it's  
5 islanding effect. I mean there's certainly intentional  
6 islanding that makes a lot of sense under a certain  
7 scenario and it's assurance that the anti-islanding when  
8 you don't want to be islanded gets shut off. I think  
9 that's the major issue. And I really think that it's  
10 going to be a process where both the utilities and the  
11 distributed generators are going to have to work  
12 together to kind of figure out what's best. It's going  
13 to take some time.

14 COMMISSIONER PETERMAN: Thank you.

15 MR. HOLDSWORTH: My name is Gary Holdsworth  
16 and I'm a Manager in our Grid Interconnections Group at  
17 SDE and I'm very glad to have this opportunity to  
18 address everyone. I hope ya'll don't mind, I don't have  
19 any slides. So I'm going to talk about interconnection  
20 in about five minutes so I'll then take questions.

21 The key thing—you know, this is mostly a smart  
22 grid workshop today. There were some specific questions  
23 addressed in the paper about interconnection and  
24 integration of interconnection. So that's why I'm here  
25 addressing them.

1           The primary thing I want to talk about is that  
2 it's an education process because it's not every day  
3 that someone wakes up and says, "Oh. I wonder how  
4 generators are interconnected to the system." Right?  
5 That's just not what a lot of us are doing on an  
6 everyday basis. So some of the questions, I think,  
7 reflect a lack of understanding on the need for  
8 continued dialogue on integration of these systems.

9           Three primary tariffs control the  
10 interconnection process in our service territory. The  
11 first is the ISO tariff and that's for transmission  
12 level interconnections. The distribution level  
13 interconnections are broken into two different tariffs.  
14 One of which is our tariff which is called the Wholesale  
15 Distribution Access Tariffs, the WDAT. PG&E calls it  
16 the Wee-DAT. Other companies call it other things. We  
17 call it WDAT. The other is Rule 21 which is also for  
18 distribution level interconnections but has some  
19 different flavors. It has a flavor for behind the meter  
20 or net energy metering and doesn't use a lot for  
21 wholesale transactions but the line between WDAT and  
22 Rule 21 is somewhat flexible or nebulous from time to  
23 time and that is one reason why the Rule 21 Working  
24 Group was recently re-established. We're trying to work  
25 out some of those lines of demarcation a little bit

1 better. It's confusing for everyone, including the  
2 developers, and we're trying to grow that.

3           The key point on the integration of the  
4 interconnection process. I want to make certain that  
5 everyone understands. In recent years, I've been  
6 working on interconnection reform efforts with the ISO  
7 for about four years now. We have gone from a very one  
8 at a time serial type process to looking at the  
9 interconnection on a collective basis in what is called  
10 Clusters. And that is done, not only for  
11 interconnections at the transmission levels but the same  
12 procedures with the same timelines occur for those WDAT  
13 distribution level interconnection requests. The  
14 studies are actually performed by us and the ISO in  
15 total. So they're looked at aggregate or collective  
16 impacts. That is appropriate, as I think was previously  
17 mentioned today, the level of demand or interest for  
18 interconnection is such that, for example, at SEU's  
19 queue we have over 3,000 megawatts of collected WDAT  
20 requests. Three thousand megawatts is a lot of power on  
21 an aggregate basis and it sure pales versus the ISO  
22 transition level where we have well over 30,000  
23 megawatts. And that's an astronomical number but it's  
24 still a very large number so distribution level  
25 interconnection requests can't have impacts to the

1 transmission side and they need to be addressed.  
2 They're addressed in these studies. So they are highly  
3 integrated today and the recent reforms we just passed,  
4 ISO and we passed, last year they're even more  
5 integrated. So that regardless of size of  
6 interconnection requests, if it's a wholesale  
7 transaction, it's going to be looked at at an aggregate  
8 basis. That, we believe, is the best way to plan the  
9 transmission as well as the distribution upgrades  
10 required to integrated that new generation. We will  
11 echo something that PG&E said this morning, we feel that  
12 it is very appropriate for the ISO to continue with its  
13 transmission statewide plan and even its interregional  
14 planning but we do not see any value in a statewide  
15 distribution plan. The distribution system is the last  
16 mile, so to speak. The last mile is much more  
17 responsive to things such as load growth or new meter  
18 sets and things like that. This is a necessity of very  
19 reactive construct whereas the transmission system is  
20 the backbone, to use the telecom term, and that's very  
21 much useful to have a proactive planning approach for  
22 the backbone. It is somewhat reactive but it is—it  
23 really has a proactive need to it. So the distribution  
24 system by its nature, and was mentioned, things that  
25 happen in Fresno don't really impact things in Stockton

1 or downtown LA doesn't impact what's going on in  
2 Colorado River. That's true. So we see very little  
3 need for a distribution level plan. So those are my  
4 kind of introductory comments and I'd be willing to take  
5 questions down the panel or here, either way.

6 CHAIRMAN WEISENMILLER: Yeah. Let me start  
7 with a couple of questions for you and then go back to  
8 the other gentleman. First one is, of the 3,000  
9 megawatts how many projects did that represent?

10 MR. HOLDSWORTH: That's around 300 on the WDAT  
11 and yeah--so the 3,000, 3,500 actually, let's round it up  
12 to 3,500. That's roughly around 300 projects.

13 CHAIRMAN WEISENMILLER: The next question is  
14 in terms of--do you have a sense of what the best  
15 practices are in terms of DG interconnection studies at  
16 this stage?

17 MR. HOLDSWORTH: My opinion is that the best  
18 practices are now implemented throughout California in  
19 that we're using the clustering approach to divide away  
20 the collective impacts on both the distribution system  
21 and on the transmission system. FERC has said that that  
22 is their preferred method of interconnection studies is  
23 the clustering approach. It's really where we get the  
24 most efficiency. If we had not gone to a clustering  
25 approach back in 2008-2009 for larges and we added the

1 small generators eventually in there, we couldn't even  
2 conceive of handling 800 type requests that we see  
3 today. Being able to study 800 active requests which  
4 are what's in our system today. It's not perfect but  
5 it's very much the state of best practices in the  
6 industry, this clustered approach.

7 CHAIRMAN WEISENMILLER: It's certainly one of  
8 the things that the ISO has been struggling with. The  
9 level of, I'll say, the financial commitments from the  
10 developers in terms of weeding out the queue some. So  
11 the question is is that at the appropriate level at this  
12 stage?

13 MR. HOLDSWORTH: Yeah. That is a key question  
14 that the ISO is addressing right now in its  
15 interconnection reform efforts. And maybe I'll defer to  
16 Neil Millar later who will be talking about that. The  
17 question inevitably comes when you talk about a very  
18 healthy, very - I hate to use the word - but robust  
19 queuing process that we have. A lot of demand for  
20 interconnection. That's a very good thing but that also  
21 means that we need to be very efficient with what we're  
22 doing. There's going to be some generation that's just  
23 not built. And determining what is and what isn't is  
24 challenging in a market based environment. So the  
25 challenge is to take, to see, how the market can be

1 helped to develop or to make the right decisions and to—  
2 I'm also talking about maintain protections for the  
3 ratepayer who's eventually paying for the transmission  
4 infrastructure. We need to, and I'm going to defer to  
5 the ISO on a lot of this and their plans for this, there  
6 is a need to rationalize or right size our new  
7 infrastructure that's going to be needed to meet the  
8 Governor's and other's goals. So how we get there is  
9 very complicated but very thorough. We're going through  
10 a very thorough process to get there.

11           CHAIRMAN WEISENMILLER: One question is, I  
12 guess, one of the more poignant moments when you read  
13 the expert panel report on San Bruno was that PG&E on  
14 the permitting side for the gas side has 22 people.  
15 Perhaps if they had had 30 that might have been dealt  
16 with. So again, how do you select the right number of  
17 people for your group?

18           MR. HOLDSWORTH: We are adding resources as  
19 best we can to deal with the current environment that we  
20 have and we do expect this environment to be very  
21 healthy. Particularly if we're talking about an  
22 additional 12,000 megawatts of distributed resources.  
23 So to the extent that we can find adequately trained and  
24 capable people we're hiring them and we're going to  
25 continue to do so. It's a very complex process. It's



1 something where our—my management team and, I think,  
2 PG&E as well, we're trying to use contingency workers if  
3 we can. But we're all trying to hire the same people.  
4 So it comes down to the folks with experience and the  
5 knowledge of these procedures are somewhat of a small  
6 group. We get to the point of we need to train them and  
7 we're definitely training on a daily basis to get the  
8 skill sets we need to be able to address these. It's a  
9 somewhat of a bootstrap approach but it's how we're  
10 addressing the issues.

11           CHAIRMAN WEISENMILLER: I guess in terms of,  
12 the last two questions—actually one of you may want to  
13 chime in. The first is that obviously we have a lot of  
14 constituents talking about, for the 12,000 megawatts,  
15 where it should be. Should it be in environmental  
16 justice areas? I guess, putting on your system  
17 distribution planning hat, where would be the best spots  
18 in the Edison system in terms of reliability, resource  
19 adequacy or - just from your perspective where would be  
20 the best spots to put DG in your system that would have  
21 the most benefits from the system operation perspective?  
22 Either one of you can try that, obviously.

23           MR. SHERICK: I think at this point we have an  
24 interconnection queue and a process and we address that  
25 in a much more reactive basis. On a proactive basis, I

1 think, you would have to see what the market is  
2 incentivized to do, to some extent. From our  
3 perspective we need to look at all areas as possible  
4 places for interconnection so we're not trying to tell  
5 someone that they can't interconnect here but can  
6 interconnect here. There are certainly a lot of areas  
7 where we have a lot of growth and those would be areas  
8 where we'll do a lot of our planning process to manage  
9 that growth. With the economic downturn that's been a  
10 little less of an issue for us but it certainly was an  
11 issue three or four years ago and could very well be an  
12 issue going forward. So those places where there's a  
13 lot of growth would probably be the best areas for, if  
14 we could, ideally choice the location for where  
15 distributed generation is being placed.

16 MR. HOLDSWORTH: And to add to what Robert is  
17 saying, I think he's primarily talking about load growth  
18 or where the load is and unfortunately in our territory  
19 our best resources is where there is no load. It's out  
20 in our deserts and in our mountains. And therein lies  
21 the transmissions needs, the immediate, transmission  
22 needs. We have said in many different venues that  
23 distributed resources have a real role with where  
24 there's lots of load in our metro area. Unfortunately,  
25 the land isn't there that a lot of these resources

1 require. So that's one of the reasons that we went into  
2 our commercial rooftop program is we have a lot of flat  
3 roofs in our area that we can use. But those are small.  
4 Again, it's trying to find a balance from a number of  
5 stakeholders, not just—we're going to—the market is  
6 going to do what the market's going to do but at the  
7 same time we have put out maps, PG&E has maps as well,  
8 of locations in some of our areas where a circuit may be  
9 able to handle some additional generation. We have maps  
10 like that for our rooftop program as well as for our RAM  
11 program and I believe PG&E has similar things. We're  
12 trying to give a lay of the land. We're not telling  
13 people where to go but we're giving them a lay of the  
14 land.

15 CHAIRMAN WEISENMILLER: Now, do you have a  
16 sense for your smart grid program the delta between  
17 replacements versus modernization? And the cost?

18 MR. SHERICK: I do not have those numbers off  
19 the top of my head but we can certainly get those in a  
20 written response.

21 CHAIRMAN WEISENMILLER: Okay. That'd be  
22 great. Thank you, thank you both.

23 MS. KELLY: Our next panel member is Tom  
24 Bialek from San Diego Gas and Electric. Tom has a  
25 Bachelors and Masters of Science Degree in Electrical

1 Engineering from the University of Manitoba. He has a  
2 PhD in electrical engineering from Mississippi State and  
3 he's currently employed at San Diego as the Chief  
4 Engineer on the Smart Grid Team. His current  
5 responsibilities involve smart grid strategy and policy  
6 for transmission distribution issues including  
7 equipment, operations, planning, distributed generation  
8 and development of new technology. He is also the  
9 principle investigator on DOE and the CEC's funded  
10 microgrid project. Tom?

11 MR. BIALEK: Well, thank you. It's a pleasure  
12 to be here Commissioners. We appreciate the opportunity  
13 to talk to you about this issue. I actually tried to  
14 take a stab at answering the questions on planning for  
15 the future as well as interconnecting DG, maybe not  
16 quite the format in which you laid out but hopefully  
17 you'll be able to get there.

18 So, I think one of the things that was asked  
19 is what is the vision of the future. So for SDG&E, as  
20 part of our smart grid deployment pilot, we looked at  
21 what is the smart grid utility vision. And what you see  
22 here is really the definition from a transmission  
23 perspective, from a distribution perspective and there's  
24 also a customer perspective. Now when it comes to  
25 customers, because I know later on there's a question

1 about the role of customers, as we think about the  
2 future, looking at the distribution system, being able  
3 to look at the burden of balancing storage, reliability  
4 and integration services to customers and giving the  
5 customers options to participate. We believe these are  
6 ultimately the longer term version of where this smart  
7 grid will take us. Clearly, from a transmission system  
8 is improving the speed of response.

9           So why did I bring up transmission? I think  
10 one of the things to think about when you talk about  
11 12,000 megawatts; you're really looking at 12 1,000  
12 megawatt plants. Those are large plants. They have  
13 large impacts on the grid and I think our Senior VP, Jim  
14 Avery who came to the last workshop talked about when  
15 they looked at it from a transmission planning  
16 perspective they say overvoltages, they saw high flows,  
17 they also saw transducer stability problems. The  
18 solutions for those types of problems were anywhere  
19 between \$350-550 million and that's a transmission  
20 issue. So the point here being that while this is all  
21 about distribution, given that these large numbers are  
22 being proposed, it will also impact the transmission  
23 grid.

24           One of the things that you asked a little bit  
25 about is the vision of how this moves forward. I'll

1 take a little bit of time, very briefly, to talk about  
2 our deployment and how that figures into planning. So  
3 we've got nine different program goals. Ultimately  
4 projects by year, value pilot and then the total number,  
5 ultimately, in our deployment plan is 64 projects, each  
6 of them with their ARRA price projects but they are not  
7 included in the costs and benefits so for a grand total  
8 of 82 projects. And within the context of that, we're  
9 able to—given those different nine program areas, and  
10 integrated renewables being one of them, we do have  
11 vision statements for both 2015 and 2020.

12 So here are these nine different program  
13 areas. Certainly for this particular discussion here,  
14 the area of renewable growth and customer empowerment as  
15 well as reliability and safety are issues, and  
16 operational efficiencies, are issues that come to mind  
17 when we think about how we're going to integrate this  
18 large amount of renewables.

19 There's also a question with regard to what  
20 ARRA funding can SDG&E get. SDG&E has applied for two  
21 and got one. Ours is really a, what we call at SDG&E, a  
22 communications systems. And really, you heard Edison  
23 talk about their effort to upgrade their RF—their  
24 wireless RF network. This is actually a project that  
25 we'll do too. A multilevel RF, controlled by a single

1 service, and what you see here, realistically, are some  
2 that now are integrated, that security has integrated  
3 management control, but looks to top the various assets  
4 on the grid. Looks to control various assets on the  
5 grid. And looks to empower our workforce by providing  
6 data and information. This was a roughly \$56-58 million  
7 project, \$26 of which came from DOE and \$26 from SDG&E  
8 and some money from the CEC.

9           Here specifically is when you start talking  
10 about the types of projects that we are actually going  
11 to implement as far as integrating renewables or  
12 distributed generation and integrating these into our  
13 grid. So you see here in our grid, basically, in the  
14 2012-2016 timeframe, Distributed Energy Resource  
15 Management System. What you see with that system is  
16 that that is a system that will actually look at  
17 providing information that allows consumers to actively  
18 participate in management of the grid.

19           You can see in our grid vision by 2020 that  
20 this Distributed Energy Resource Management System is  
21 fully functional and interfacing with customer loads and  
22 resources supporting efficient utilization of  
23 distributed energy resources. We believe from an  
24 operational efficiency perspective that is certainly one  
25 of the areas that we are putting in place.

1           And the idea of dynamic line ratings, other, I  
2 always imagine, detection systems or elements of these  
3 overall strategy for integrating high penetrations of  
4 distributed energy resources. Specifically around  
5 renewable energy growth, we do have a number of  
6 projects. And these projects were also included in our  
7 general rate case application. We look at mass energy  
8 storage from a distribution perspective to integrate  
9 that with the renewables that are increasing on our  
10 system, circuits that have high levels of renewable  
11 penetration, putting our capacitors on SCADA, allowing  
12 us to better do volt VAR optimization on the grid in  
13 response to what's going on with the PV or other  
14 renewables or DG, expanding our SCADA. We are  
15 approximately 70 percent of our load is behind a SCADA  
16 switch today. Roughly 80 percent of our circuits have  
17 SCADA. We see that SCADA is a necessary need to be able  
18 to control and move loads around and balance the voltage  
19 and power flows on the circuits. We also talk about  
20 dynamic lines rates. So if we think about actual  
21 circuits, but I think this gets to one of your points,  
22 why would we—the question of replace, refresh versus a  
23 new smart grid technology. To the extent that we can  
24 leverage dynamic line ratings on a distribution systems  
25 and transmission system potentially allows us to the



1 defer capital expansion, and hopefully from an  
2 integration and renewables perspective actually makes  
3 that easier as well. And then lastly, phasing out  
4 measurement units on the distribution system; really  
5 looking at that more to provide time stamp data and  
6 coupling that with the other elements here. You can now  
7 look at the potential for closed loop command and  
8 control of storage and other systems to actually  
9 mitigate the impact of PV. And you can see the vision  
10 statements are over here on the right. We'll also talk  
11 about the whole idea of advanced control as well.

12           One of the things that we talk about  
13 integrating the renewables; we'll talk about it a little  
14 bit later. Low power watt area indication network, a  
15 good comms system, these are all sort of systems that go  
16 across boundaries that will us to utilize and allow us  
17 to make data available. I think one of the keys, as we  
18 think about the higher penetrations of renewables and  
19 PV, is the fact that we need more data to be able to  
20 manage this system. The system is going to become  
21 increasingly complex. We're going to need that data and  
22 information to be able to manage the grid. And we see  
23 some elements around data management and analytics.

24           So this is just sort of a summary, it gives  
25 you a little bit more detail around, what I think Chris

1 pointed out, I think one of the questions was societal  
2 and environmental benefits with regards to our smart  
3 grid deployment plan. We didn't do that estimate. We  
4 did work with the Environmental Defense Plan. And we  
5 can, ultimately, you can see the numbers represented  
6 here.

7 I think one of the things you should take away  
8 from this particular slide with the cost of benefits is  
9 that you see on the top categories previously authorized  
10 investments. So these are the costs that are built in  
11 from 2006-2020 timeframe of existing projects that were  
12 already authorized. And you see also our 2012 test  
13 years and rate case process going up to 2020 or 2010.  
14 And you also see other programs that are in existence  
15 and then you also see incremental projects. These are  
16 projects that are incremental to what we are asking for  
17 in our GRC and that have been approved by the Commission  
18 officially.

19 So here's sort of a breakout of how we looked  
20 at the societal benefits. And we looked at it for  
21 really both large-scale 32 percent RPS as well as  
22 centralized renewable energy as well as reduction by  
23 integrating distributed energy as well. And then we  
24 also did some work around electric vehicles.

25 So at SDG&E there really are a couple of ways

1 to look at what are our concerns. We have operational  
2 concerns, engineering and planning concerns, we have  
3 regulatory concerns. The operational concerns are  
4 really driven by the invariability of the PV power  
5 output and other various points here. To the point of  
6 interconnecting generation, the whole idea of the impact  
7 on capacity planning, the impact on volt VAR management,  
8 the impact on conservation of voltage reduction  
9 regulations within the state. An additional key element  
10 is electrical models. When you think about trying to  
11 integrate these types of systems, how do you actually  
12 model these? We've got today an existing local program  
13 but it's good for static types of calculations. We're  
14 seeing increasingly a need for transient announcement  
15 tools and associated transient announcement  
16 capabilities. And on the regulatory front, something  
17 that's been addressed already, are things around Rule  
18 21. Changes to Rule 21 to allow us to better integrate  
19 renewables. Rule 2 around service power quality and  
20 then ultimately cost causation principles.

21 To the extent that you can see here our  
22 generate rate case specifically around renewables for  
23 our test year 2012 we have for these different projects,  
24 \$54 million in the rate case. And, as you can see, the  
25 allocation of cost across the projects. And there's

1 also some future smart grid deployment projects.

2           So one of the things that we think is  
3 important is that you're able to map where these  
4 installations occur. So this is the mapping of all  
5 these PV systems on SDG&E service territory. We map  
6 them into our GIS and we're also comparing electric  
7 vehicles as well.

8           And I think to the point that—SDE's point is  
9 that where do you want to site the 3 ½ megawatt type PV  
10 systems. It's really in SDG&E's backcountry where very  
11 small wires, very small transformers. Where people talk  
12 about distances between substations in the magnitude of  
13 four or five miles and we have some small Level 4  
14 conductor for example and if you look at what that  
15 means, the fluctuations would be unacceptable on those  
16 particular circuits and therefore requires a significant  
17 capacity upgrade by reconductering at a significant  
18 cost.

19           Here's why we believe that we need smart grid  
20 to address some of these issues. I think some of you  
21 have probably seen this type of graph before. PV output  
22 of a particularly favorable day of one particular  
23 circuit. The bottom is one second data. The bottom  
24 actually is the expanded version of that above version  
25 and it shows ten minutes. I think one of the challenges

1 here when we think about integrating renewables is when  
2 we see these dips here, we're seeing basically a couple  
3 of things. We're exceeding our constant voltage limits.  
4 So when we talk about integrating distributed generation  
5 we're nominally trying to keep between 126 - 114 volts  
6 to meter, for CVR program it would be 120 - 114 volts  
7 per meter. So just multiply by a thousand in this  
8 particular case. And you can see that we are well above  
9 our normal operating limits however what you'll also see  
10 is that this is actually within the allowable operation  
11 range under Rule 21. The other challenge with this of  
12 course is that this will now cause our regulation  
13 equipment which we have installed; it will actually  
14 operate the time zones that are shown here.

15           And you can see why we believe that we need to  
16 take—why we need to be proactive as far as modification  
17 to the system to allow PV to actually be incorporated  
18 and you can see here circuits here with 30 percent PV  
19 and those with greater than 30 percent of PV. These are  
20 sort of the worst conditions with light load on the  
21 circuit and high PV output so that's sort of the worst  
22 case. And this is actually a worst case that today  
23 under Rule 21 that is not looked at, they're actually  
24 looking at 15 percent of the people behind line load  
25 section rating so it'll probably change when it does

1 happen and get into Rule 21.

2           So we believe ultimately that there are never  
3 changes that are needed. From a regulatory perspective,  
4 the question with regards to Rule 21, you heard about  
5 Rule 21 WDAT modifications to allow the appropriate  
6 ability to model the system as well as the ability to  
7 actually change the requirements for performance. Also  
8 looking at periods of low load, high PV output, things  
9 around low voltage ride through and frequency droop to  
10 make these converter actually perform in a more grid  
11 friendly fashion as opposed to what they do today which  
12 is operated unity power factor, operated predefined  
13 limits and drop-offs when those limits are exceeded,  
14 rule through modifications around harmonics and voltage,  
15 things around cost causation with a real regard to costs  
16 and incentives so that particular system that you saw  
17 here actually relies upon the grid to take care of its  
18 smoothing. That's a function that today is born by the  
19 utilities and the ratepayers. So we that actually gets  
20 into the next session.

21           I think we expect that there's going to be  
22 some significant impact on not just the distribution  
23 system but the transmission system. There needs to be  
24 technical studies and we are doing some of those studies  
25 today to look at what we can do whether it be from a

1 policy perspective to add additional functionality into  
2 the converters or actually what can the utility do to  
3 put systems in place similar to alert to what we do  
4 today with the capacitor banks on the grid. One of the  
5 things, that I think, is really lacking in general is  
6 actual field measurements. That data that I showed you  
7 is one of the few actual sets of data I've actually  
8 seen. There's a few others, there's not a lot. But  
9 that data is necessary ultimately to be able to model  
10 the system. And I think when we talk about adding  
11 additional amounts of distributed generation of PV we do  
12 need to understand what's actually going on and be able  
13 to model the grid. And we do need data to allow us to  
14 look at before and after. Changes in regulatory  
15 technical status, we talked a little bit about those.  
16 And lastly, adopt lessons learned from European  
17 countries. Germany has, for example, 18 gigawatts of PV  
18 installed. And they've added new grid codes. SDG&E  
19 believes that those types of requirements for moving  
20 forward in the future are necessary. We believe that  
21 the time to start is now opposed to waiting.

22 CHAIRMAN WEISENMILLER: Thank you. A couple  
23 of questions. First one was when we did talk about the  
24 European experience, one of the messages seemed to be  
25 the visibility for the Cal ISO on the production, at

1 least that wasn't one of your Rule 21 items.

2 MR. BIALEK: We've had this discussion before  
3 with the California ISO and we have gone up and met with  
4 them to discuss what level of visibility do they need.  
5 How granular should they be presented for them.  
6 Clearly, if you look at telemetering data and  
7 information to the ISO at a very granular level it would  
8 probably be very cost prohibitive. So the question  
9 becomes at what level do you aggregate that information  
10 and up and present it to them? And what sort of  
11 forecast do you provide to them? Forecasting is a  
12 significant issue as well. So based upon the  
13 conversations I've had with the ISO, I think that's a  
14 going forward discussion as to what level of visibility  
15 do they really need to actually operate.

16 CHAIRMAN WEISENMILLER: And in terms of best  
17 practices. It sounds like what you're pointing us  
18 toward is Germany on this set of issues. Again, I've  
19 been pushing people trying to understand a consensus on  
20 best practices in this area.

21 MR. BIALEK: Well, I think certainly given the  
22 amount of penetration that they have in their particular  
23 grid, I think, that we should take advantage of the  
24 lessons that they have learned and the realizations that  
25 they have come to. And one of the realizations that



1 they have come to, and this is based upon conversations  
2 that I've had with some of my German colleagues, is that  
3 with these units today operating basically a unity power  
4 factor with limited control, although they do have  
5 control at 100 kilowatts and above, if there's a major  
6 transmission event it will cause all of the systems to  
7 drop offline typically. And so you'd lose 18,000  
8 megawatts of generation and they do not have adequate  
9 reserves to recover from that. And they are worried.  
10 So part of the challenge, and that's why they've added  
11 these additional grid codes, is to allow some  
12 flexibility so that the system going forward is more  
13 flexible and can recover more from those type of events.

14 CHAIRMAN WEISENMILLER: Okay. The last  
15 question is if you have a sense of the delta in cost  
16 between the replacement of stuff and / or the  
17 modernization on the smart grid package.

18 MR. BIALEK: So, I would say that the—we saw  
19 the smart grid evolution, not necessarily revolution, we  
20 had a lot of internal discussions on what is smart grid.  
21 What projects are smart grids or not. If you add some  
22 additional functionality to the distribution circuit  
23 upgrades would that make it smart grid? Would that make  
24 the whole project smart grid? And the answer is, we  
25 debated that back and forth, and there was no real clear

1 consensus. Although we did try to err on the  
2 conservative side and not call everything smart grid  
3 because we believe if we did that that would be  
4 problematic in and of itself. So we have—our capacity  
5 plan—our ongoing capital expenditure budget at a  
6 distribution level is on the magnitude of \$10 million a  
7 year. You see projects here on the magnitude of \$50  
8 million a year. So roughly, you know,---but what we do  
9 see is that, and what we have said, is that as we move  
10 forward in time and as we rollout future distribution  
11 system and capacity system upgrades we are going to  
12 leverage the advances that smart grid brings to us.  
13 What you will see is a further blurring of what is  
14 really smart grid because what you're going to see is  
15 new products and new standards which will incorporate  
16 what today we're calling smart grid technologies but  
17 what will become standard designs.

18 CHAIRMAN WEISENMILLER: Okay. Thank you.

19 MS. KELLY: One last speaker. Not last but  
20 Neil Millar who's the Executive Director of  
21 Infrastructure Development at the ISO. And he's just  
22 going to provide comments on mainly integration of  
23 12,000 megawatts at the transmission level.

24 MR. MILLAR: Thank you and thank you for the  
25 opportunity to present today. I also didn't bring

1 slides. But I'll also keep my comments relatively  
2 brief. As many of you are aware, the Cal ISO does have  
3 essentially a companywide initiative this year looking  
4 at taking the necessary steps to be proactive and to be  
5 ready for the integration of large amounts of  
6 distributed generation. Those areas of interest really  
7 factor into the nearer term the operational side.

8           Do we have short term forecasting and adequate  
9 visibility of the amount of distributed generation so  
10 that we can take that into account in managing  
11 variability of the system?

12           In the midterm, do we have the right market  
13 products available to provide the kind of reserve  
14 requirements, ramping and load following capabilities  
15 that we need to handle intermittences or variable  
16 generation; whether it's on the distribution or on the  
17 transmission side?

18           And then on the longer term, on the  
19 transmission planning side, there we're looking at what  
20 fleet replacement do we need. How do additional systems  
21 need to be put in place? What additional operating  
22 systems do we need to take into account so that the  
23 system itself is properly positioned?

24           When we look at the transmission planning  
25 aspect in particular and we look at coordinating

1 distribution planning, the technical issues I think are  
2 generally well coordinated. There are relatively  
3 distinct lines between where the transmission system  
4 ends and where the distribution systems begin and how to  
5 manage the technical issues crossing those barriers.  
6 The bigger challenge in coordinating the planning aspect  
7 right now, I would be encouraging more focus on what is  
8 driving particular types of distributed generation and  
9 what is driving the location because as the quantities  
10 and the locations are, and the type of generation, are  
11 pretty fundamental to both of the systems and the issues  
12 that we have to take into account. Unlike the  
13 distribution system, we heard this morning that some of  
14 the tools on transient and dynamic stability analysis  
15 and so on are likely need to be applied to parts of the  
16 distribution system that they weren't previously. On  
17 the transmission system those tools have been required  
18 for many years but we will need different models and  
19 different modeling capabilities and to be able to take  
20 into account the uncertainty around the location of the  
21 resource as well. So those are the major issues that we  
22 see. These again are the how much, where and the type  
23 so that we can proactively take those into account in  
24 our annual transmission planning processes and have the  
25 system properly prepared for that new generation coming

1 online. The only other factor that I should mention,  
2 and again it relates to the location, is that  
3 distributed generation does have the capability of  
4 shifting load patterns on the transmission system in a  
5 number of areas and that could also drive new  
6 requirements that we need to take into account moving  
7 forward. So again, I just want to stress that we do see  
8 the need to coordinate with the distribution planning  
9 function and it's primarily in the case of looking at  
10 these kinds of resources, the location, the models that  
11 we need to take those into account. Not so much the  
12 technical issues that cross back and forth. Those are  
13 better understood, I believe, and aren't the unexpected  
14 issue that we see coming. It's more of the quantity  
15 that we need to address. I'll leave that for the  
16 comments and am now open to take questions.

17 CHAIRMAN WEISENMILLER: Yeah. That would be  
18 good. I have a couple of questions. So the first is  
19 how do we get resource adequacy values for DG, how do we  
20 get DG value and resource adequacy in context?

21 MR. MILLAR: We have a few different ways of  
22 looking of trying to expedite interconnections right now  
23 for distributed generation that would be of a magnitude  
24 that would be studied for these purposes. And those  
25 methods generally leave the resource adequacy

1 deliverability issue until the next cycle and we can  
2 study, in aggregate, the resources that want  
3 deliverability. So we don't have a clean way, right  
4 now, to integrate deliverability requirements into a  
5 fast track process for a smaller distributed generation  
6 aspect. The main reason is because the location does  
7 matter. In areas that are clearly low pockets were  
8 generation is coming in strictly from outside, the  
9 answer should be more obvious. Many load pockets are  
10 however along the way between generation resources and  
11 other load pockets. Even though a distributed resource  
12 may be netting a load at that point, it still should see  
13 a load pattern that may cause patterns for some other  
14 resource for what was previously conceived to be  
15 deliverable. Right now we have a bit of an awkward fit  
16 that we're looking at. We are taking steps to further  
17 integrate the transmission planning process in aggregate  
18 with a generating interconnection process to try to find  
19 a solution. We think that there are some possibilities  
20 there to try to find pockets where we can give the green  
21 light to but that's still speculative at this stage.

22 CHAIRMAN WEISENMILLER: I guess the last  
23 question is, again, circumventing things but where are  
24 the general locations that would be the best and where  
25 are the worst locations?

1           MR. MILLAR: The best locations would always  
2 be near the load centers from a transmission  
3 perspective. The worst locations would be back where we  
4 already have generation. The comments that we heard  
5 today though are that a number of the resources in the  
6 two, three, five megawatt range looked more attractive  
7 from a resource perspective but were where we already  
8 have large blocks of generation.

9           CHAIRMAN WEISENMILLER: Thank you.

10          MR. MILLAR: Thanks.

11          MS. KELLY: Chairman, what I'd like to do is  
12 wrap up this panel. We're getting late. I'd like to  
13 open it up for questions here from the audience and then  
14 attendees of the WebEx. Is that all right with you?

15          CHAIRMAN WEISENMILLER: Yeah. That'd be good.

16          MS. KELLY: Does anyone in the audience have  
17 any questions? Dave, come on up to the podium.

18          DAVE BROWN: Actually, just a question for  
19 PG&E. The volt VAR optimizer or the volt VAR technology  
20 that they were talking about demonstrating, could you  
21 describe that a little more about what the technology  
22 is?

23          MR. THALMAN: The volt VAR compensator is  
24 basically a powered electronics device out on the feeder  
25 with the reactors and the passers behind it and you can

1 adjust voltage. It allows you to do it dynamically  
2 instead of with discrete switching. The pilot that  
3 we're looking at is testing how effective that would be  
4 and its effective compared to other options.

5 MS. KELLY: Any other questions in the  
6 audience? Yeah? And please give your name and who you  
7 represent or where you're from?

8 MR. BATESON: Gerald Bateson and I'm just  
9 representing myself today but from a standpoint of  
10 tradeoffs and modeling, San Diego Gas & Electric has  
11 microgrids and part of the project is coupling those.  
12 And I was kind of curious of if in your modeling if  
13 you're doing some trades to some of the more expensive  
14 microgrid integration versus some distribution  
15 generation being further out and how that is being  
16 considered.

17 MR. BIALEK: Well, if I understand the  
18 question correctly. When we look at modeling typically  
19 around the normal, steady state of analysis—of Level 1  
20 analysis, we do have conventional program. When we look  
21 at the impact in renewables, usually PV in this case,  
22 we're looking at transient models to try to better  
23 understand what's going on. When we think about  
24 microgrids now and incorporating microgrids because we  
25 have pilots going forward in Loreto. Our ODMTS system



1 which is actually going to be functional at the end of  
2 this year has an unbalanced three-face multiple part  
3 program and will have some additional analysis. The  
4 challenge will be to look at when you decide to  
5 disconnect how often and how frequently you would end up  
6 having to run that unbalanced program because looking at  
7 that really that particular instance to manage the  
8 voltage, the frequency and the power factor within the  
9 appropriate ranges. So hopefully that answers your  
10 question.

11 MS. KELLY: Any other questions? All right.  
12 We have one question from the web. It's for PG&E I'm  
13 told. And it's going to appear up on the screen. It's  
14 from Barbara George.

15 MS. KOROSSEC: I'll go ahead and read the  
16 question. It says, "PG&E's testimony in the 2011 GRC  
17 revealed that it ignored solar PV and energy efficiency  
18 in its load forecast because it doesn't know where it  
19 is. PG&E load forecasting methodology does not  
20 particularly adjust for changes in peak loads because of  
21 increase customer photovoltaic installation, customer  
22 energy efficiency programs or increased load due to PV  
23 increased penetration. The effect system wide programs  
24 have on peak loads are not easily quantifiable on a DG  
25 level, division or geographic area. Therefore PG&E

1 cannot know exactly where reductions or increases will  
2 occur. This is from PG&E testimony, Volume 3, page 9-  
3 12. Is this still true? PG&E knows exactly where every  
4 good connected PV system is installed because PG&E hooks  
5 them up. PG&E also knows where energy efficiency  
6 measures are installed however PG&E has not tracked this  
7 important data. When will PG&E and other utilities  
8 begin to report this data?"

9 MR. THALMAN: Okay. I will play out what  
10 seems to be that the person asking the question already  
11 knows their answer. PG&E is endeavoring, obviously,  
12 with our, what I mentioned earlier, with our ability to  
13 record more data and to track these items. There's a  
14 lot of historical data, rather, history behind PV  
15 installations to know where they all are. I do like  
16 SDG&E's map that showed that they know where all the PV  
17 resources are. I think that's our target. So I guess  
18 my answer is that we're working better to record and  
19 know all of the data that the question is asking so that  
20 we can know how it influences our load forecasting. I  
21 will add that the load forecast, that there are two  
22 levels here. There's knowing the data and there's also  
23 knowing which point it's going to significantly impact  
24 your load forecast. If we rely on historical data, the  
25 impact and penetrations of electric vehicles and PV have

1 not been significant enough to—you can look at your  
2 error bands on your load forecast and your forecast for  
3 those items are still within your error bands, and so if  
4 I remember correctly the point in the testimony is not  
5 so much that we don't know those, it's that it's the  
6 current levels are near error bands and so it's not a  
7 significant impact. Now, certainly, that's not going to  
8 be the case going forward and that's why we're tracking  
9 the data.

10 CHAIRMAN WEISENMILLER: Certainly if any of  
11 the panelists want to comment further in respond to the  
12 question, you can certainly do that in writing.

13 MS. KELLY: Right now, I'd like to make a  
14 small adjustment to the schedule. Kurt Yeager is here  
15 to speak from the Galvin Institute and has a commitment  
16 that he has to be in San Francisco in a very short  
17 period of time. So we're going to move him to come up  
18 and speak now before the second panel and that way he  
19 can make his appointment in San Francisco. And I have  
20 to dismiss the first panel, thank you very much.

21 Mr. Yeager has joined the Galvin Electricity  
22 Institute in an effort to perfect the electric power  
23 system shortly after it was launched by former Motorola  
24 Chief Bob Galvin in 2005. Yeager worked with  
25 electricity experts, innovators and entrepreneurs to

1 design and build perfect power system models of a smart,  
2 efficient electric power system that cannot fail the  
3 consumer. He also leads the initiative in driving the  
4 electricity power changes necessary for system  
5 transformation at the state and federal level. Mr.  
6 Yeager?

7 MR. YEAGER: Well, thank you very much.  
8 Indeed it's a delight and an honor to be with you this  
9 morning and thank you for adjusting the schedule to  
10 permit me to participate. Unfortunately, I had a  
11 previous commitment that I have to meet today with a  
12 Board.

13 I, of course, have been a longtime resident  
14 and ratepayer in California. I spent 30 years with the  
15 Electric Power and Research Institute and spent the last  
16 eight years as the President and CEO working closely  
17 with the utilities here in California. Since then, our  
18 work with the Galvin Electricity Initiative has been  
19 more in other states; it's only been recently that we've  
20 only started working with it in California. I'm  
21 delighted that we have that opportunity now because  
22 California should be the leader in this transformation.

23 When Bob Galvin invited me, when I retired  
24 from the EPRI, as I had the privilege of knowing Bob for  
25 some years and he'd been on our advisory council, he

1 said, "Kurt, I know your frustration with the lack of  
2 innovation in electricity as that's where  
3 telecommunications was 30 years ago. A lot of pent up  
4 innovation and a business model that has no incentive  
5 for innovation." So this is not fundamentally about  
6 technology, which is sitting on a shelf that's been  
7 there for decades, it is about transforming the business  
8 model and the policies that restrict today's utilities  
9 from really progressing.

10 I think it's important to note a couple of  
11 basic principles here that I think that we're all aware  
12 of but it's good to be reminded because we must think  
13 outside the box. You cannot think about how we can  
14 incrementally change the status quo. No. This is a  
15 transformation. Electricity is the engine of prosperity  
16 and the quality of life. Everything we have depends on  
17 electricity. Utilities are clearly the most important  
18 industry in this nation. Our whole future depends on  
19 it.

20 The reason that Bob Galvin and I are doing  
21 this after we retired, we had pretty good careers - his  
22 was better than mine but I have nothing to complain  
23 about, what is the legacy that we are leaving for our  
24 grandchildren. This country is going downhill and the  
25 electricity foundation which we created in the

1 depression in the 1930s has got to be reinvented for the  
2 21<sup>st</sup> century. And our competitors around the world are  
3 moving much more aggressively in this matter.

4           Electricity, first and foremost, is a consumer  
5 service based enterprise. It is not about bulk energy,  
6 dumping it at our doorstep. It's about the quality of  
7 service that can be provided. We are still in, and in  
8 fact I would say almost before the black rotary  
9 telephone era of electricity, and we have to move to the  
10 internet equivalent era. And if we do, and I'll talk  
11 more about that in a moment, the benefits will be  
12 immense.

13           Technology can indeed relieve the cost  
14 pressures that we've had a taste today at every level of  
15 our economy through elevation of electricity service and  
16 value. This is not about shaving a couple of dollars  
17 off my or your electricity bill. That certainly can be  
18 done. But the real basis of this transformation is job  
19 creation. This country has become the world's greatest  
20 exporter of jobs and the electricity system is certainly  
21 a major contributor to that reality. If we are going to  
22 get back to a global leadership in innovation it's got  
23 to start with electricity. And that requires  
24 transformation of the infrastructure, the policies and  
25 the business model.

1           I was very pleased last week. I was invited  
2 by the White House to go to Washington for the release  
3 of their 21<sup>st</sup> century grid policy framework which I'm  
4 delighted to see at that level reflects a great deal of  
5 the recommendations that we have made. It remains to be  
6 seen whether there will be more than what I call  
7 political rhetoric however because both parties before  
8 the last election were on record at the very senior  
9 level saying that the transformation of our nation's  
10 electricity system was essential to its sustainable,  
11 economic, environmental and energy secure future. And  
12 that is the bottom line. So that is not one party.  
13 This is a bipartisan issue that has to be implemented.  
14 It can't be implemented in a month or a year but it can  
15 be implemented in a decade or two but it requires  
16 consistent leadership.

17           And so these are the four points: align the  
18 market and utility incentives to accelerate smart grid  
19 investments and a point here that this is a matter of  
20 state regulators who forgot to do that, unlock the  
21 utility sector innovation potential again they point to  
22 the states, empower consumers to enable informed  
23 decision-making. Only at the federal level do they  
24 focus on improving grid security. I believe,  
25 ultimately, I don't want the federal government to run

1 my power system but I do believe that we need the  
2 federal government to establish standards and hold each  
3 state accountable to those standards. Bottom line, and  
4 to quote Bob on it, America cannot build a 21<sup>st</sup> century  
5 economy with a 20<sup>th</sup> century electricity system.

6 I'm pleased that I see increasing frustration  
7 at senior levels in utilities. I was at AEP a week, two  
8 weeks ago, in Ohio and I interact with a lot of  
9 utilities around the country. I was down visiting the  
10 San Diego Gas & Electric awhile ago who I view as one of  
11 the leaders in the transformation effort and a  
12 comprehension basis. "It's all about the customer today  
13 but we know very little and have no regulatory  
14 incentive." These are quotes that I'm taking from  
15 various CEOs and very senior leaders in utilities.  
16 "Customer price transparency is key with education and  
17 automation." I'll talk more about that in a moment.  
18 "And our infrastructure and policies are legacies of the  
19 1930s indeed." That's how we were until the depths of  
20 the depression. Until we electrify this country, we'll  
21 never get out of the depression. Well, we will never  
22 get out of this so-called recession until we re-  
23 electrify this country. It may not be as deep a hole  
24 but it will be a longer, longer, longer, downhill run  
25 until we do this transformation in a comprehensive way.



1 And we have to get beyond the infrastructure and the  
2 policies that we established in the 1930s. We finished  
3 that job 50 years ago but we're basically still  
4 operating under the same set of realities.

5           A quote I like to use is from Henry Ford, "You  
6 know when I asked people what they wanted, and they said  
7 'Faster horses.' " And that's basically where people  
8 are today and I would say unforuantely a lot of people  
9 in utilities as well. This is not about a faster horse.  
10 This is about the equivalent of opening the door for  
11 automobiles. And just as when automobiles--there was no  
12 incentive to pave roads until we had automobiles, we've  
13 got to pave the electricity roads today and, again just  
14 as with automobiles, it's primarily the communities.  
15 It's the distribution system. And I'm delighted that  
16 this conference and more and more, we're really focusing  
17 on the distribution system because that's where the  
18 action is. We can bring wind power in from the Dakotas  
19 but that's trivial relative to the whole process of  
20 transforming our distribution systems to enable all of  
21 the objectives that we are trying to achieve.

22           So we are working in a number of states and  
23 communities because regrettably community  
24 municipalities, where the stockholder and the ratepayer  
25 are essentially one and the same, tend to be more

1 progressive in transforming. And we're working with a  
2 number of communities who are saying, "We're losing a  
3 number of jobs." And that people were losing jobs and  
4 companies because they're saying the electricity service  
5 reliability is too poor. So we're working building  
6 microgrids in a number of communities and the  
7 universities that bring together all of these pieces.

8           And the whole idea of these demonstrations is  
9 that consumers are not going to believe anything I have  
10 to say or anything else from other people. They're  
11 going to believe what they feel in their hip pocket.  
12 "Are you taking money out or are you doing something to  
13 put money in my pocket?" And these demonstrations are  
14 demonstrating that the payback is almost immediately at  
15 least three to four to five dollars for a dollar  
16 invested. So this is not about raising electricity  
17 rates or raising taxes. Done properly the system can be  
18 done by opening the door primarily to private sector  
19 investment but we've got to recognize that the key to  
20 transformation, as it was in telecommunications and  
21 every other industry, is opening the door to  
22 entrepreneurial innovators. And that's why California  
23 should really be a leader because you've got Silicon  
24 Valley here which has got the bulk of it and is where I  
25 interact with all of my colleagues in Silicon Valley.

1 They have immense frustration over the lack of access to  
2 the market in a way that would allow them to make money  
3 so that they could invest money is amazing. And, of  
4 course, I know and used to be good friends, and some of  
5 them still are, with utility CEOs like John Rowe of  
6 Exelon for example. He said, "Kurt, I agree with you  
7 entirely but if I did what you want me to do today, my  
8 stockholders would fire me tomorrow." That's what we  
9 have to recognize, that for investor owned utilities  
10 that we have to get all the key stakeholders together.  
11 Stockholders, regulators, the ratepayers, the inventors  
12 and all say, "Okay. This transformation has got to  
13 happen. We've got do it now. Not a decade from now but  
14 now." And we've all got to recognize that we've got a  
15 common denominator of value among us to make that  
16 happen.

17 Now you're going to hear from Craig Lewis and  
18 here in California in the last year, I'm delighted that  
19 the California Clean Coalition and the Community Choice  
20 Aggregation Group in Marin County, that we've engaged  
21 with them and are working with them to try to advance  
22 some of these concepts here in California and adapt them  
23 to make them effective here in California. I'm  
24 delighted that Community Choice Aggregation did not get  
25 destroyed a year ago. The Community Choice Aggregation

1 is an important dimension of opportunities for  
2 communities, not just to aggregate load, but to  
3 ultimately to really raise the bar on the quality of  
4 service for their distribution systems.

5 I know PG&E does not agree with this number  
6 here. I'm really going to defer a bit to Craig Lewis  
7 who's going to be talking a bit later on the California  
8 Clean Coalition on a couple of these numbers. Certainly  
9 from my experience, and someone whose home is in Aptos  
10 Hills and all the farmland of 15 acres, all entirely run  
11 by solar energy. And I don't get much of a bill from  
12 PG&E anymore but I also give them as much energy as I  
13 use. If I had a feed-in tariff, I would put in a  
14 storage system and I would be quite willing to sell that  
15 power back. There is no reason why, with the dynamic  
16 pricing, you ever would need to build anymore peak  
17 generation. Consumers and buildings should be the  
18 generators.

19 As you know Germany and Spain, particularly  
20 Germany, are moving particularly aggressively in  
21 distributed generation with a power system that is not  
22 that advanced; although I would say that they have made  
23 some improvements. However, I would say that it is not  
24 that advanced and not that fundamentally different from  
25 ours. If we had the modernization of the grid, of the

1 distribution grid, we will have all of these benefits as  
2 well and that's where the focus really needs to be  
3 again. On the distribution grid. But comprehensively,  
4 not say only as distributed generation. Distributed  
5 generation is one dimension of a modernization process  
6 but you have put them all in a package and go forward  
7 accordingly.

8 Smart grid—and I don't like to use the term  
9 smart grid because it is so abused. Intelligent grid,  
10 to me, is a much more appropriate grid. A smart grid is  
11 a transactive network, seamlessly connecting networks  
12 and consumers. Right now the grid ends at the meter.  
13 No the meter is not an Iron Curtain with utility as  
14 prisoners on one side and consumers as prisoners on the  
15 other. The end of the grid should be the end-use device  
16 in the business or home. And then as an absolutely  
17 open, free flow of information and energy at all times  
18 literally at the speed of light. Right now we have a  
19 power system, when I talk to people and they don't know  
20 it very well I say, "What would you think of a railroad  
21 that took you 10 days to open and close the switch.  
22 Would that be a smart or a dumb railroad?" And they  
23 say, "Oh, that'd be a dumb railroad. Nobody would do  
24 that. You wouldn't move the transmission anywhere  
25 else." Well, that's where we are in electricity because

1 we're still operating with analog electro-mechanical  
2 control and relative to the speed of light that energy  
3 is flowing, even though that might be a switch  
4 equivalent to a 10 day delay. So if the lights all went  
5 out in Palo Alto and surrounding areas last year when we  
6 had that plane crash, there's no reason for that kind of  
7 things to happen today. That should be isolated so that  
8 it is a very, very small point.

9           Price response of end-use devices. This is  
10 not to send people price singles and it's an open  
11 market. Not everyone wants it. Not everybody buys a  
12 cell phone the day it came out, I certainly didn't. My  
13 grandchildren tell you me, "You talk a good digital line  
14 but you're as analog as anyone we can consider." They  
15 do things with cell phones and computers that I don't  
16 have a clue to what they're doing. But it is the  
17 younger generation that's really going to make the  
18 businesses explode positively in this whole matter. But  
19 it's going to require empowerment, the internet  
20 empowerment, by virtue of sending the signals to all the  
21 devices in the home or business and you simply say when  
22 price gets here I want this to shut down 10 percent, 20  
23 percent, 50 percent, 100 percent. Whatever. And it can  
24 be managed entirely. And as you move forward with  
25 distributed generation, when the price gets here I want

1 to sell my excess to the grid. And if we have a truly  
2 intelligent grid that will be very easily done. And it  
3 will save everybody a great deal of money and create  
4 business opportunities, particularly here in California  
5 that are missed.

6           So you have to remove barriers to retail  
7 competition and by that I don't mean how we work in  
8 Texas, I don't mean how many suppliers of bulk energy,  
9 I'm talking about the competition. Open the door so  
10 that the services that will allow me to use the  
11 information about my cost and use of power most  
12 effectively so that I can go to Google Earth or Cisco,  
13 or whoever I want to go to, and get the systems to make  
14 it all work. This will both tremendously increase  
15 consumer and producer benefits.

16           Engaging customer acceptance. As I say, words  
17 will not do it. You'll have to engage them through  
18 dynamic rates, technology and education, motivate  
19 through savings and automated control, prices to  
20 devices; and the light through easy, enjoyable,  
21 fulfilling experiences. I can't even imagine someone my  
22 age but as I talk to people in Silicon Valley the kinds  
23 of things they bring forward if we had the electricity  
24 equivalent to the internet would be amazing. And the  
25 amount of things people would buy would raise the value,

1 you might sell less electricity, but I would bet you the  
2 value of a kilowatt hour would go up dramatically and no  
3 one would need a rate gun pointed at their head. They  
4 would buy it because they wanted the use of the tools.

5           So that to me is the really-is really the key  
6 here to customer acceptance. And that's what we're  
7 doing in a number of communities around the country now  
8 and working with people so that we can demonstrate that  
9 so people can really understand. And early adopters, so  
10 as early adopters, not everybody at once. You don't  
11 force real-time pricing at everyone, it's there if you  
12 want it. If you want real-time pricing, we'll give it  
13 to you. You can use it anyway you want; it's your  
14 information. It's not my information. It's your  
15 information. And that is the key here to work toward  
16 that.

17           So as I wrap up here with some intelligent  
18 policy recommendations that we put together, again,  
19 working with communities in several states. As I said,  
20 Texas, we're working very strongly in, obviously,  
21 Illinois, Pennsylvania, Massachusetts, California not  
22 yet. California is much more advanced in renewable  
23 energy and many of these other dimensions California is  
24 not. And it has to all be done in a comprehensive  
25 manner. So provide consumers with choice of access to



1 transparent, real-time electricity pricing, recognize  
2 that all customers' specific data belongs to the  
3 customer, and establish strict district reliability and  
4 efficiency standards. The standards we have in this  
5 country aren't worth the paper they're written on. This  
6 country—the average reliability of electricity is among  
7 the lowest in the developed world. The average consumer  
8 in the United States is out of power four hours a year.  
9 It doesn't sound like very much but if you've got a  
10 digital business, when a fraction of a second will shut  
11 down your assembly line that's tremendous. And there is  
12 no country, major country, that we would use a  
13 competitor, in Europe or Asia that has that poor of  
14 reliability. And that's just one dimension but it's a  
15 very important one. Hold utilities publically  
16 accountable to specific performance standards. I'll  
17 wrap up my show with a couple of those standards. This  
18 again, the public needs to understand however their  
19 money is being spent in the distribution system. Is it  
20 just being spent to bring in more bulk power from the  
21 outside or is it really being used to upgrade the  
22 system? Link utility earnings to service quality not  
23 quantity of sales. Performance based rates. And San  
24 Diego Gas & Electric is a good example of a company that  
25 makes more money for its stockholders now even though

1 they sell less electricity. So while there's decoupling  
2 has gotten a bad reputation, it may be used a bit, but  
3 performance based rates are essential to our future.  
4 Expand net metering to include physical and virtual  
5 aggregation. And of course this is where distributed  
6 generation comes in very importantly, enable retail  
7 energy management service competition to incent  
8 entrepreneurial and utility innovation. But it's going  
9 to be the entrepreneurial innovators that are going to  
10 bring this forward. AT&T knew all about cell phones and  
11 didn't want to touch it because they were in the black  
12 rotary dial phone business. They make a lot more money  
13 now in the cell phone business than they ever did in the  
14 black rotary dial phone business. But that was the  
15 status quo. This is not an indictment of utilities. It  
16 is the status quo and if I'm running a utility, I have  
17 to take money from my stockholders living within the  
18 rules as they exist. I can't jump outside of those  
19 rules so all of us come together and help lead this  
20 transformation. And require absolute operability as  
21 smart grid components. One of the biggest challengers  
22 that we have because missed, word quotes "missed", on  
23 this getting there has again there's a lot of pressure  
24 as we have over 250 standards that are now used across  
25 the industry which is the very opposite of

1 interoperability. You go back a 100 years, General  
2 Electric and Westinghouse as well all designed different  
3 design plugs for the wall. We have our design plug in  
4 your house than you can only buy stuff from house. But  
5 they pretty soon found that that was not a market  
6 advantage. All that did was limit the market. So we  
7 have to recognize the absolute interoperability for  
8 security as well as operational purposes must be done.  
9 The states have got to hold the fed accountable to get  
10 that job done quickly.

11           Wrapping up here. We have created what we  
12 call The Perfect Power Seal of Approval modeled after  
13 the LEED Building, smart building, and model to provide  
14 specific criteria and measuring levels for consumer  
15 empowerment, efficiency in environment, reliability and  
16 cost. And that's all on our website as galvinpower.org  
17 and so I would certainly encourage you to look at that  
18 and if you have constructive suggestions or criticisms  
19 you may have about what that is. That's been developed  
20 with a variety of different other organizations and we  
21 are jointly moving forward with this with Underwriter's  
22 Laboratory which is our partner in moving this whole  
23 process forward.

24           And I'll close by our book Perfect Power and I  
25 show that because this discusses this far more in-depth

1 than I did. I didn't bring those books along but I did  
2 bring a stack of these Electricity Revolution which  
3 discusses some points I talked about here and gives  
4 examples of both the pluses and minuses in different  
5 states. And Perfect Power—one of the criteria that Bob  
6 said when we started he said, "Kurt, this is your  
7 business. You go ahead and do it. One thing I'm going  
8 to hold you to is do not set a goal of anything less  
9 than perfection. Because anything less than perfection  
10 will simply settle you for mediocrity." So perfection is  
11 always over your head but if you're not reaching for  
12 perfection, when I played sports my goal was to win  
13 every time, not win 10 percent or 20 percent. I didn't  
14 necessarily win every time but that was my goal and we  
15 have to have the same thing here. Perfect power service  
16 must be the goal and we must all be absolutely committed  
17 to doing that. That is the only way that we'll get this  
18 country back on the road to progress. Thank you very  
19 much.

20 MS. KELLY: Are there any questions from the  
21 audience? Quite rousing. We have one question.

22 MS. KOROSSEC: Question from Stephen Davis.  
23 Stephen, your line is open.

24 MR. DAVIS: Hi. I'm Stephen Davis. Thank  
25 you, thank you Mr. Yeager. Quick question. Last year,

1 the State of Colorado passed what's called the Solar  
2 Gardens Act which I think is kind of in line with your  
3 thought process of enabling virtual ownership of solar  
4 shares of large solar arrays that are non-ambiguous to  
5 the property but within the serving area of your  
6 utility. What are your thoughts on the Solar Gardens  
7 Act?

8 MR. YEAGER: Well I am not an expert on it but  
9 what I do know is that it is definitely moving in the  
10 right direction and I'm glad to see that Colorado is now  
11 beginning to think about this and show some real  
12 leadership in this so that their experience that they've  
13 had recently is not left as an example that was a bit of  
14 a failure and so we want to make sure that all of these  
15 demonstrations are really effective. So I think they're  
16 on the right track. And again, Craig Lewis, who's been  
17 really active in Colorado as well may have some comments  
18 on this when he speaks this afternoon. Thank you.

19 MR. BROWN: Merwin Brown with the California  
20 Institute for Energy and Environment with the University  
21 of California. Hi Kurt. We've worked together many  
22 decades now and also share some of your vision on where  
23 this can go. The question though that I ask is that it  
24 seems to me we're fighting a considerable inertia,  
25 that's a reasonable inertia, which is the extent of the

1 investment that is out there to move quickly with a  
2 standard net investment and secondly there's the economy  
3 of increasing returns where it's easier, cheaper to just  
4 keep patching the old system rather than get a new one.  
5 And so what I guess I'm trying to say is that the vision  
6 is perhaps the right one, how do you get there from here  
7 quickly? I don't see how you make the revolution happen  
8 without, so to speak, a lot of people getting hurt in  
9 the process?

10 MR. YEAGER: Well, it is a revolution yes but  
11 I prefer the word transformation. The people—I see no  
12 people getting hurt if this is done properly. And I  
13 don't see that the infrastructure that we have is  
14 rendered obsolete. This is not a matter of ripping out  
15 the infrastructure that we have. It's fundamentally  
16 about moving from analog to electronic control. And  
17 then to sort of pry open the door so that you can use  
18 the internet to send the information back and forth to  
19 consumers. So it is an opportunity. There is no real  
20 infrastructure that is lost. What we can do, though, is  
21 save on the amount of new infrastructure that we have to  
22 build because we'll get a great deal more capacity out  
23 of what we have and we will not have to build the peak  
24 generation. Right now with the economy down and the  
25 utility's infrastructure a bit underutilized but I think

1 that when the economy does come back we have to start  
2 building new infrastructure and they're going to be rate  
3 cases which become a political third rail. I think that  
4 will move to more consumer empowerment than we have  
5 seen. I think that there is no real danger to—and we've  
6 been demonstrating that in communities in this matter  
7 and communities are doing it. They're doing it and then  
8 they're not going out and getting a lot of extra money.  
9 They're not necessarily getting DOE money. They're  
10 doing it because they have the means to do it and as  
11 long as they have long-term financing then they don't  
12 have to do anything to raise the bills for the consumers  
13 in the process.

14 Good. Well thank you so much for the time and  
15 the opportunity to speak with you. And like I said, I  
16 hope we've opened the door. Not that everyone will have  
17 heard or agree with everything that I've said but if I  
18 can urge you to think outside the box, challenge the  
19 status quo and I would certainly appreciate your  
20 critical feedback. If there are things that you really  
21 want to challenge, please do so. We're not here for  
22 anything except to help catalyze progress for our  
23 children's grandchildren. Thank you.

24 MS. KOROSEC: All right. We're running a bit  
25 late and so to rather than dilute what should be a good

1 inverter discussion with low blood sugar I'm proposing  
2 we take lunch now and return back at 1:00 for our second  
3 panel and we'll try to catch up in the afternoon. Thank  
4 you, everybody.

5 [Meeting resumed after lunch.]

6 MS. KOROSSEC: All right. We're going to go  
7 ahead and get started again. Thank you, everybody.

8 MS. KELLY: Okay. Welcome back from lunch,  
9 everybody. The message for this afternoon is less is  
10 more. Try to really make sure that you look at those  
11 presentations and get to the points that you want to  
12 make so that we have time for some discussion to include  
13 everybody. Okay.

14 COMMISSIONER PETERMAN: And maybe efficiency  
15 is the right word to use. Efficiency will be key here.

16 MS. KELLY: All right. Good. This next panel  
17 that we're going to have here is going to discuss  
18 Inverter functions to support the safe management of  
19 increasing amounts of local DG and storage on  
20 distribution systems throughout the state. This is  
21 really an important issue that was brought up in a May 9  
22 workshop here that having communications between the  
23 inverters and the distribution system was very important  
24 in Germany and in Spain and it's an important issue here  
25 in California. Frances Cleveland will moderate and



1 introduce this panel. Francis is the President and  
2 Principle Consultant for Xanthus Consulting  
3 International. She has been active and served on  
4 standard committees and working groups with the National  
5 Institute of Standards, NIST -You'll hear NIS mentioned  
6 enough to know what that stands for, National Institute  
7 of Standards and Technology. As well as the  
8 International Electro technical Commission which  
9 developed international standards. When you see these  
10 in some of these presentations you just have the  
11 abbreviation for that, the IEC, in front of all of those  
12 numbers. Frances?

13 MS. CLEVELAND: Good afternoon. It's supposed  
14 to be good morning but it is good afternoon. We also  
15 now have six presenters where we started off with four.  
16 I'd like to start off with indentifying the questions  
17 that we were attempting to present on and then some  
18 discussion items that aren't really presented but are  
19 open for discussion. So the first key one that probably  
20 most of the utilities will be addressing is what are the  
21 key distribution system operational challenges from high  
22 penetrations of distributed generation and storage  
23 including electric vehicles? The second part is there  
24 are a number of standards, won't go into the details,  
25 but how or will the IEEE 1547.8 which is the new

1 electrical connectivity standard in development, but how  
2 will that address interconnection standards challenges  
3 and what are the advanced inverter functions like the  
4 ones that are being proposing on the German grid codes.  
5 How are they being defined and what kind of challenges  
6 will those post? And what will the communication  
7 requirements be to make sure that all of this high  
8 penetration inverter based functions will need. So  
9 we'll also try to have discussion questions, because it  
10 always comes up, is the compensation for customers. If  
11 you're going to produce something other than watts. And  
12 then potentially get into some of the NIST standards,  
13 the five IEC standards, we'll see where that goes.  
14 Anyways, so those are the basic questions that we're  
15 being asked to sort of address.

16           And we'll start off with Bob Yinger of SCE.  
17 He is a consulting engineer, that's not a consultant,  
18 he's a consulting engineer working in the Advanced  
19 Technology Group at the Transmission and Distribution  
20 Business Unit at Southern California Edison. This group  
21 is responsible for researching and bringing into use new  
22 technologies for SCE. Bob?

23           MR. YINGER: Thank you, Frances. This  
24 afternoon I want to talk a little bit about some of the  
25 things that we're doing at Southern California Edison

1 and working with a lot of others, actually, across the  
2 industry and sort of some of the things that we're  
3 finding with inverters and high penetration of inverters  
4 because we actually are challenged with that right now.  
5 We have a program right now to put 500 megawatts of  
6 inverter-type photovoltaic units on our system and on  
7 our distribution system. And we sort of need to answer  
8 these questions now. We have an order of 28-29  
9 megawatts of those commissioned and online today. And  
10 it's growing.

11 But what I wanted to talk about was two areas.  
12 One is sort of transmission level impact areas and  
13 everybody talks about and you hear things about spending  
14 reserves and variability but there's a second piece of  
15 it that's overlooked which is how do you hook these  
16 things up to your distribution system. And I think  
17 that's a really important piece and that's the key issue  
18 that we're seeing first and foremost on the system today  
19 because as you get more and more of these PV plants  
20 involved and they, a lot of times, show up in clusters  
21 on a small number of circuits.

22 We went through a program of actually testing  
23 inverters and subjecting them to a variety of faults,  
24 transients and other typical kinds of things you'd see  
25 on a day in a life of the grid. And how did they

1 behave. Sort of the steady state questions are pretty  
2 well understood but those transient ones that, you know,  
3 in that one second or less type area are less well  
4 understood. We grouped sort of those issues we  
5 identified and those issues came out of the tests and  
6 some modeling we did after that. There's some  
7 protection issues, how do you protect the circuits  
8 electrically. And then there's the sort of engineering  
9 and designing issues which is sort of the steps you take  
10 before you install that system. There's the third area  
11 which is once you put those in operation. So what kind  
12 of issues do you encounter. And a little bit of a  
13 graphic here, and forgive the colors here, but we're  
14 looking for an easy way to identify which issues we  
15 think we've got issues around or things we need to do or  
16 things we need to get different answers to and then  
17 which ones we think going forward that we're going to  
18 have more trouble with.

19           And for protection issues that everyone is so  
20 worried about on the front end are probably not at the  
21 front end of our list in the areas of concern. We still  
22 do need to find out what our best solutions are around  
23 the overall circuit protection coordination. So how do  
24 you make sure that there's a fault on the little piece  
25 of the feeder or the whole feeder doesn't trip, only

1 that little piece does, you look a little bit at if  
2 there's an issue with reverse current flow. Many of our  
3 feeders that's not a huge issue at this point. We do  
4 have some where we may have to look at that probably  
5 these are the longer ones and the more remote rural  
6 areas. What happens—what are the fault currents coming  
7 out of the devices? How does that affect your breakers  
8 and your breaker ratings and those kinds of things, so  
9 we need to look at that. Some of the testing we're  
10 doing is helping us identify really how those inverters  
11 behave during a fault so we have good numbers for those  
12 studies. So when you have good numbers, you can do that  
13 studies. If you're kind of just reaching in the dark,  
14 you're in trouble.

15           The other two at the bottom of the slide, the  
16 ground fault detection. We know how to deal with that  
17 with other generators and sub transmission and  
18 transmission detection issues really are not a huge  
19 problem at this point because they are two way power  
20 flow systems in most cases today anyway.

21           From the engineering and design area, probably  
22 one of the chief areas we're concerned about is around  
23 the voltage regulation on circuits when you have a lot  
24 of these devices out on the end of a circuit, actually  
25 if it's a longer circuit with higher impedances, if

1 you've got a cloudy day and that sun is coming and  
2 going, you'll see your voltage winging up and down on  
3 the end of that circuit. There's another phenomenon  
4 that we identified based on some papers we saw and some  
5 tests we did. But if you have an inverter generating at  
6 full power and you go over and you just disconnect it  
7 from the grid, the investor side of that switch might  
8 see as much as two-and-a-half times voltage for anywhere  
9 from one cycle to four or five cycles. That's some that  
10 you can deal with but that requires some changes to the  
11 inverter control structure. So these are kinds of  
12 things that we're thinking about. Is the case really  
13 there that we're worried about most if you have, say  
14 eight or ten megawatts of generation on a circuit Sunday  
15 morning, you have one megawatt of load, car comes by and  
16 hits the pole, the wires are hanging over the street.  
17 Normally what we do is we go into the sub and open the  
18 circuit breaker on the circuit so that the crews can  
19 safely restore that power. If you do that, you're  
20 isolating more 10 megawatts of generation with very  
21 little load. You might cause over voltages to all the  
22 customers on that circuit. So this is definitely one  
23 area that we need to look a little more into.

24           Communication protocols. And I know Frances  
25 is going to talk about that. I'm going to skip over

1 that one for her.

2           Harmonic issues don't seem to be a huge  
3 problem. The inverters look pretty good, most of the  
4 ones we've seen. The one area—the one caveat to that is  
5 that we are starting to see frequencies that have pulse  
6 with modulation frequencies that are up in the 80<sup>th</sup>  
7 harmonic and higher numbers. Most power quality  
8 equipment doesn't go above the 50<sup>th</sup> or 60<sup>th</sup> so you don't  
9 even see these, you have to go looking for them if you  
10 know where to look. I don't think it's a huge problem  
11 but I do think we do need to start thinking about that a  
12 little more. Then there's the obvious design issue of  
13 conductor and transformer sizing which is something that  
14 you have to do for any generation or load on a circuit.

15           Systems operations. This is now once they're  
16 in service, we want to look at today we switch pieces of  
17 circuits around if they get too heavily loaded, we'll  
18 switch it on to a surrounding circuit. So now it's a  
19 little more complicated because you have generation out  
20 there that varies with time of day so you're going to  
21 have to plan a little better if I switch this piece of  
22 circuit over, you know pre-dawn, is it still going to  
23 work when the sun comes up or vice versa. If I switch  
24 it over during sunlight hours is it still going to work  
25 when the sun goes down.

1           We need to probably learn a little more on  
2 some of these larger inverters. We need to monitor  
3 those and again some others will address those.

4           Low voltage ride through is a transmission  
5 sort of problem but should be implemented down at the  
6 distribution system. And today's standards really don't  
7 allow you to do some of these things, the 1547 standard,  
8 so that's why when Frances mentioned 1547.8 is going to  
9 attempt to address those.

10           And then sort of the last one is remote  
11 switching capabilities. We may need to, for some  
12 reason, safety related or whatever need to section off  
13 some of those larger units. We know how to do that.  
14 We're trying to figure out how to do that at the least  
15 cost.

16           Inverter standards has been a major discussion  
17 and the volt VAR and the low voltage ride through are  
18 probably some of the critical issues. The original  
19 standard was developed around very disbursed units, kind  
20 of low penetration. Since we're moving beyond that, we  
21 go to the 1547.8 and when you start touching that, then  
22 you've got to go in and touch the underwriter's lab 1741  
23 which is sort of how you certify and test 1547 and then  
24 you probably have to go in and touch California Rule 21  
25 because it refers back to those other standards.



1           What's our ideal inverter? This is a laundry  
2 list that we've been putting together. This is by no  
3 means final but we think it needs to help regulate  
4 voltage. We think we probably need some fast  
5 overvoltage protection so avoid those spikes when you  
6 shut the inverters off. And manufacturers can do that.  
7 It's a software issue generally.

8           Fault current contribution. We need to come  
9 up with how we want that to look and again that can be  
10 varied.

11           Low voltage ride through. It's probably with  
12 high penetrations that you don't want to lose all of  
13 your generation at once. So you're going to need some  
14 low voltage ride through.

15           Maintain the low harmonic distortion that  
16 we've seen in the past. And potentially be able to  
17 curtail power level remotely. This comes out of the  
18 German code, you'll see that in there also.

19           Communicate in a standard manner to make it  
20 easier for us to integrate these into the system.

21           And then, the last one, is kind of an  
22 interesting concept. You want to be able to have these  
23 devices contribute to your system stability so if the  
24 voltage goes down you'd like them to maintain their  
25 power output and not have their power output go down

1 when you most need it on the system. So you'd like them  
2 to help support the grid opposed to being a load on it  
3 at all times.

4 So anyway, that's a really quick overview of  
5 some of the things that we've found. With that are we  
6 going to go to questions or the next person?

7 MS. CLEVELAND: So are there questions?

8 COMMISSIONER PETERMAN: I have a couple of  
9 questions but I'm happy to save them for the whole panel  
10 though as all of the utilities might be able to answer  
11 them.

12 MR. YINGER: Okay. Thanks.

13 MS. CLEVELAND: Okay. So we'll move on to the  
14 next speaker. Tom Bialek whom you've already met this  
15 morning is currently employed by the San Diego Gas &  
16 Electric Company as Chief Engineer on the Smart Grid  
17 Team. I will leave it at that.

18 MR. BIALEK: Thank you, Frances. I appreciate  
19 it. So I get the opportunity here to talk to you again.  
20 Probably expand a little bit more about when I spoke to  
21 you this morning.

22 I think one of the key points from SDG&E's  
23 perspective is the need to get ahead of this issue as  
24 opposed to a wait and fix it problem. The existing  
25 energy feed-in tariffs for large customers that are

1 installing one megawatt systems really have no  
2 requirements imposed on them. They basically  
3 interconnect, operate all they have to do is replace  
4 their meter technology if it doesn't already exists.  
5 Some of the graphs that you see are one of those  
6 systems. So the real challenge here is when we think  
7 about—we like to talk about cost causation what does it  
8 all mean—as a state and as a utility that's moving  
9 towards the future and we expect to see more of these  
10 devices the real question becomes what do we have to do.  
11 Do we as a utility actually put systems in place on our  
12 side of the meter? We can go out and buy equipment that  
13 Bob talked about and some of that equipment is  
14 available. And we can take care of that in a similar  
15 fashion as we do with capacitors today so that we can go  
16 invest in dynamic bar devices and potentially resolve a  
17 significant amount of issues. We would likely, in the  
18 end, go and do that and we could put it on circuits  
19 everywhere so now the question is that the best and most  
20 optimal solution so.

21 Same kind of things I talked about this  
22 morning. I'm not going to take a lot of time. Frances  
23 told me I had 10 minutes so.

24 Here's a little bit more detail. Here we kind  
25 of get into more of these things. Voltage fluctuations

1 and protection, operation, forecasting PV levels. I  
2 mean this is sort of alluded to a little bit in the  
3 morning but because it is an intermittent resource, a  
4 variable resource, the big key from an operational  
5 perspective becomes how do you forecast these things.  
6 What's the output going to be like? Both from an  
7 operational perspective but also from a capacity  
8 planning perspective. And I did kind of touch on the  
9 impacts on CVR. I know because this keeps coming up in  
10 presentations I've been involved in where consultants  
11 come and tell us if we just keep reducing the voltage  
12 everything will be fine. We'll have lower losses and  
13 more efficient systems. If you were to actually look at  
14 what these PV systems do at the end of the meter, they  
15 actually raise the voltage. And so the effect is even  
16 though you've put in place systems to actually operate  
17 under the 120-114 at the meter you're now being forced  
18 out of that range so there's some inefficiencies there.

19           Power quality, harmonics, flickers, load  
20 violations, kind of interesting but Bob talked about it  
21 as two-and-a-half per unit. That would likely be in  
22 form of violation and for those who don't know what that  
23 is that's basically a sort of industrial computer  
24 electronics standard that manufacturers are designing  
25 to. Now that's not to say that that one violation might

1 cause the equipment to fail but multiples would likely  
2 cause them to fail. And then issues around utility  
3 safety.

4           So I think to follow on what Bob said, we are  
5 doing a lot of different studies. We are concerned  
6 given what we've seen, and I'll show them again to you,  
7 but really what is going on from a transient perspective  
8 and being able to measure that because I think that  
9 really becomes the challenge here. If you were to go to  
10 the ISO and ask them today what is it that you're  
11 measuring or on transmission machine operators they'll  
12 tell you that they're measuring 60 metric values and  
13 they see how those vary up and down. Those are averages  
14 over a significant amount of time. That's the way that  
15 we've historically calculated it. I think that's not  
16 the only issue and so when you start looking, you start  
17 to see things and we start to see things and we start to  
18 get worried. And that's sort of where we are as we're  
19 trying to push this along. We don't want to wait.

20           So again same kind of data but here's multiple  
21 days of data. So the question is for any particular  
22 hour, how would you forecast this. And this is 10  
23 minute interval data opposed to one second data which is  
24 what you saw before. Those curves look significantly  
25 different as you speed up the assembly rate. The

1 question is how important is that? I think really the  
2 question becomes how important is the power quality  
3 ultimately to the end users.

4           Here's the existing Rule 21 so you've got  
5 these voltage trip settings. You come off and tell me  
6 how long you got. And you'll notice this greater than  
7 or equal to 106 but less than or equal to 132. That's  
8 in one operation. That's the normal operation software  
9 with no arranges. It's outside arranges that we provide  
10 service to our customers. It's also outside the VBR  
11 ranges. And we have looked at that from both a SEDEMA  
12 perspective but that does cause issues as well and  
13 flicker.

14           I mentioned this before but this is a really  
15 short version of the German PV experiments. I think  
16 while in general our systems are designed similarly one  
17 of the big fundamental differences between most U.S.  
18 companies and the German utilities, and maybe the  
19 European utilities for that matter, is really that most  
20 of these are prophase large capacity, large conductors  
21 of primary voltages, large service transformers with  
22 multiple customers connected to them. So we are  
23 nominally, you know, at 25 service transformers with 25-  
24 55 KVA. We're talking anywhere from 8-10 customers per  
25 transformer. In Germany for their transformers they're

1 talking about hundreds if not thousands depending on how  
2 big their transformer is. They are obliged to provide  
3 coupling for the PV connection and 25 percent of the  
4 cost is imposed on the distribution company. And if  
5 they must cover the rest they will. They talk about how  
6 they don't really talk about it in terms of PV, they've  
7 got other means that they use to justify the project.  
8 They are not in any granular measurement of current.  
9 And, interestingly, you don't hear this too much but  
10 they do have voltage regulation issues on the secondary  
11 network. The same issues that we're starting to see.  
12 Low voltage, high PV output and signs of fluctuations.  
13 Their solution is, similar to one of our solutions, they  
14 need upgrades. From that, if you take a look at their  
15 experience and what they've done, they've got their new  
16 draft code and it's really looking at requiring PV  
17 systems to support the grid. And ultimately look at how  
18 the upgrades minimize cost.

19           Looking around dynamic grid support. So Bob  
20 talked about this.

21           Active power control and reactive power  
22 control. So today that energy metering, everybody has  
23 their own set of unity power factor, max power point  
24 tracking and they're pumping out as much as they can  
25 because they're incented to do that. That's what the

1 tariff does.

2           So as we talk a little bit about what we think  
3 about smart grid and the future part of that answer gets  
4 to be what does that tariff look like and should you  
5 change the tariff. It shouldn't just be a kilowatt or  
6 per kilowatt hour tariff. Should it be a kilowatt hour  
7 and a kiloVAR? And basically can we have the customers  
8 remain neutral from the revenue perspective?

9           There are very specific requirements that are  
10 being in this code. These can all be programmed into  
11 your inverter and that's the beauty of the inverters.  
12 There's software behind it and as long as you know what  
13 to program into it, guess what, you can plug it in there  
14 and have it operate the way you want. And that's  
15 actually a good thing. We believe that, ultimately,  
16 from a smart grid operational efficiency perspective  
17 that's something we're definitely going to require. But  
18 we've also realized that there are various methods to  
19 provide that reactive support and so I'm doing more here  
20 than someone from the front office. There are various  
21 methods of providing those VARs but the key here is that  
22 you are now, as opposed to a single entity power factor  
23 controlling the inverter. They're now talking about  
24 quadrant control. So to the point that, I think, we  
25 talked about it this morning, we talked about dynamic



1 pricing, dynamic pricing becomes key to having customers  
2 participate but you also have to have the appropriate  
3 demand response programs which we ultimately believe  
4 will ultimately be pricing based.

5           And then from a liability and safety  
6 perspective there's a lot of discussion around  
7 synchrophasors, discussion around commission-based  
8 maintenance. One kind of interesting thing here is that  
9 is weather integration forecasting abilities. As we  
10 move forward, you think about what you're really asking  
11 the grid to do. You're asking the operators to control  
12 the grid and respond to it and resources that are  
13 controlled by how much wind is blowing and how much  
14 cloud cover you have. And so the whole idea of weather  
15 station integration and forecasting abilities is part of  
16 the overall sort of smart grid perspective is actually  
17 very important. How can we couple energy storage?

18           All sorts of other technologies. We're  
19 looking at various things. One of the things I'd like  
20 to point out here is that we're spending a significant  
21 amount of time doing power quality field measuring and  
22 analysis where we are looking at one second data and  
23 tenths of a second data on certain circuits with PV on  
24 it. One of the other things, I think one of the  
25 questions is what are you doing, have you actually

1 looked at anything. We actually just—we're in the  
2 process of signing a contract with General Electric to  
3 actually put in a dynamic VAR device or that one  
4 particular circuit where we do have issues and do  
5 evaluations of both modeling as well as measurements to  
6 see how well does that help us integrate that particular  
7 set of renewables.

8 I think in summary from SCE's perspective, and  
9 Bob talked about this as well, inventing rules and  
10 requiring modifications accommodate high PV penetration.  
11 If we don't do that we're going to be left with a  
12 scenario where it's all going to be 12,000 megawatts of  
13 PV and unity power factor and that's the last thing that  
14 we really need.

15 The draft standards can be like today.  
16 Actually field measurements and modeling are important.  
17 We really should leverage, it makes no sense not to  
18 leverage, less learned in all the European countries.

19 And then one thing as I point out here, and  
20 may make you scratch your head, when all these devices  
21 go off, they're all set to go back on at the same time.  
22 So now imagine that you have 12,000 megawatts of some  
23 generation device, it turns off. Okay. But then it also  
24 all comes back on maybe five minutes later, exactly five  
25 minutes later because that's what they're all instructed

1 to do. So now the grids going to sit there and bounce  
2 all over the place. So the reality is that there's some  
3 additional functionality that actually needs to be built  
4 into the system and with that I will stop.

5 MS. CLEVELAND: Any questions for Tom? We'll  
6 wait. Okay. Our next speaker will be Jeff Berkheimer  
7 from SMUD. He is the Project Manager in SMUD's Research  
8 and Energy Group working on distributed generation and  
9 storage projects. These projects focus on the  
10 evaluation and demonstration of new generation and  
11 storage technology and how to integrate these  
12 technologies into existing distribution systems  
13 infrastructure and design. Thank you.

14 MS. MACDONALD: Thank you, Frances. My name  
15 is Rachael MacDonald and I just wanted to mention a  
16 little bit on the agenda change. I apologize for any  
17 confusion this may cause. We asked SMUD to specifically  
18 present on their PV inverter work and so we're going to  
19 have them on this panel as well just to have them speak  
20 on the next panel as well, on the POU discussion.

21 MR. BERKHEIMER: Yeah, so I heard less is more  
22 so I'll try to keep this moving along here. So  
23 basically from a distributed generation and specifically  
24 a storage and PV integration standpoint, for SMUD when  
25 you talk about DG we're basically talking about solar.

1 So most of this is going to be based around that.

2           The role of SMUD in PV's future, we have about  
3 20 megawatts installed today with a goal of 130  
4 megawatts net meter by 2016. Last year we rolled out a  
5 feed-in tariff program that was very successful. We had  
6 a 100 megawatts fully subscribed basically within two  
7 weeks of opening the project. So that was really  
8 helpful.

9           Kind of forecasting forward what we expect our  
10 PV contributions to be on our distribution system going  
11 out, this just kind of shows going out to 2013 that  
12 we'll have about 170 megawatts total.

13           Right now from a resource planning, an  
14 integrated resource planning, standpoint one of the  
15 scenarios we're actually looking at is to have possibly  
16 500-800 megawatts of solar. It's not necessarily that  
17 this is the preferred integrated resource plan but it's  
18 definitely something that our distribution engineers and  
19 the company as a whole have to look at and say how would  
20 we be able to integrate this quantity of distributed  
21 generation of PV into our system and what are the risks  
22 and rewards. Certain solar industry reports are talking  
23 about grid parity being possible within 5-10 years so  
24 the technologies are really going to come down in price.  
25 We have a total commercial rooftop potential of over

1 1,000 megawatts and our total brown field and green  
2 field potential in Sacramento is many times of our  
3 energy need as a whole.

4           This graph, I think you guys have seen quite a  
5 few times, but it basically shows typical PV production  
6 and then typical system peak production, especially for  
7 a utility like SMUD. We take good solar production but  
8 the problem is like most other utilities is that it's  
9 sometimes like four or five hours before our system can  
10 peak. While that's great, we would really like to find  
11 a way to bridge that gap and bring it more on system  
12 peak so that we can get the whole benefit of that  
13 generation. The bottom part of this is just showing  
14 some typical graphs from partly cloudy conditions to  
15 partly clear conditions and the resultant intermittency  
16 that some of these PV rays can have. So this really  
17 speaks to the nature of if you had high penetration of  
18 PV on your circuits, it's not necessarily a resource  
19 that you can count on like typical generation. It's  
20 something that you have to recognize that can drop off  
21 significantly in a short period of time.

22           Current expectations is of up to 50 percent of  
23 our PV system output can be lost within a minute. That  
24 would be devastating if you have half or 75 percent of a  
25 feeder load being served from PV production and it's a

1 short feeder and intermittency of cloud cover would  
2 affect a lot of your solar rays at once. Just as an  
3 example, 250 megawatts would result in a loss of 125  
4 megawatts within a minute. Our resource planning  
5 requirements wouldn't be okay with this, this is too  
6 high of a level of production drop. And the minute-to-  
7 minute load fluctuations at SMUD are currently much  
8 smaller of down to 10-20 megawatts.

9 Correlation of disbursed large systems are not  
10 currently well known but SMUD is doing a lot of work  
11 right now of trying to study this. We've been  
12 installing a five kilometer grid of solar irradiance  
13 center across our entire distribution system and we're  
14 collecting 15 second data right now on it but just to  
15 kind of match that up with actual solar production data  
16 to get a feel for what is the correlation and  
17 coincidence factor from a drop in PV production amongst  
18 certain PV systems within our system.

19 The importance of variability. Like I said,  
20 this just kind of shows that when you aggregate multiple  
21 PV sites your variability is better or not as bad as an  
22 individual site but it can still be significant.  
23 Especially on a feeder by feeder or a substation by  
24 substation basis, it's something that we're looking at.

25 Near-term integration issues. Obviously

1 evaluating the impact of these variable resources on  
2 distribution feeder voltage levels. SMUD has all the  
3 same technical issues that you're going to hear from all  
4 the other utilities here. We're concerned about voltage  
5 levels probably predominantly but reverse power flow and  
6 some of the other things.

7 Validation of caps on capacity on feeders at  
8 100 percent of minimum daytime load. Right now there's  
9 not a good common agreement amongst the utilities on  
10 what the appropriate penetration levels are. So a lot  
11 of the work we're going is going to determine is it 100  
12 percent of minimum load and some of the other rules of  
13 thumb that you've heard of.

14 Identifying and testing appropriate mitigation  
15 strategies to accommodate higher penetrations on  
16 feeders. So this is really where the storage and solar  
17 forecasting components come in. Where can we allow  
18 higher levels of penetration about 100 percent if we can  
19 guaranty that we can control the ramp rates and kind of  
20 fill in the sudden losses of PV production with energy  
21 storage or some other technologies? Or curtail output  
22 when we know it's going to be a very intermittent  
23 production day to kind of minimize the voltage impacts  
24 when cloud cover comes through.

25 And then identifying priority areas and limits

1 for PV on a distribution system. Obviously, there's  
2 going to be some areas where you don't want intermittent  
3 generation just because of the sensitive loads that  
4 might be in the area.

5           The medium term integration issues for the  
6 volt VAR system are obviously evaluation of the variable  
7 impacts on regulation requirements. Forecasting the  
8 error impacts on the ancillary service requirements and  
9 associated costs. And then your redesign of your  
10 distribution system as a supply source to volt VAR power  
11 system.

12           And then the next couple slides are actually  
13 the more interesting, I think, of the presentation. So  
14 this is talking about some of the specific  
15 demonstrations that we have going on right now. SMUD  
16 has a subdivision out in Rancho Cordova called the  
17 Anatolia subdivision where every single home, right now  
18 there's about 275 homes that have been built. It'll be  
19 closer to 600 when it's finish, but every single home  
20 has high building efficiency measures and solar arrays  
21 on their rooftops from 1.9 KW up to 4.8 KW. And in  
22 these homes what we're looking at is we know that  
23 there's certain times of year, certain times of the day  
24 that a net generator is actually sending power back to  
25 our distribution system. So what we wanted to do was go



1 out with some storage demonstrations, specifically for  
2 the lithium ion batteries at both the residential energy  
3 storage level and also the community energy storage  
4 level and figure out how effective is it to use these  
5 energy storage devices to firm PV output through—from  
6 the intermittency and then also to try to do some  
7 smoothing, some renewables of energy time shift to  
8 establish how easy is it to communicate with these  
9 inverters at the energy source devices to change modes,  
10 to put it in from a peak savings mode to a firming mode.  
11 And if we're getting too much production and we want—we  
12 decide that we want to use these batteries to charge and  
13 kind of add some load to the system, you know, how  
14 efficient is that?

15           And then a second component to that pilot,  
16 which kind of goes along with the advanced inverter  
17 communications panel that we're doing right now, is that  
18 we're going to be looking at our ability to use our  
19 existing AMI communication infrastructure to talk to  
20 these inverters, which are behind the customer panel and  
21 customer meters, as if they're another distribution  
22 device. We want to know is it a simple matter of  
23 inserting a network interface card and sending basic  
24 signals to try to change the mode of the inverter to  
25 curtail output? And put it into standby mode? It's not

1 a very clear-cut question among SMUD and some of the  
2 utilities that we've talked to as to whether or not  
3 these will be easily integrated to look like another  
4 data point on our AMI system or if you truly have to  
5 install a secondary communications system to talk to  
6 these devices.

7           And, obviously, that would allow you to talk  
8 to your generation and your storage devices as actively  
9 controlled rather than just a passive device on the  
10 grid.

11           The second demonstration that we're doing is  
12 with two half megawatt, zinc bromine flow batteries, and  
13 one of these flow batteries is being installed on that  
14 same Anatolia circuit. It's connected directly to the  
15 feeder, just above the entrance to that subdivision.  
16 The intent here is looking at we're going to contrast is  
17 it more effective and more efficient for the utility to  
18 try and firm PV output on an individual home basis with  
19 residential energy storage or on a community storage  
20 basis aggregating 8-10 solar arrays from homes or from  
21 the feeder basis here were we're actually going to be  
22 monitoring power flow on the feeder and controlling the  
23 device from that regard. Again, we're going to be  
24 looking at the ability to talk to the advice and put it  
25 in different modes, control it actively, have it

1 possibly receive weather data, solar irradiance data and  
2 try to firm PV output from that versus actual monitored  
3 data. And then, obviously, the other typical use cases  
4 of peak load reduction and load shifting.

5           A project that SMUD has been working on, the  
6 second one, is the Sacramento Solar Highway Project.  
7 We'll be building 1.4 megawatts of PV and concentrated  
8 solar along two different sites along the U.S. 50  
9 corridor. In and of itself, that wasn't overly exciting  
10 in the R&D arena but we got an augmentation to the grant  
11 were we're going to be able to work with Sac On and A123  
12 to test out some of their advanced inverter technologies  
13 and, again, the lithium battery storage system. So you  
14 can kind of see the bottom left here on the diagram a  
15 single DC bus going through a single inverter. The  
16 inverter improves solar harvest by a good 5-12 percent  
17 over the standard inverters. We're going to be looking  
18 at using the storage and this common inverter to  
19 minimize the impacts of variability. Again, controlled  
20 ramp rates, voltage regulation, voltage sag mitigation  
21 and peak load shifting so this is just kind of another  
22 site location to look at for large scale solar and  
23 energy storage integrated in one unit.

24           And then coming down the line, some of the  
25 projects that we're looking at right now and considering

1 for future demonstrations are automatic voltage control  
2 technologies to mitigate volt fluctuations. This is  
3 back to the conversation of truly what does it do when  
4 you have these inverters that aren't going to be  
5 operating at unity power factor and can actively be  
6 providing VARs to your system to flatten and minimize  
7 voltage fluctuations. We really want to take a look at  
8 the benefits of less volt fluctuations versus the  
9 possible negative impact of having quick and  
10 uncontrolled, or less controlled, volt flow coming back  
11 on our system.

12 Voltage sag and swell ride through. Again  
13 this goes back to the discussions that we were just  
14 having about the German standards in transmission and  
15 that you wouldn't want everything just dropping off for  
16 momentary sag.

17 Over and under frequency ride trough and then  
18 dynamic VAR support. So these are—I think all of the  
19 utilities in the room have beat these issues or talked  
20 about these issues enough. I forget this was being  
21 recorded.

22 [LAUGHTER.]

23 So that's all I have today.

24 MS. CLEVELAND: Okay. Thank you. So now  
25 we're going to go on to a couple of companies that have

1 been involved in some of the standards to try and  
2 address some of these issues. The first one is, and  
3 they're both virtual people, so we'll have to bear with  
4 that.

5 COMMISSIONER PETERMAN: I'd like to ask some  
6 questions of these panelists before we move on to them.  
7 Thank you very much. Just a couple of quick questions.

8 First of all, Jeff. I'd like to thank you for  
9 mentioning the PIER grant. Again, we are trying to do a  
10 lot of work in this area and I'm glad that we can be  
11 supportive.

12 My first question not only pertains to the  
13 appropriateness of the existing inverters we currently  
14 have or use in the state in terms of being able to have  
15 the characteristics of the qualities that were mentioned  
16 in a couple of presentations. But specifically to get  
17 at, will we have to upgrade these inverters and is that  
18 possible through a software change or are we required to  
19 change out the infrastructure going forward as we expect  
20 to have new standards in this area. And then about what  
21 time do we expect to have them and what does that mean  
22 for what we currently have installed? And then I'll  
23 just reference in particular Bob, your slide 8 that  
24 contemplated inverter characteristics and if you could  
25 just speak to the current technology.

1           MR. YINGER: Okay. Let's see if I get the  
2 laundry list right here on questions. We feel that  
3 today a lot of inverters do not have the features we  
4 want out there for high penetrations. Now today we're  
5 not generally at those high penetrations yet although  
6 we're getting close on some of our circuits. The good  
7 news, and I think Tom talked about it, is these are soft  
8 of a software driven piece of equipment generally. And  
9 you can, a lot of times, go in afterwards and make some  
10 modifications that don't involve changing out the  
11 hardware but putting in a revised version of code there.  
12 Sort of a revision of the software and get a lot of  
13 these features. One example we had is if you look at  
14 this overvoltage problem that went on for several  
15 cycles. We told the manufacturer and he said, "Oh.  
16 I'll send you a new version of code and it will fix  
17 that." We downloaded that and then it looked a lot  
18 better.

19           So I think the changes can be made over time  
20 so we have some slack there, a little bit, but as Tom  
21 also mentioned we'd like to get in front of this problem  
22 rather than start and then have customer problems we  
23 have to react to. So the more we can do now on the  
24 front end the better off we'll be in addressing these.

25           Did I get all of those?

1                   COMMISSIONER PETERMAN: You did. Just an  
2 observation, as we're talking about inverters, we have  
3 the very small 2 KW systems on a house and we're also  
4 talking about systems that may be 20 KW on the utility  
5 side. And then on the characteristics and issues. Some  
6 of them seem to me that they would be more of a problem  
7 with the larger systems than the smaller. As you  
8 provide additional comments, it would be helpful for you  
9 to touch upon those different markets.

10                   And then, my second question is related to  
11 Tom's presentation. You talked about the German grid  
12 code. Just looking at the quality of the code that you  
13 highlighted, I was wondering if you'd be able to speak  
14 to how different it is from our existing code and this  
15 might be something that Frances could contribute to as  
16 well.

17                   MR. BIALEK: Sure. Well, what I tried to show  
18 in the end was for the actual algorithms that actually  
19 exist today and exist in inverters, they are pretty much  
20 driven by certain percent levels, again, as it's  
21 software driven. They'll monitor what's going on based  
22 upon those tables and decide what to do. Basically  
23 they're offline and how long they'll remain offline.  
24 What you're really asking the inverters to do in this  
25 particular case is be more of a contributor to trying to

1 maintain the reliability of the grid as opposed to  
2 automatically tripping off to protect the inverter. So  
3 low voltage ride through is an example of where you're  
4 really saying as the voltage of the grid drops, if it's  
5 not corrected then ultimately you'll start to get large  
6 generation systems flipping offline. And so anything  
7 that you can do to present that, to the extent that  
8 that's feasible, is a good thing because they'll reduce—  
9 they'll help impact the potential for significant large  
10 cell back up. And so that's what these additional  
11 functionalities do. They're really trying to provide  
12 some additional capabilities for the grid. If you think  
13 about that, as I said earlier, if you install 12,000  
14 megawatts of PV that has just simple unity power factor  
15 of on / off functionality and then when that happens,  
16 it's going to be a real problem. However, if it has  
17 this additional functionality then at least it can  
18 operate pretty consistently at what is required of these  
19 energy generators today. And to one of your points,  
20 ultimately from the size perspective, yes size does  
21 matter and so you can argue that the Germans actually  
22 control 100 KW and above systems. You can get to a  
23 point where you can say for the larger systems, I want  
24 communications, I want control, I want more  
25 functionality. However, what you can also say is for



1 these smaller inverters, because they'll be a  
2 significant number of them, I want them to operate  
3 slightly differently from what they have in the past and  
4 you can incorporate some characteristics that actually  
5 allow them to be much more supportive of the grid on  
6 very local levels.

7 COMMISSIONER PETERMAN: Thank you. That was  
8 very helpful.

9 MS. CLEVELAND: Okay. So we'll now move onto  
10 the first NREL and then EPRI with respect to this. So  
11 Ben Kroposki is with NREL from the National Renewable  
12 Energy Laboratory. He manages the Distribution Energy  
13 Systems Integration Group at NREL. His expertise is in  
14 the design and testing of renewable and distributed  
15 power systems with a focus on photovoltaic systems and  
16 grid integration. He has served as Chairman of the IEEE  
17 1547.4, which is another one of these standards and that  
18 was for the guide and operation, and he's also been  
19 involved with 1547.1 but today's he's going to discuss  
20 basically the draft process that we're working to go  
21 through 1547.8. So. I'll let Ben start talking.

22 MR. KROPOSKI: Okay. So let me know if you  
23 can hear me properly.

24 MS. KOROSK: Yes, we can hear you just fine,  
25 Ben.

1           MR. KROPOSKI: Okay. Then I guess I'm going  
2 to need someone to start turning pages for me. Please  
3 go ahead through the next four slides. This slide is  
4 just to highlight the concerns that utilities have with  
5 high penetration of distributed generation. I think all  
6 the utilities know these pretty well so we won't go  
7 particularly into a lot of detail on these. Onto the  
8 next slide, please.

9           Okay. So inside IEEE 1547 and this is  
10 actually a series of standards starting with the initial  
11 standard 1547 gives interconnection request requirements  
12 for installing distributed generation on the grid. And  
13 these are pretty much a standard rule that utilities  
14 have adopted on how to interconnect distributed  
15 generation. Dot one gives us procedures around those  
16 and you can see from the dates on those, 2008 that 1547  
17 was reaffirmed and that 1547.1 is actually up for  
18 reaffirmation this year and we're in that cycle. So  
19 every five years these standards must be revalidated and  
20 reaffirmed.

21           One step that we'll really get into today is  
22 of the current projects and one that I'll just mention  
23 really quickly is 1547.4 was just validated and approved  
24 as of last week. So that's moved from a current project  
25 to an actual standard. And I think if you hit the

1 button one more time we have a couple of other standards  
2 that are in the works, .5, .6 and .7 but 1547.8 just  
3 started last year and I'll kind of talk about where we  
4 are in the progress on that standard. So go to the next  
5 slide.

6 Okay. So 1547.8 is really a draft recommended  
7 practice that looks at how to supplement the use of  
8 1547. So 1547 is very detailed and is a very specific  
9 requirement with how to interconnect distributed  
10 generation. And as we've talked about higher  
11 penetration levels, there are things inside 1547 that  
12 don't always make the most sense for when you go to very  
13 high penetration levels. And so 1547.8 is a standard  
14 that's really looking at how do we identify what those  
15 potential issues are and start to make progress toward  
16 making the standard really more friendly for higher  
17 penetration levels. Next slide, please.

18 Really the intended audience of 1547.8 is  
19 looking at the utility planning engineers also there are  
20 federal agencies that use these standards. The  
21 equipment manufacturers because they really would like  
22 to have standardized requirements to build the products  
23 and then there's distributed resources, developers and  
24 owners. Next slide, please.

25 So right now, the way this standard is being

1 designed is that it is going through and sort of  
2 reflecting the 1547 clauses. So there's specific clause  
3 requirements within 1547 and .8 looks at each of those  
4 clauses and then tries to develop methodizations on when  
5 you have high penetration of distributed generation how  
6 does the standard need to be adjusted. And really it's  
7 intended to make PV and other generation systems utility  
8 friendly. You heard from discussions from the utilities  
9 on where they see those ideas going and so they've been  
10 very helpful working with the standards organizations to  
11 get those implemented into the standards. And really,  
12 we're looking at how do we incorporate this advanced  
13 functionality into the inverters themselves. Okay. Go  
14 to the next one.

15           So just as a practice of focus in 1547.8 and  
16 you can see a lot of commonality with what has been  
17 discussed in terms of issues with high penetration  
18 levels and what we would like to see inverters start to  
19 be able to do. The topics deal with things like voltage  
20 regulation, the monitoring and communication aspect, how  
21 do you really respond to these abnormal utility  
22 conditions, what kind of power quality do you need,  
23 coordination with other certifications and installation  
24 guides. And the reality is how do you make sure that  
25 the distributed generation, when there's problems on the

1 grid, is available to help out the grid because of the  
2 fact that there's such high penetration levels. Okay.  
3 Go ahead to the next slide.

4           So we've been working with EPRI and I think  
5 EPRI is up next to talk a little bit about some of the  
6 advanced inverter functions that they're planning on  
7 incorporating. And these are also getting addressed  
8 within 1547.8 so that we can look at what type of  
9 advanced inverter functionality is needed and how do we  
10 make the requirements for manufacturers to start  
11 building products that will conform with our standards.  
12 So this is set up for phase one. You can go ahead to  
13 the next slide.

14           This is kind of looking a bit further out in  
15 terms of phase two. But EPRI has done a really good job  
16 in terms of defining what the function should be and  
17 then trying to come up with a way to get these  
18 management integrated into inverter technology. One  
19 more slide here and the next one.

20           Just kind of a status of where we are. This  
21 one is on a pretty fast track and we're working with  
22 NIST who's trying to speed this standards process up as  
23 much as possible. We had a kick-off meeting basically a  
24 year ago and a second meeting where we had our first  
25 draft document in February. For the first draft

1 document, we already had a 91 page sort of resource  
2 draft created. So we do have a working document that's  
3 starting to get a lot of discussion around it. We've  
4 planned on having our next meeting on 1547.8 the first  
5 week of August. And we're trying to push this through  
6 the standards process as quickly as possible,  
7 understanding that the standards process does require  
8 consensus and to get an approved standard it normally  
9 takes a few years. So it can range from a couple of  
10 years to five years which is about what it took us to  
11 get the original 1547 done. You can start using draft  
12 standards. And that's one of the things that I would  
13 recommend sort of that the community and especially  
14 California and the utilities take a look at which is  
15 what can we start to do now that would help us make this  
16 a better standard in the long run.

17 So with that I'm done with my presentation.

18 MS. CLEVELAND: Okay. Do you have any  
19 questions? Okay. So we'll move on to then next EPRI.  
20 We have here physically Don Von Dollen from EPRI but the  
21 presentation will actually be made by Brian Seal. Brian  
22 Seal is the Technical Executive at EPRI and he is the  
23 manager of a project for inverter functions involving  
24 utilities, vendors, integrators including Germans who  
25 call in, believe it or not from Germany once a week or

1 once every other week. So this has been a tremendous  
2 effort and Brian will tell you some more about it.

3 MR. SEAL: Okay. Thank you, Frances. Can you  
4 hear me okay?

5 MS. KOROSSEC: Yes.

6 MR. SEAL: Okay. Great. I appreciate the  
7 opportunity to be able to share with you, I wish I could  
8 be there in person but travel limitations wouldn't allow  
9 it, but if you could just go to the next slide.

10 Just very quickly the perspectives, I think I  
11 can make up some of the time and then save it for the  
12 question session, but just for perspectives that EPRI  
13 has to share really come from a broad spectrum of  
14 research with a lot of different utilities so we get to  
15 work with some that are already dealing with high  
16 penetration systems and aggressive RPSs and some of them  
17 who have none at all and very few signs of solar high  
18 penetration appearing in their area. Also, our work  
19 with the Smart Inverter Initiative turned out to be the  
20 right project at the right time and has engaged a large  
21 number of individuals and has enabled us through surveys  
22 and prioritization workshops that we've done to really  
23 gain a lot of insight into what's needed from the  
24 utility side and also what's possible from the inverter  
25 manufacturer side. And by really overlying those two,

1 we were really able to, through this consensus project  
2 really come up with a prioritization list. So that's  
3 where that phase one and phase two list came from.

4           We have a dedicated research project or  
5 program within EPRI that is dedicated to distributed  
6 renewables integration. And it is of high interest and  
7 very much of a hot button issue for us looking at the  
8 advanced functionality of the devices but also a lot of  
9 system simulation, distributed modeling and simulation,  
10 so that before we even have these advanced  
11 functionalities built we can simulate devices that would  
12 have those capabilities and then model what their  
13 response would be on systems. Go ahead, next slide.

14           So the first perspective is that communication  
15 connectedness is key. We found that, particularly  
16 within the U.S., utilities did not have much interest in  
17 advanced functionality of distributed inverters unless  
18 there was a communication connection to those devices so  
19 asking what would you like those systems to do, how  
20 would you like those systems to behave when you cannot  
21 communicate with them there was not much interest.  
22 Basically the existing 1547 rules be quiet, disconnect  
23 if anything does go wrong but when you add the  
24 communication connectedness and the ability, or the  
25 authority, to reach out and reconfigure and manage those



1 devices then immediately you end up with a long list,  
2 like the ones we've seen from Tom and Bob and Jeff, just  
3 this long list of potential functionalities that are of  
4 great interest. Next slide.

5           So we began our work thinking about  
6 communication protocols. We looked at the gap that was  
7 initially identified was the lack of standards in the  
8 area of communications protocols but as we began to move  
9 down that road we ran into this problem of lack of  
10 uniform functionality. It was sort of enlightening, at  
11 least for me, that in the metering areas and other areas  
12 where we had worked with communication standards the  
13 functionality or the capabilities of the devices were  
14 fairly well defined. What we found in this area of  
15 smart distributed resources is that all the vendors have  
16 capabilities that are grid supported. They all have  
17 communication capabilities but they all implement these  
18 things in different, generally proprietary, ways. So  
19 when you aggregate multiple sizes of system, multiple  
20 types of devices back to the system operator it's quite  
21 unusable. So we ended up coming back first and said the  
22 conversation we have to have is about common  
23 functionality. What are some of the services that could  
24 be supported by a wide number of devices in a uniform  
25 way? Next slide.

1           So a perspective here, and this is based on  
2 our demonstration projects and also on our extensive  
3 modeling work, and this is probably looking a little  
4 further down the road than the current problem that you  
5 face. We would suggest that distributed resources,  
6 particularly smart inverters, can become desirable  
7 distribution system resources. Not just tolerated in  
8 high penetration but actually beneficial because of  
9 their ability to respond not just to communication in  
10 the wide areas but also to voltage infrequency locally.  
11 Perhaps a little bit of storage mixed in but also demand  
12 response and together we believe these things can really  
13 provide, in the distant future, benefits to the systems.  
14 Next slide.

15           So just a point to throw out there. In the  
16 integration, the communication integration, which is  
17 certainly very lacking today does not necessarily have  
18 to be high bandwidth. So one of the most valuable  
19 things that utilities brought into this discussion over  
20 the last few years has been an emphasis on high  
21 performance and high functionality of the devices but  
22 not requiring high speed communication to perhaps tens  
23 of thousands or hundreds of thousands of devices in the  
24 field. The way the work has been carried out, that  
25 looks to be completely possible by having more

1 autonomous behaviors that are really conferrable at any  
2 time but also manage their own affairs intelligently  
3 based on local frequency and voltage. Modes of  
4 configuration so that you can fast reconfigure large  
5 numbers of devices between preconfigured behaviors you  
6 can switch them from mode A t mode B in coordination  
7 with switching equipment with capacitor banks or other  
8 traditional distribution equipment. We would suggest  
9 that AMI and SCADA systems, of the kind that we're  
10 familiar with today, are suitable for integration of  
11 these types of devices sort of like we heard from the  
12 experimentation being done at SMUD.

13           So this is a list of key functionalities.  
14 We've seen several of these so I won't belabor this.  
15 Just one point on the asterisks. Some of these  
16 functions do have question marks tied to them where  
17 there are potential customer sensitivities and we talk  
18 about smart volt VAR management but inverters can only  
19 make VARs to the extent that there's overhead available  
20 so do we intend for them to reduce their watts  
21 generation in order to do VAR support. Certainly watt  
22 volt management would relate to that. Curtailment of  
23 any kind, really, relates to asking the question of what  
24 is the incentive, what is the policy, what is the owner  
25 of the assets reasons for participating in these things.

1 Certainly a gap going forward. Next slide, please.

2 Okay. And I think this is my last slide. So

3 of course continued work is needed. And just teeing up

4 a few things here, one I just mentioned. The

5 manufacturers and the owners have to understand why

6 their projects should be grid supportive. What's the

7 value proposition for them? Standards work has to

8 continue. We feel that we just scratched the service in

9 this area. Most of the work has been at the table, not

10 in the field, so there are question marks across the

11 board regarding the way the functions have been

12 implemented. The transient nature of their behavior.

13 One thing that is very interesting, and it relates back

14 to my initial slide about communications being key, the

15 German grid codes did not presume communications in many

16 ways. They worked very hard at identifying specific

17 behaviors and then codified those by requiring inverters

18 behave a certain way. In the U.S. what we see is less

19 confidence in a specific configuration and instead an

20 immediate need or an immediate interest in having

21 configurability of those behaviors and then the

22 communication connecting us back to the central office

23 so that over a period of time we can perhaps discover

24 whether there is a single configuration or behavior that

25 really could be baked into a product out of the box that

1 did the desirable function for its lifetime. Today, at  
2 least in the U.S., we don't seem to have any confidence  
3 that we know what those settings would be and maybe we  
4 could have some discussion about that. We see a  
5 significant gap back at the central office. We spent a  
6 lot of focusing on the devices themselves, how do we  
7 make inverters smart. How do we make them communication  
8 capable? But when we get back to the central office  
9 where we're trying to coordinate those behaviors along  
10 with the switches and capacitor banks and line  
11 regulators that we already have, there hasn't been much  
12 work in that area and we think that's been a gap. And  
13 then the last bullet there, we already had someone  
14 already mention there about islanding being may be  
15 needed with certainly high penetrations of traditional  
16 unintentional island techniques are more and more likely  
17 not to work with the smarter we make these inverters  
18 because a lot of these functions tend to seek frequency  
19 nominally, they tend to see voltage nominal and react to  
20 deviations away from that. More intelligent or more  
21 active anti-islanding techniques may be needed. And I  
22 think that's the last slide if you want to advance.

23 MS. KOROSSEC: Yep, that's it.

24 MR. SEAL: Okay. Great. That's all.

25 MS. CLEVELAND: Okay. I'm coming over here to

1 do the final presentation on this panel two. However  
2 Brian certainly covered many of the issues that I am  
3 going to cover so I will sort of take the opportunity to  
4 expand on some of the things that he said.

5           One of them is that when we developed these  
6 functions, we decided to use an existing IEC, that's  
7 International Electro-technical Commission, standards  
8 but expand it in order to accommodate these inverters  
9 which of course have never been modeled before. So  
10 these were information models, not models of the  
11 inverter, but information models and that has been a  
12 very successful process.

13           I'm just covering four key things. Why are  
14 inverter functions important. To some degree that's  
15 been stated over and over again today and so also then  
16 I'll cover some of the key inverter functions and 1547.8  
17 approaches to communication and then just throwing in a  
18 possible approach for California, certainly it's just my  
19 opinion so that it can have tomatoes thrown at it and so  
20 forth.

21           Okay. So just to quickly recap some of the  
22 things that have been said about inverters. Why are  
23 they important? First of all they're used by virtually  
24 every single DER, distributed energy resource, including  
25 generation and storage. Any one of those that requires

1 a conversion between DC and AC and even some that go AC  
2 DC AC. So they're ubiquitous. They'll be involved with  
3 almost every kind of source of energy. And in addition  
4 inverters are now software driven and so, as Bob and Tom  
5 were both saying, you can change the software pretty  
6 quickly and pretty easily. Much more easily than  
7 changing the hardware. That makes it very, very good  
8 for establishing something, testing it out, maybe  
9 changing things.

10           And as we've all said the manipulating of  
11 watts we can change the output of the watts. You can  
12 change the output of VARs. You can do the volt VAR  
13 control frequency watt control dynamic bridge support  
14 which means not only doing the low voltage ride through  
15 where you do not disconnect but you also counter against  
16 this low voltage so that that in of itself is going at  
17 an extreme amount of VARs in order to kind of capture  
18 that and hopefully not even allow a disconnect.

19           The key here is that inverters can sense local  
20 conditions such as voltage and frequency and respond  
21 with autonomous actions. As Brian was saying you don't  
22 have to have communication. Obviously, communications  
23 are useful. They can upgrade and update software and  
24 issue a particular command but you don't absolutely have  
25 to have them and Germany does not intend, at this point,

1 to have them.

2           So I think I will just move forward on this  
3 because I think it is key from this discussion today  
4 that inverter functions are important in California. I  
5 think it will be absolutely critical to have these  
6 inverters be smart so that we may, in fact, have  
7 different things where these small inverters may never  
8 need communication and maybe the larger ones do. That's  
9 one of the things that we'll have to analyze.

10           So this is the picture that I think captures a  
11 lot of the issues related to communications. If you see  
12 there on the right hand side, you can have an autonomous  
13 system that is completely self contained. It is just  
14 managing things based on local conditions. On the local  
15 voltage that it senses or the local frequency that it  
16 senses. So this is very important and that's why it can  
17 do the autonomous behavior. However, if you want  
18 coordinate these better to understand what they're doing  
19 and maybe modify what they're doing in response to local  
20 conditions such as being close to a substation or far  
21 away from a substation or during the summertime or  
22 during the wintertime, then you do want to have more  
23 communication so that you have sort of a middle section  
24 that tells the inverter to change modes or to change  
25 what they're doing. And then you can have way over on



1 the left, you can have the utility that may just even  
2 broadcast a command that says we've got a problem,  
3 everybody shut off. Or we've got a problem here, reduce  
4 your output by this amount. Or change the mode that  
5 you're in. But it can be a broadcast. It doesn't have  
6 to be a one-on-one, you can do the one-on-one with the  
7 larger inverter based systems but not the smaller ones.

8 Brian went through some of these. Were these  
9 are some of the functions that we've talked about. So  
10 in addition to the volt VAR functions, there are  
11 abilities to do remote turn on and turn off. I can  
12 limit the maximum output and to answer one of Tom's  
13 questions you can add a random delta time to turn back  
14 on that is part of the functions that have been  
15 described. So that they will not indeed bounce back on  
16 exactly at the same time. And this time window is also  
17 applied to many of the other functions so not all of  
18 them go into sending out exactly the same amount of VARs  
19 at the same time so that you can avoid a hunting  
20 possibility.

21 So there's also the modes. There's the volt  
22 VAR modes, frequency watts mode, volt watt mode. A  
23 bunch of them, including temperate VAR control, which is  
24 equivalent to a capacitor bank these days so you could  
25 even those in a similar way of capacitor banks. There's

1 also the ability to be able to send out a pricing  
2 signal. It's vaguely defined at this point because  
3 nobody knows what that might be but the point is that  
4 you can send some sort of pricing signal and demand  
5 pricing response signal and have the inverter respond to  
6 it. It can also be done by schedules so that's an  
7 important thing. You can schedule for behavior so in  
8 the morning it does this and in the afternoon it does  
9 that and so forth.

10           So this is all captured now in the IEC 61850-  
11 90-7 standard which almost exists. It will be sent out  
12 by the end of this week to the IEC for standardization.  
13 It's already being implemented in Germany and Spain and  
14 many of the other European countries. And it can be  
15 mapped to different things like DMP or web services so  
16 it doesn't have to be just using what the 61850 which  
17 some people don't like.

18           This just shows some of the volt VAR modes, I  
19 won't go into it in great detail, but the point is that  
20 you can vary your VARs based on your voltage level.  
21 And, in fact, in the lower one you can see hysteresis so  
22 that if the voltage goes high toward the right you  
23 change the VARs and if it goes low toward the left you  
24 actually have a hysteresis there so that it doesn't have  
25 real jumps between them.

1           Dynamic grid support which is really volt VAR  
2 support in the yellow areas where you have excess—where  
3 the generation unit is expected to remain connected. So  
4 this goes against the 1547 right now but this is one of  
5 the things that we really do need to address that and  
6 change those requirements to allow some kind of dynamic  
7 grid support during these times where there's almost an  
8 outage but can possibly be recovered from.

9           This is one of the areas where the Europeans  
10 do have this sort of must stay connected low voltage  
11 zone. What you can see here is that the different  
12 colors represent different countries. So that not every  
13 country has exactly the same set of parameters for  
14 staying connected. This is why it's important to have  
15 the communications because it may say that it's valid to  
16 remain connected if you're in this particular  
17 environment but have a different zone area defined if  
18 you're in a different environment. Microgrid might have  
19 a different set of zones than might a system that's  
20 connected. It might be different for being close to a  
21 substation or for being far from a substation. In  
22 Europe, it's basically country by country because it's  
23 fixed and they don't immediately expect to have  
24 communications.

25           So, not to belabor the 1547, but it is the new

1 electrical connectivity standard draft that we're  
2 developing. And one of the proposed ideas is that the  
3 communication requirements, which were almost  
4 nonexistent in the existing 1547, but that the  
5 communication requirements would be based on the  
6 sensitivity of the environment. This might be similar  
7 to the clusters concept that was discussed this morning  
8 where you have a group or cluster of inverters and you  
9 analyze what their situation is whether they're really  
10 sensitive or large or have a lot of neighbors then you  
11 would require communications and in other cases you  
12 might say, "Eh. It's okay." And not bother to have it.

13 I think that the key here is as everyone has  
14 been saying is that the regulatory and financial  
15 environment of the utility has to change in order to  
16 allow these things to take place.

17 So this is my stab at possible California  
18 approaches to handling this rather large amount of PV.  
19 It's basically the same as the European approach. We  
20 recognize that, indeed, there are differences. The  
21 European grid has low voltage grid lines that have 100s  
22 of customers on them. We have a handful of customers on  
23 each distribution transformer. It does make a  
24 difference. But there could be a sequence where we  
25 again approach it similarly to the Germans where we

1 initially require autonomous inverter functions to  
2 respond to local conditions via preset parameters. And  
3 this would mean that there wouldn't need to be,  
4 initially, any kind of communications with the possible  
5 addition of the ability to broadcast the—to respond to  
6 broadcast or multicast emergency functions like on, off  
7 and things like that so that you really step into the  
8 water first. Do a lot of testing through lot of pilots  
9 on these and see then what you need to do. Do you need  
10 to change the settings? And if you do them first just  
11 do it manually but eventually you can do it through  
12 automated remote upgrade means. But I think that this  
13 will be a way of moving forward that is reasonable in  
14 the fact that the utilities will then have time to  
15 experiment, time to try these things out. Even if they  
16 start with inverters that all of these inverter  
17 functions are turned off. They start out that way but  
18 you can have them at least there and able to be turned  
19 one when necessary, that would be a standard.

20           So as I said, that is my personal opinion and  
21 I will be the only one to blame for it. Are there then  
22 any questions for any of us?

23           MS. KOROSSEC: From the Committee? From the  
24 audience? Please come up to the podium.

25           MR. GOODMAN: Yes. I'm Frank Goodman with San

1 Diego Gas & Electric. And is Ben Kroposki still out  
2 there on the line? I have a question that would best be  
3 answered by him. Are you there, Ben?

4 MR. KROPOSKI: Okay. Now I'm here.

5 MR. GOODMAN: All right. Thank you. The  
6 question is this. We have a situation in the original  
7 1547 where it was all or none. In other words when it  
8 went to the adoption points, like Rule 21, it was  
9 intended to be adopted in whole rather than in parts.  
10 And now I'm wondering with 1547.8, which we are anxious  
11 to try out in draft form, when it moves through the  
12 balancing process and becomes an actual recommended  
13 practice, will it also be intended to be adopted in  
14 whole rather than in parts?

15 MR. KROPOSKI: That's actually a really good  
16 question, Frank, and I'm not sure that I know the answer  
17 to that right now. So that's question we'll bring up in  
18 the working group. But since it is a recommended  
19 practice and not a standard, I have a feeling that we  
20 will be able to test run the different parts of that  
21 standards as they are developed with the idea that, you  
22 know, you may want to use the voltage regulation  
23 recommendations from 1547.8 and nothing else. So things  
24 like that. But I think that's a very good point and we  
25 will make sure that we get that addressed in the work

1 group and have some language in the standard itself.

2 MR. GOODMAN: Great. Thank you, Ben.

3 MR. KROPOSKI: Thanks.

4 MR. BROWN: Dave Brown from Sacramento  
5 Municipality Utility District. This question is for  
6 anyone on the panel or Ben as well. Looking forward  
7 about 10 years after 1547.8 is a well established  
8 standard, it looks like it's well on its way to becoming  
9 one, do you see a world where the initial 1547 is sun  
10 setted and it's all 1547.8 or some blend of each and how  
11 will we know which one to use and where?

12 MR. KROPOSKI: So this is Ben Kroposki. Let  
13 me respond to that real quick. You know IEEE standards  
14 have a basically five year shelf life and then after  
15 five years they must be either reaffirmed or withdrawn  
16 or updated. I think the last version here of 1547 was  
17 reaffirmed with no changes, really for the most part,  
18 because that's still where we are in the industry. But  
19 with the 1547.8 being worked on I think what we'll see  
20 is a merging of 1547.8 and 1547 probably in the next go  
21 around of 1547 so I think there may be a little  
22 confusion but say 10 years from now there probably will  
23 be one standard that we'll incorporate all of the  
24 necessary requirements for the various levels of  
25 penetration of DG.

1                   MR. MCALISTER: Andrew McAlister from the  
2 California Center for Sustainable Energy. Great  
3 presentations for what it's worth we like this direction  
4 and we think it's very necessary and really great for DG  
5 in general and great for the grid.

6                   Question though from the consumer perspective,  
7 either on a small skill and net meter stuff or the  
8 larger systems which are obviously two different  
9 markets, as we push power factors one way or the other  
10 down and make them less than one to provide other grid  
11 services, has there been a thought as to what this means  
12 for rates and real power and how much it will impact the  
13 greatest customers. On the top end it's the contracts,  
14 that's obviously something that contracting can take  
15 care of, but on the small end we have residential or  
16 small commercial customers and it's all about real power  
17 and there's no real part of a tariff that deals with  
18 VARs. If you push it down a lot, you're obviously going  
19 to impact the real power that you're delivering and  
20 wonder if you've thought about the process for dealing  
21 with that. And really, how big of a problem that is.  
22 It may be on the margins and not that big of a deal but  
23 I'd like to get your thoughts on that.                   MR. BIALEK:  
24 Sure. I'll give it a shot. We thought, actually, a  
25 fair bit about what that might mean in the future. We



1 talked about in our consumer vision and consumers  
2 participating with providing services potentially  
3 looking at a whole selection of unbundled services that  
4 customers can actually participate via by tariffs. And,  
5 ultimately, looking at it from a not just a kilowatt  
6 hour type of perspective but from a kiloVAR hour  
7 perspective. And looking to, effectively, trying to  
8 have them—you know if you've got inverters there and the  
9 grid needs support in a local area does it make sense if  
10 you're willing to participate to not even try to come up  
11 with some tariff that will allow you to participate and  
12 to help support the grid. And I think in the long term  
13 from SDG&E is that the answer is yes. We think that  
14 there is that opportunity. I think the complexity of  
15 doing so is going to be down the road but I think in the  
16 longer term vision that's what we're thinking.

17 (Speaker not identified): Hi. My name is  
18 Alan and I'm from East Bay Power. Actually I have  
19 question for the CEC. We thought a good approach was to  
20 bring a community wind turbine to the load or to the use  
21 but now for the CEC the current incentive program limits  
22 the first certificate of it. Does CEC plan to offer an  
23 incentive to (inaudible).

24 CHAIRMAN WEISENMILLER: That would be a better  
25 question for the renewable, we're looking at the

1 renewable guidebook, and that's going to be sometime in  
2 the next month or two. That would be a better question  
3 there.

4 MR. BROWN: Merwin Brown, CIEE. There's been  
5 a number of factors addressed here today that somehow  
6 reflect inertia in the grid but I've not heard inertia  
7 addressed specifically. And I know there's some concern  
8 about what some of these low inertia generators will do  
9 to the grid. And so I guess now I have an opportunity  
10 to ask an inverter expert one, can inverters be used in  
11 the way at least to preclude inertia problems such as  
12 low frequency oscillation creation and mode change and  
13 all of this and someone mentioned also turning it to a  
14 support for the grid, can you use these devices to fake  
15 inertia and help mitigate oscillations?

16 MR. BIALEK: So I actually was at a DOE  
17 European research agency conference and one of the  
18 German utilities and professors of some research  
19 organizations were actually talking about exactly that.  
20 The algorithms that they used to develop that that they  
21 have actually incorporated into inverters to provide  
22 that service.

23 MS. CLEVELAND: I can actually add a little  
24 bit if you remember the hysteresis cycle. That's put in  
25 there by the Germans in particular because they

1 recognized that as a problem. There's also, as I said,  
2 time windows for doing things with random—you know each  
3 inverter has a random time within the time window so all  
4 of these kinds—and there's some ramping and some other  
5 kinds of parameters that are in there in the functional  
6 requirements and specifications. Those are all meant to  
7 help with the inertia issue. It's sort of, like you  
8 said, it doesn't actually act like a real inertia but it  
9 can sort of help do that.

10 MS. KELLY: Okay. So that it? Thank you,  
11 panelists. Thank you, Frances.

12 Our next panel is on Publicly Owned Utilities  
13 Perspectives and Strategies to support the state's new  
14 increased renewable distributed generation goals and  
15 smart grid technology options. This panel will be led  
16 by Rachel MacDonald who is an Electric Generations  
17 System Specialist in the Electricity Analysis Division.  
18 Her background includes governmental affairs and policy  
19 for distributed generation, smart grid, renewable  
20 generation and distribution infrastructure. And before  
21 I turn this panel over to Rachel I'd like to acknowledge  
22 her help today in running this workshop, getting the  
23 materials ready and helping all around. So thank you,  
24 Rachael, I just really appreciate all of your help. And  
25 turn this over to you.

1 MS. MACDONALD: Thank you, Linda. My name is  
2 Rachel MacDonald and I apologize for the lateness of  
3 which we're going into the hour. I appreciate the  
4 publicly owned utilities being here. I'd like to say  
5 I'm not a publicly owned utility expert. Having always  
6 worked with, primarily, the investor owned utilities was  
7 quite overwhelming to come into such a large and diverse  
8 group of utilities that have different populations,  
9 different regions, different loads. It's amazing but I  
10 will say as to my involvement, mainly through the PIER  
11 Research contract which I'm managing to develop smart  
12 grid vision, working with the publicly owned utilities.  
13 I'm learning a lot. And I will say that throughout  
14 those meetings one thing is consistent from the POUs and  
15 that is the customer. Customer, customer, customer.  
16 All of them.

17 Through those meetings and the development of  
18 that work, I brought up this workshop and the Governor's  
19 12,000 megawatt goal and I had mentioned at separate  
20 publically owned utility workshop and the response was,  
21 "It's a state policy. We should be there." And so I  
22 wanted to extend appreciation for your coming and  
23 participating.

24 And so I do have John Dennis from the Los  
25 Angeles Department of Water and Power here. He is the—

1 I'm just going to do the intros and then we'll just go  
2 into the presentations. So John is the Director of  
3 Power Systems planning and Development. He has 29 years  
4 of experience with power system design and construction  
5 commissioning and planning.

6 Jeff Berkheimer from SMUD, you heard from  
7 earlier, again as stated earlier we did ask SMUD to  
8 specifically come and talk about their PV inverter work.

9 And Craig Kuennen from the Glendale Water and  
10 Power is the Business Transformation and Marketing  
11 Administrator and smart grid project sponsor for  
12 Glendale water and Power. He has led Glendale's smart  
13 grid updates and has also worked in system design and  
14 delivery for their public benefits program.

15 And, unfortunately, Steven Budget from  
16 Riverside had to leave. He was here to present and his  
17 presentation materials are available. He is the City of  
18 Riverside's Public Utility Deputy General Manager. And  
19 he is responsible for the energy delivery function  
20 including engineering, operation and maintenance for  
21 T&D. He's been with Riverside for 21 years and public  
22 utilities for 36.

23 And I'm just going to point out Anthony  
24 Andreoni from CMUA, California Municipalities Utilities  
25 Association, has kindly agreed to jump up if we miss

1 anything. Interaction with Anthony today has shown that  
2 he is very familiar with all of his utilities that he  
3 represents and with that, Anthony please feel free to  
4 jump in and I'll go ahead and start the panel with you,  
5 John.

6 MR. DENNIS: Thank you for your time today.  
7 I'm John Dennis, Director of Power System Planning  
8 LADWP. As we indicated, we'll try to do less is more  
9 here as many of these things are repeats or items that  
10 would be redundant.

11 Just very briefly, some quick characteristics  
12 of the City of LA. We represent about one power  
13 generation of capacity or capability is about one tenth  
14 of the state of California. We had a peak load, of this  
15 last year, of 6,144 megawatts and collectively between  
16 our generating stations and our distribution stations,  
17 receiving stations we have about 200 different stations  
18 in our generating and transmission, distribution  
19 facilities.

20 The vision is, as many are, to operate the  
21 system as safe, economical and reliable for our  
22 customers. We are undergoing some significant  
23 transformations on our distribution side with an aging  
24 infrastructure dealing with our poles, transformers and  
25 stations as well as implanting the automation

1 efficiencies and technologies that we have.

2           Just briefly we did this last year published  
3 our integrated resource plan, it's available on the  
4 internet, but included in there were some areas that  
5 were of interest with our combined heat and power goals  
6 as well as the feed-in tariff targets and goals for this  
7 next year. But we did this last year achieve 20 percent  
8 of our renewable energy in 2010 and obviously we're all  
9 focused on the next big leap of 33 percent by 2020.

10           Currently we have 350 megawatts of CHP in our  
11 system. Right now, with our distributed solar, we've  
12 got about 34 megawatts or so in local solar and that  
13 program is growing under the SB1 Solar Incentive Program  
14 where we'll have about 130 megawatts of customer  
15 installed PV by 2016. And then we'll have our feed-in  
16 tariff program that's going to roll out here in the next  
17 two weeks. We'll have that available as we're doing  
18 some pilot studies and then DG installations, literally,  
19 just thousands of installations throughout our system in  
20 various sizes.

21           I'm going to skip through these on the  
22 incentives. There are some things of interest in maybe  
23 the future but with regards to the smart grid  
24 implementation and what we're doing there. We began in  
25 December of 2009 actually we have many of our smart

1 meters that had been installed, even back in 2002  
2 timeframe monitoring our system. But we have a program  
3 there with using ARRA funds with a 10 years project  
4 focus. But we do have a collective, collaborative team  
5 working with the JPLUSC and UCLA and those four primary  
6 areas of customer and behavioral studies, cyber  
7 security, demand response and electric vehicles. And  
8 currently, we have about 20,000 fully functional smart  
9 meters that are installed in our system or throughout.  
10 With our initiative that we have underway, with our  
11 demonstration project, our design activities for this  
12 and our pilot demonstration will be completed this next  
13 year with construction and a variety of test beds at a  
14 variety of spots throughout our system that we'll be  
15 implanting and working on very closely.

16           The challenges, I just want to get through  
17 this, quite frankly this is the last page. This will  
18 take a minute of time because, again, many of these were  
19 already touched on earlier today in the presentations.  
20 But I have to say as I work with our operations folks, I  
21 really appreciate the brain trust here in this  
22 particular room because these are the very things that  
23 give them heartache so I'm glad to see that we've got  
24 industry and utility coming together, collaborating and  
25 focused on those things that really do have concern for



1 them. And so I believe that one of the questions that  
2 was posed to us was what can be done and how can the  
3 state help in this particular form and format I believe  
4 is part of that answer, so thank you for doing that as  
5 these technologies are still under significant  
6 development and with that information sharing is kind of  
7 a forum and this is beneficial to the utilities as we  
8 share these lessons learned as well as what the needs  
9 are. We're seeing those very clearly in regards to  
10 emerging software, SCADA and standards development. No  
11 one wants to go and rip out the new equipment that  
12 you've just put in and have to put in additional  
13 equipment and certainly I believe that we're showing  
14 here, even today, that we're on the right track toward  
15 where we need to be going and meeting that need.

16           The next item is just the potential to expand  
17 existing generating assets and negatively impact the  
18 local economy. We're going to get the violin out for  
19 just a brief moment and that is we've been out there  
20 with our rates case with the last six nights, we've had  
21 six out of the ten public meetings, and last night we  
22 were working in one of our poorest communities and just  
23 a real concern that folks have among the cost of their  
24 power and the different mandates that are coming through  
25 with some significant initiatives in the power industry

1 and really some of the poorest of the poor people that  
2 are there are communicating their concern that even  
3 though their cost may go up 40 cents or even \$1, I  
4 committed to this one lady that I would at least share  
5 with you all this - that there is a concern from there  
6 and we need to be continually looking at ways that we  
7 can do these improvements and improve reliability and  
8 environmental stewardship but also be cost effective for  
9 the state of California.

10           In our responsibility, as a utility, as a  
11 municipal utility, we're a vertically integrated  
12 utility. So we have generation, transmission and  
13 distribution responsibilities. So we're going to  
14 maximize everything we can with this technologies so  
15 that our customers enjoy the benefits of that but also  
16 that we're accomplishing some collective goals here.

17           An excessive amount of DG. This is another  
18 one that is probably in the area of greatest concern and  
19 that we continue to come back to is an excess amount of  
20 DG, especially during the low load conditions, may  
21 result in problems controlling and operating the  
22 distribution and transmission system. And I think  
23 that's been hit numerous times here, even this  
24 afternoon, but those are on those days where there's  
25 those puffy clouds on a March day where you have a low

1 load condition and that topped with the element of a  
2 negative growth at this point in time with our overall  
3 power system that we're adding on more DG, that I  
4 believe the area—and if we can perhaps there's another  
5 follow-up workshop to get a little bit more pointed  
6 toward the communication link of that—of how we—of the  
7 inverter technology and the communication link as far as  
8 curtailment and the economic indicators and the  
9 signaling to those people. If we just think about it,  
10 somebody is going to spend millions of dollars to put in  
11 this technology and yet somebody is going to have that  
12 master control, or maybe there's some autonomous  
13 control, or maybe there's some algorithm in there that  
14 we agree to but nevertheless as we're seeing in the  
15 Pacific Northwest with high wind as well as high hydro  
16 periods and curtailment, we see that challenge there as  
17 the independent owners of those renewable resources are  
18 struggling then with their performance tax credits. So  
19 how do they continue to make the money that they expect  
20 to but then we have control that we're curtailing them.

21           So I think that there's an element there that  
22 perhaps, to throw another challenge in the room, of what  
23 we're seeing and looking at and it gets—and it looks  
24 like we have the technology moving forward with the  
25 enabling technology but it's going to be that piece of

1 perhaps it's the economists that will now pick this up  
2 and take a look at this and ask how to make this work on  
3 the economic side. So we're going to struggle through  
4 that but we're going to work on that continuously.

5           Last one is with regards to numerous  
6 initiatives that are underway. Boy, do we have a lot of  
7 them. We're working on the CO2 reduction and once  
8 through cooling and 33 percent RPS and our reliability  
9 standards but we're trying to put those together in a  
10 very careful package. And so, again, this is where this  
11 requires careful planning, proper integration and the  
12 adequate central control and monitoring of our system.  
13 And, again, I just want to express my appreciation to  
14 some of the work that's already been done here and  
15 communicated. I'm really excited about what's coming  
16 out of this, especially as we talk about EPRI and how  
17 they're mentioned in some of this communication  
18 connectivity and dealing with that, the adequate central  
19 control or how we ensure that we provide a reliable  
20 service to our customers. Thank you.

21           MS. MACDONALD: Chair Weisenmiller, would you  
22 like to do questions at the end?

23           CHAIRMAN WEISENMILLER: Yes, why don't we do  
24 that.

25           MS. MACDONALD: Okay. Craig?

1           MR. KUENNEN: Well, thanks for inviting me  
2 here. I'm Craig Kuennen, Business Transformation and  
3 Marketing Administrator for Glendale Water and Power.  
4 We'll start out with a little description of us. We're  
5 a little bit smaller than LA. Our peak a couple of  
6 years ago was about 343 megawatts but anyway, we're a  
7 small utility northeast of Los Angeles. We have about  
8 88,000 electric and 33,000 water meters. We're home to  
9 the Americana, Disney, Nestlé and DreamWorks. We are  
10 one of 33 publicly owned utilities. We were selected  
11 for a DOE grant for smart grid and received \$20 million  
12 and we're equally proud to receive a \$1 million grant  
13 from the CEC last April to support that same project.  
14 We're looking forward to working with ya'll on that.

15           As far as my presentation, I'm going to look a  
16 little on our vision and then talk about our smart grid  
17 project and then finish up with what we're doing for our  
18 environmental goals.

19           We've adopted what's called the Smart Grid  
20 Maturity Model to guide us through our planning and  
21 implementation of the smart grid. I don't know how many  
22 of you are familiar with that. It was developed by IBM  
23 and Carnegie Melon University and it basically takes  
24 smart grid, divides it into eight different domains and  
25 in there you have five different levels of maturity.

1 When we first took their survey of where we were in each  
2 of the domains, it was quite obvious that you could take  
3 that model and actually turn it into a set of goals and  
4 milestones and a strategic plan actually for  
5 implementing your smart grid. So that's what we did.

6 We're planning for the future. The one domain  
7 with distribution operations and so our three year  
8 distribution system vision is right out of the smart  
9 grid maturity model. We're going to start to deploy  
10 initial grid monitoring and control gestures that are  
11 tied to our smart grid vision. They'll be an emphasis  
12 on communications and the smart grid automation. And  
13 there's the other lower level descriptors here like  
14 we're going to have a damped outage for restoration,  
15 we're going to do remote access management and things  
16 like that. I'm not going to cover each one because we  
17 don't have a lot of time.

18 For our five year distribution vision, we want  
19 to have analytics and automation and control in place to  
20 operate across multiple systems and organizational  
21 function. Some of these are kind of vague so what we're  
22 going to do is assign people responsible for each of  
23 these domains and then underneath that there will be  
24 people making sure that we hit our multiple milestones  
25 in the one year, three year, five year and develop

1 detailed plans to get there. So we can then gauge our  
2 progress over the years.

3           And that's where we get to the distribution  
4 system strategy. Here are some milestones for the first  
5 year. The first one was to develop a business case for  
6 new equipment and assistance related to smart grid in at  
7 least one of our business functions. We did that with  
8 AMI MDMS. We did a business case back in 2008. It was  
9 positive. That was the basis of our grant to DOE and  
10 I'll just talk a little bit more about where we're at in  
11 that process. But you have to have cyber security. You  
12 have to be—every step of the way you're looking at cyber  
13 security. So every vendor you contract with needs to  
14 meet the NERC and NIST requirements.

15           Three year milestones. A minimum 70 percent  
16 of our system has distribution substation automation.  
17 Twenty percent of the grid has advanced restoration  
18 schemes and things like that.

19           Five year milestones. They just get  
20 progressively—90 percent of grid operation planning is  
21 transitioned to estimation to fact based using the data  
22 we're getting from the grid.

23           In terms of our smart grid project, the \$70  
24 million project covers electric and water. I think  
25 we're one of the few in the country that are doing both

1 electric and water at the same time. We did a proof of  
2 concept in April 2010. We've installed a citywide trail  
3 post Wi-Fi communication system and that's, right now,  
4 it's set up for AMI. It can also do other city  
5 functions. We have plans to expand that function to do  
6 distribution automation and the kind of communication  
7 things that were being discussed with inverters could  
8 fall within that.

9           We're about 85 percent complete with the  
10 deployment of our meters. We'll be done with the AMI  
11 part of our smart grid probably August or September.  
12 And then we're going to be rolling our customer  
13 programs, a number of enterprise computer systems and  
14 we're doing a distribution automation pilot.

15           Some details about our customer programs.  
16 We're right now working with a local company to put  
17 together an in-home display that will be rather unique.  
18 It will have multiple functions beyond just showing you  
19 what your energy usage is. We think it's something that  
20 customers will want in their home and they will use it.  
21 So we're going to be testing that and our plan--there's  
22 going to be free for every one of our customers so we  
23 have probably 73,000 residential customers and this  
24 display could also be used for small businesses so we're  
25 talking about 70,000 in-home displays we're basically



1 going to had to customers and teach them how to use  
2 them.

3           The OPower web portal. Currently, we use  
4 OPower for our energy efficiency program. And that's  
5 been going for about two years. It's been very  
6 successful. The last two—we measured how much energy  
7 savings we were receiving and it's four percent of  
8 25,000 homes is a big number. We think once we—we were  
9 working with OPower to integrate that into our smart  
10 grid data and have a web portal that will be in place in  
11 August or September where people can go and get data  
12 from the day before and be able to look at 15 minute  
13 data, weekly data, monthly, data. However they want to  
14 dice it up and look at it. We have a number of  
15 different programs that we're going to be working with  
16 them—that will be part of that web portal.

17           We probably could save three times the  
18 savings. We're getting four percent sending the paper  
19 report out to people every two months. You give them  
20 more information, I think, we could probably triple  
21 that.

22           We have a thermal energy storage program with  
23 one-and-a-half megawatts installed so far of ICE Energy  
24 and ICE Bear Units. We're talking with them right now  
25 of putting in another six megawatts. Now these are

1 smart grid enabled so we have two way communications  
2 that we can change the setting on them. We can then use  
3 that as a way to communicate into the building and do DR  
4 stuff inside the building. There's a number of things  
5 that we're going to work with ICE Energy on that.

6           There's a lot going on in our demand response  
7 program that we're starting out this summer. And then  
8 we're going to be looking at experimental pricing  
9 programs after we get some data and things like that.

10           Electric vehicles. We just did a study.  
11 We're looking at 6,000-8,000 by 2020 in Glendale so  
12 that's a considerable load we have to look at.

13           Here's just some of the computer systems that  
14 we're putting in. And so if you look we're putting in  
15 Enterprise Service Plus. We're just finishing up GIS.  
16 And then an asset management, outage management,  
17 distribution management will be over the next couple of  
18 years. The others depend on how much time and money we  
19 have.

20           So one thing that you really have to think  
21 about here is that we talk about all these technologies  
22 but you only have so many people to actually implement  
23 this sort of stuff and so much funding.

24           Our distribution automation pilot—we're  
25 looking at—actually, we're starting it right now. It'll

1 be finished by September next year. It's limited to  
2 four feeders and once we get some experience there then  
3 we have a 10-15 year plan depending upon funding to do  
4 the other 111 feeders in Glendale. Technologies, like I  
5 mentioned, expanded Wi-Fi and other technologies that I  
6 mentioned as part of the pilot. We have some other  
7 things that we're doing on our distribution—we're  
8 upgrading our feeders from 4KB to 12KB and just regular  
9 projects.

10 And then environmental—these are right out of  
11 the Smart Grid Maturity Models as well. So that's our  
12 three and five year goals for that.

13 And that's all. That's what I have.

14 MS. MACDONALD: Thank you. Thank you, Craig.  
15 Jeff, did you want to—I know you just did you  
16 presentation with the previous panel. I just wanted to  
17 check in with you and see if you had anything you wanted  
18 to—

19 MR. BERKHEIMER: When we spoke, we didn't  
20 realize that we were doing both presentations so we  
21 don't have anything to say except SMUD is doing  
22 fascinating things and you all would be very impressed.

23 [LAUGHTER.]

24 MS. MACDONALD: Well, I do know that SMUD  
25 frequently participates in a lot of our workshops. And

1 they do have a very active smart grid development  
2 program and that through my own coordination with your  
3 governmental affairs representative Tim Tutt, I do  
4 understand that you are providing comments. And then  
5 I'd just like to note in regards to Riverside and Steven  
6 Badget, still on topic of smart grid, they do have over  
7 100,000 electric customers and he did provide me with a  
8 copy of his deployment plans and what they're looking at  
9 doing. I will just add that he did comment in his email  
10 that all improvements and investments they were looking  
11 to do were not rate based. And with that, Anthony, do  
12 you have anything? Okay. Questions. Do you have any  
13 questions to share?

14 CHAIRMAN WEISENMILLER: Yes. I'd actually  
15 like to do a follow-up on one suggestion. And that is,  
16 it was certainly good to pull people together today as  
17 we can discuss these issues and everyone's experience.  
18 I guess one of the things to think about going forward,  
19 again, certainly if we could provide forums for people  
20 who might find them useful. I know the PUC has Rule 21  
21 that's very focused on the IOU part of the equation but  
22 certainly if we could help facilitate conversation among  
23 the POUs and the POUs and the IOUs. We'd certainly be  
24 happy to do that. So something to think about ways we  
25 can help.

1 MS. MACDONALD: Do we have any questions from  
2 the audience? Frances?

3 MS. CLEVELAND: Frances Cleveland from Xanthus  
4 Consulting. I guess one thing I'd be interested in is  
5 if the smaller utilities, well DWP as well, would be  
6 interested in these inverter functions presuming that  
7 the vendors are able to offer them? Would that be  
8 something that you would see in your future?

9 MR. DENNIS: I like the characterizations that  
10 you gave for the small, medium and large and I believe  
11 that there is a small level that does meet that but  
12 obviously that comes with the cost so that would  
13 certainly be the determining factor. But I do like your  
14 breakdown of what you've proposed there and the  
15 attributes.

16 MR. KUENNEN: I would say yes. Like I  
17 mentioned, we do have the communication infrastructure  
18 in place. We will have the computer systems to work  
19 with that kind of equipment. I mean we're not that  
20 large but we could have 8-10 megawatts of PV and the  
21 next opportunity here in Glendale.

22 MR. BERKHEIMER: Actually, one comment I'll  
23 make on the software requirements and the inverter  
24 requirements is one of the things that we're starting to  
25 see is as we're actually building these demonstration

1 projects is not necessarily that the inverter or  
2 communication functionality isn't what we would like it  
3 to but that the issues around cyber security and the  
4 communication protocols there, especially as the devices  
5 are going to be receiving real time signals out of your  
6 data already in that system, is a lot more complicated  
7 and complex than we originally anticipated in talking  
8 with the vendors. Especially manufacturers of the  
9 inverters and anyone who has onsite hosting for a  
10 utility dashboard or an operator dashboard. These  
11 aren't requirements that are sort of front and center  
12 and being dealt with in the industry yet so  
13 communications is easy. Anyone can plug in a phone line  
14 but if the media that you're transmitting is secure  
15 information from an ENS or SCADA system it's not as easy  
16 as plug and play. And if the industry could start  
17 looking at putting themselves in the utilities  
18 perspectives and saying this device is going to be  
19 plugged in and we know there's going to be all of these  
20 very strict cyber security requirements, building a  
21 protocol around that front.

22 MS. CLEVELAND: Okay. Thank you for that. On  
23 the cyber security, honestly that's one of the areas  
24 that definitely needs to be worked on.

25 MS. MACDONALD: Thank you, everyone. Next we

1 have Timothy O'Connor from the Environmental Defense  
2 Fund. He's here to present about their work on smart  
3 grid.

4 MR. O'CONNOR: Good afternoon, Chair  
5 Weisenmiller and distinguished audience. My name is Tim  
6 O'Connor. Thanks for sticking around until my  
7 presentation, I really appreciate everybody waiting to  
8 hear this delivery.

9 We've been working for awhile on looking at  
10 evaluations for the utility smart grid deployment plans  
11 that are going to be coming to the PUC in the next  
12 month. I think we've already sort of seen and started  
13 to read the first one from San Diego and we're starting  
14 to see reverberations associated with that. News  
15 clippings, people starting to take interest from the  
16 general public and the environmental communities, folks  
17 who are sort of nontraditional utility hawks are sort of  
18 stepping in and saying they're going to be spending  
19 billions of dollars in my service territory on new  
20 technology, I'd like to see how that could help me and  
21 what it is. How it could help me as a consumer. How it  
22 could help the environment. What it's going to mean?  
23 Also, we're going to be looking at the same sort of  
24 deployments happening in PG&E's and Southern  
25 California's service territory. I think we've seen that

1 the public hasn't necessarily been entirely accepting of  
2 new technology as it's deployed at their house or in  
3 their neighborhood or at their utility.

4           So EDF wants to make sure of a couple things.  
5 One that the utilities knew that were were members of  
6 the environmental community, the public that was  
7 advocating on the behalf of the consumers, looking at  
8 these plans and rigorously evaluating them to see if  
9 they were going to make the grade.

10           We have the utmost expectation that the  
11 utilities want to make the grade. They want to perform  
12 well. They want to spend ratepayer dollars in a way  
13 that's going to deliver benefits to the consumers, to  
14 the environment, to a number of different interests and  
15 so it is remarkably difficult when you think of maybe  
16 we're going to be getting three different plans over the  
17 course of the next month. They're all going to be  
18 written by different authors and some sections of each  
19 plan will be written by different authors and different  
20 endpoints and different ways to characterize things and  
21 some including some things and some including other  
22 things and so how do we compare one utility to another  
23 utility to a standard. To a regulation. And so that's  
24 why EDF developed a tool to help do that and we're going  
25 to talk about that in a moment.



1           But first, who are we? What do we matter?  
2 We're a national environmental group. We have about 350  
3 employees who have been working on issues in energy and  
4 the environment for a number of years. We worked on  
5 SB17. We weren't an original sponsor. We have been  
6 active at the PUC and the smart grid rulemaking process  
7 for awhile, since the original decision came out. In  
8 fact, some of our recommendations were incorporated  
9 directly into the decision. Most notably the ones on  
10 the environment and consumers and platforms for  
11 technologies and certain services to grow. We're very  
12 appreciative of that sort of incorporation and we've  
13 been really kind of working on scaling up out  
14 participation in smart grid across the country in this  
15 thread.

16           So the reason why we're doing this is that  
17 it's a GHG reduction strategy. It's a consumer  
18 opportunity. It's an economic opportunity. And I have  
19 slides in my presentation that we probably won't go  
20 into here, they're at the end, so if anybody want to  
21 know why we believe that we can get 30 percent cuts in  
22 air and climate pollution or why we think we can get 25  
23 percent cuts in on road transporter emissions that's  
24 included in the presentation.

25           It is important to note that the 25 percent

1 number is just from fuel switching. Just from taking  
2 cars off the road and plugging them in. We're looking  
3 at the energy storage component to that and what that  
4 could still take. It's even a larger number.

5           The point of this panel today and today  
6 really, just in general, is looking at distributed  
7 generation throughout the grid. I have some high-level  
8 points that'll kind of get into of why we think and how  
9 we think utility deployment plans can be evaluated so  
10 that they can be delivered on this goal as well as a  
11 number of other goals.

12           We'll start with some examples. I realize  
13 that it's a lot of words and a lot of words on a screen  
14 for somebody sitting far away and hard for them to  
15 figure out. Some of this stuff has already been talked  
16 about today. Electric energy storage has the ability to  
17 facilities more distributed generation. We're looking  
18 at when solar power is at its peak and when demand is at  
19 its peak, we know that they don't necessarily match up  
20 if we can switch or at least move one to two hours of  
21 the generation from solar DG to what it's needed as the  
22 most we can start to facilitate more.

23           And I do think that one of the things that  
24 we've heard today is that you can have too much DG.  
25 Well, yeah, I think that's probably correct if we're

1 going to be talking about impacts on the distribution  
2 system. But let's say that we have enough DG that we're  
3 able to take off a peaking power plant. Well all of a  
4 sudden it's not too much DG, is it? We really get some  
5 environmental benefits out of that and we need to be  
6 thinking about how we can reconfigure our system and how  
7 we can use a smart grid on the long-term and start to  
8 get some real environmental impacts. We think that the  
9 smart grid, when combined with a lot of the technologies  
10 that it'll come out with, can really lead to some  
11 dramatic environmental improvements.

12           And we're going to get into, in a minute or  
13 two, how we can measure that progress and that's really  
14 the high level point of my talk today. But really sort  
15 of looking here at the examples of demand side  
16 management and looking at demand response and having  
17 people being able to tap into response and demand side  
18 resources to change the fluctuations of the demand curve  
19 to then also respond to fluctuations in the distributed  
20 generation so that we can more easily balance our grid.  
21 Also, filing on electric vehicles as mini storage  
22 devices as opportunities to switch from emissions of  
23 combustible fossil fuels to—in the cars themselves to  
24 electric energy use and then the ability to act as  
25 localized storage for distributed generation that's

1 occurring at houses.

2           So what's the high-level observation here.  
3 Smart grid deployment can deliver, in our opinion,  
4 significant amounts of distributed generation more so  
5 than there is not. And more so than we thought is  
6 possible and probably more than we think is possible  
7 today.

8           And then, finally, a full scale effort to  
9 deploy the smart grid really is necessary in California.  
10 We've seen that from the utility deployment plans.  
11 We've seen that from the PUC who said they were  
12 envisioning on how to write the requirements for those  
13 deployment plants. And we've seen that really written  
14 into the decision on how those deployment plans should  
15 be written.

16           And so by adhering to that decision we think  
17 that the utility plans can create the opportunity for  
18 more DG to participate on par with other traditional  
19 investments. And when I say 'on par' I mean that it can  
20 become cheaper, it becomes first in line at the loading  
21 order, more readily we can start to see more cost  
22 effective pursuits than we have today.

23           Here's the quick portion from the actual  
24 decision that the PUC came out with. And in there,  
25 obviously, you can see that there are two words that are

1 underlined and that's distributed generation. And so  
2 all this and some of the documents in my presentation go  
3 in the thread that we believe the PUC is saying that the  
4 IOUs in California need to pursue distributed  
5 generation, it must be part of their plan, there must be  
6 a comprehensive effort to deploy it as much as we can in  
7 a way that can maximize the environmental integrity or  
8 the environmental impact of the grid, the overall long-  
9 term abilities in the grid and there are a number of  
10 references to both the DG to localize generation  
11 throughout the PUC decision.

12           What we decided to do was create a mechanism  
13 to evaluate whether utility plans were living up to what  
14 we feel is a requirement by the PUC. So we came out  
15 with a couple of different goals; actually four of them  
16 to empower consumers, to create a platform for  
17 innovative technology and services, enable the sale  
18 demand resources, improve the environmental performance  
19 at that greatest level.

20           These are EDF goals. These goals track very,  
21 very closely to what the PUC said to require. PUC had  
22 11 different goals the utilities have to file. We  
23 really chose to focus in on four. The way we did that  
24 was by creating a points based metric and so at the end  
25 of this month and at the beginning of July, we're going

1 to be coming out with scores for the utility deployment  
2 plants as to how we feel that they fare. What is their  
3 grade, compared to one another how are they making the  
4 grade and across different goals and throughout  
5 different sections.

6           These plans need to have a vision. They need  
7 to have a strategy. They need to have metrics that  
8 they're tracking their progress along the way. They  
9 need to understand where they are now and also  
10 understand the roadmap of understanding where they want  
11 to go. All of this is included in our document as to  
12 how to evaluate utility plans. But it's not just about  
13 getting a score, it's about identifying where utilities  
14 are able to go and do better. Where they've gone above  
15 and beyond. If they've created a comprehensive  
16 assessment of their deployment plan in a way that will  
17 allow us to understand if they're likely to achieve the  
18 benefits that are possible.

19           So if you look at the individuals section, and  
20 as we pulled out through the PUC decisions and as we  
21 look at all of the literature on the subject, we find  
22 there are certain aspects within each of these goals  
23 that facilitate or are related to more distributed  
24 generation. For example, in the goal of empowering  
25 consumers. These aspects, we feel that if they were

1 truly subscribed to by utilities, they would lead to  
2 more distributed generation. And when I say truly  
3 subscribe to I just mean we have a vision about having  
4 more electric vehicles in our service territory. Or  
5 allowing more consumer technology in our service  
6 territory but a real integrated approach to getting more  
7 and comprehensive technology on the system.

8           How do we know if we're achieving these goals.  
9 Well, it's embedded in metrics. It's embedded in  
10 utilities tracking their progress toward certain  
11 aspects. So we're going to get into some of our  
12 suggested and the metrics of the utilities that are  
13 already agreed to in terms of tracking some of these  
14 things. But maybe what we'll do is kind of go through  
15 some of these goals, look at where said there's real  
16 opportunity here and then we'll finish up.

17           So, for example, we know that there's a goal  
18 and that it's a goal that's required by the Public  
19 Utility Commission that says "Utilities have to create a  
20 platform for technologies and services." They have to  
21 create a market for new technologies to thrive, for new  
22 business models to thrive. And so interoperability is  
23 one of those ways that we have identified as being a  
24 valuable approach to doing that.

25           And so we would describe interoperability as

1 an open architecture that allows for the incorporation  
2 of the evolving technologies on both the supply side and  
3 the demand side of the meter. And so utilities have  
4 agreed, and we would think that all utilities should  
5 agree to these metrics and not just the ones in-not just  
6 the publicly owned ones, to report the distributed  
7 generation capacity and the distributed energy delivery  
8 to the system. So, for example, utilities have already  
9 agreed to in that framework to report on the number of  
10 the total capacity of customer owned or operated, grid  
11 connected, distributed energy generation facilities. So  
12 I would ask whether the smaller scale guys, when they  
13 say "We're committed to more DG" whether they're  
14 tracking this and whether they're reporting this to the  
15 people who are in their service territories. Whether  
16 there's a buy in to watching the growth of DG deployment  
17 and tracking and supporting it. And in plans and in  
18 decision making, understand that if there is a roadmap  
19 and a goal and a traction toward that goal, that there  
20 is going to be some sort of evaluation of whether either  
21 that goal is met or whether there is way to get more  
22 information or change the system so that we can have  
23 further progress toward that goal. Total energy  
24 delivery is yet another way to do that.

25 In the goal of demand side sales, the



1 definition that I would come out with of new commercial  
2 markets is that utility's deployment plans should allow  
3 for the growth of energy markets for aggregated small  
4 scale aggregated generation resources. This is  
5 something that the EDF has suggested, not necessarily  
6 something that the utilities have subscribed to, but a  
7 utility plan that is fully subscribing to the idea that  
8 distributed generation is important and something they  
9 want to pursue, it's something that we feel should be  
10 included in any utility smart grid deployment plan.

11           So what is a good metric for something like  
12 this? Well, reporting on the total annual electricity  
13 delivery from customer owned and operated grid connected  
14 energy facilities is one way to do it. Having the  
15 utility allow for people to access progress or  
16 historical trend data on this information could be  
17 tremendously important.

18           Finally, on the goal of environmental benefits  
19 I think that in the environmental community there is  
20 general agreement that distributed renewable energy  
21 generation is a good thing. That is leads to reduced  
22 greenhouse gas emission. More renewable energy on the  
23 grid as a whole is a good thing. In the reporting on  
24 the greenhouse gas intensity, both in CO2 and CO2  
25 equivalent emissions, on a utility wide basis, it's

1 something that a utility should do. Just aggregating  
2 the types of generation that utilities are receiving  
3 into fossil generation, renewable generation, and other  
4 sorts of energy imports or whatever—however they're  
5 receiving—those sorts of metrics can help facilitate  
6 larger scale distributed generation and can lead to a  
7 mutual reinforcing effort. And as we're reporting the  
8 amount of GHG reductions we have that are coming from  
9 our electricity generation. And as we're reporting how  
10 much distributed generation we have and people start  
11 seeing, as the consumers start seeing, the linkage we  
12 can start creating more of a interconnection between the  
13 utility, between the customers and between the people  
14 that are supporting smart grid deployment or have not  
15 yet begun to support smart grid deployment as they  
16 likely should.

17           So finally we have been working on a number of  
18 aspects outside of California as well. It's important  
19 to note that these plans have started of course  
20 receiving attention outside of our borders. People in  
21 other jurisdictions are looking, obviously, at what  
22 California is doing. Not only is the PUC work being  
23 looked at by other regulatory bodies but areas in, such  
24 as Charlotte or in Chicago or Austin, having active  
25 deployments but it's really only the tip of the iceberg.

1 And obviously what we're doing here in California, as  
2 we're maximizing those, we're getting more and more  
3 distributed generation on the grid. As we're tracking  
4 things such as environmental performance and we're  
5 reporting them to the people who are paying for it,  
6 ratepayers, and getting people in support of continued  
7 deployment of smart grid as it achieves more  
8 environmental performance that's only a good thing. And  
9 if we could mirror that, that would be quite an  
10 accomplishment. So thank you.

11 CHAIRMAN WEISENMILLER: Thank Tim for your  
12 participation. We certainly had the opportunity ages  
13 ago to have the opportunity to work with Tom, David and  
14 Zach and certainly major, major contributions in  
15 California's energy policy from EDF.

16 MR. O'CONNOR: Thank you very much,

17 MS. KELLY: Any questions? Audience? Okay.

18 All right. Then we'll move along. The next  
19 presentation is on How Research Development and  
20 Demonstration can Help Advance Distributed Generation.  
21 Mike Gravely who is the Energy System Research Office,  
22 Office Manager will start off and be followed by Dr.  
23 Alexandra von Meier, which we know her as Sasha, and she  
24 will follow up after Mike. I do want to say that there  
25 are still 70 people on the internet to take part.

1           MR. GRAVELY: Thank you all for sticking  
2 around. So I just wanted to cover a brief review of the  
3 activities we have in the research area both ongoing as  
4 well as future research in this area.

5           The general focus is research that would help  
6 advanced distributed generation, research focused on  
7 distribution systems and research focused on how the  
8 distribution transmission system works together and how  
9 this research can help mitigate problems of the future.

10           PIER Program, for those who aren't familiar,  
11 we do research for the whole sector, it's also research  
12 on generation, but my office works on transmission  
13 distribution integration of the systems through all of  
14 those customer side of the meter. So it's basically  
15 looking at how we integrate all of these together, how  
16 the smart grid will work, how transmission distribution  
17 systems will work and so we are very actively involved  
18 in the distribution research and development.

19           For those that aren't familiar, this is an  
20 IEPR Hearing Report from 2007 and certainly Linda is  
21 very familiar with this chapter because she wrote it.  
22 We had a major chapter on distribution and there was  
23 some changes that were coming because four years ago we  
24 noticed the fact that the distribution system needed to  
25 change, it had to go from a one way to a two way system.

1 It had to adjust to a lot of system problems. It had to  
2 be able to adapt to different loads. So as a result of  
3 that, we started a pretty substantial distribution level  
4 research program to go along with that. Many of the  
5 issues that came up today were also addressed in that  
6 chapter as some of the problems we had perceived coming  
7 at the future from there. The other things that comes a  
8 lot is that we hear about the renewables. Of course,  
9 today's discussion is on the 12,000 megawatts of  
10 distribution. There's 8,000 megawatts of transmission  
11 renewables. This is a chart that shows pretty  
12 effectively, it's a DOE chart, but it shows pretty  
13 effectively how renewables wind, in particular, effects  
14 the stability of generation and you can see in the upper  
15 left and lower right how systems that like to run nice  
16 and steady will be required to run at a very erratic  
17 mode without alternatives. And, of course, our research  
18 has been focusing on the alternatives that can make that  
19 bottom right look more like the upper left.

20           And also solar has very large ramping rates  
21 both when it comes on in the morning and whether you do  
22 it distributed or whether you do it centralized you have  
23 similar problems. So even if we do put in 12,000  
24 megawatts of distributed solar this performance  
25 characteristics will then be distributed out through

1 many networks and many of those may not have the  
2 stability and the ability to handle this without  
3 challenges.

4           In general the research efforts we do are  
5 focused in three areas. One is that we look at the  
6 actual components. For example, in the distribution area  
7 one of the things that came out of the IEPR 2007 was the  
8 extension of the number of underground cables we have in  
9 California and so we've done a considerable amount of  
10 research. The problem with underground cables is you  
11 don't know if it's ready to fail, if it's going to work  
12 another 20 years however without a look so a lot of  
13 these systems were being replaced. We were asked by the  
14 utilities to do some research and see if we can come up  
15 with some ways of testing the cables so that if the  
16 cable is 30 years old we could see if it would last 20  
17 more years and then we can do something about that. As  
18 opposed to replacing it and finding out once we pulled  
19 it up, there's nothing wrong with it but the one next to  
20 it may be ready to fail in six months.

21           So we have been doing some research. We're in  
22 a test phase and have come up with some creative ideas  
23 on how to test the cables and we've been able to do  
24 that. And like I said before there are projects out  
25 there now being tested by the laboratories.

1           So we do this across the spectrum of looking  
2 at components. Obviously the big issue has become  
3 integration. We've been looking at integration from the  
4 system level via the commercial buildings via the  
5 microgrid and the residential home. And then we've also  
6 looked at it from the smart grid, which we've talked a  
7 lot about today with the whole distribution systems and  
8 also the transmission system together. So you talk  
9 about a utility level or multi-utility level and look at  
10 all the issues that will address that.

11           Some specific projects of interest to this  
12 area today, and we also have---PIER program has an  
13 advisory committee that is chaired by Chairman  
14 Weisenmiller and one of the topics—we just had a large  
15 meeting in March and one of the discussion points in  
16 there when we asked about what their primary issues  
17 were, they were very clear to them now that distribution  
18 was a bigger and higher priority than it had been in the  
19 past and so as a result of that we've adjusted our  
20 research funding profiles and we've begun to address  
21 more issues. You'll hear a little more about that. The  
22 program with Sasha. We'll talk about how it's very  
23 relevant. It is PIER funded but she'll talk about it  
24 specifically and you'll see how it ties to how some of  
25 the issues have been directly addressed today.

1           Demand response energy storage and those types  
2 of things. Forecasting. We're starting to do those  
3 with the utilities and with the ISO to help in that  
4 area.

5           Vehicle integration. Electric vehicle  
6 integration into the grid has become—as well as PV and  
7 these have become a big issue so we're looking at  
8 different ways to do that. There's quite a bit of  
9 research ongoing in those areas.

10           For those that are familiar, California was  
11 successful, not as successful as we wanted to be, but  
12 pretty successful obtaining quite a few of the American  
13 Recovery Reinvestment Act. Of those, there are quite a  
14 few projects in here that are storage related,  
15 distributed related, meter related. So one of our  
16 challenges is to learn from all these systems and see if  
17 we can go advance it. Some of these are more close to  
18 commercial, some are more in developmental. And so  
19 we're going to be using this information to take the  
20 next step forward over the next two years as most of  
21 these projects will complete the bulk of their work.

22           The two areas where we have seen a lot of  
23 attention, and whether it's distribution or  
24 transmission, it's the same and that is the use of  
25 energy storage to address some of the mitigation of the



1 renewables. And also the ability of using demand  
2 response. The Commission has about an 80 year history  
3 of working with demand response and a five year history  
4 of automation of that response. So what happens,  
5 surprisingly enough, we looked into this. It was  
6 originally planned for peak load reduction but when you  
7 automate systems we can get the system response in 30-40  
8 seconds and it can last for 30 minutes or so, it begins  
9 to look a lot like a profile of energy storage. The  
10 interesting part of this is it's about 10 percent of the  
11 costs for energy storage so we're doing quite a bit of  
12 work, as you'll see, in trying to mirror energy storage  
13 and demand response together for a unified process. The  
14 reason for that was that it could potentially drop the  
15 cost of mitigating intermittent renewables anywhere from  
16 30-50 percent over what it would be if you went with the  
17 more high cost option.

18           We've also done research in specifically  
19 using, in this case, in using electric home air  
20 conditioning units for ancillary services. We've now  
21 looked at the industrial side as well as the commercial  
22 side. But we've been doing research for several years  
23 on how we can take demand response, interface with the  
24 ISO and make that a service other than peak demand  
25 reduction. Make it a service on call for responding to

1 variations on the grid.

2           Looking at the future. We also have an  
3 advisory board that met yesterday. Smart grid  
4 infrastructure advisory group. We met with them and  
5 talked about different plans for the future to get some  
6 feedback from them. Again, distribution came out as  
7 being a top priority for efforts to do and this kind of  
8 gives you an idea of research efforts that we're working  
9 together with on the other PIER teams and we'll prepare  
10 an actual budget proposal for our research and  
11 development committee for later this year. But what  
12 we're trying to do now is line up the research funding  
13 within the top priorities within the state.

14           One area where we had a huge success and  
15 Merwin Brown is here, he's been involved from the very  
16 beginning of this, the synchrophasors. If you're not  
17 familiar with that term, it's a high-speed data  
18 collection system that's used for transmission systems.  
19 It goes from what we have today, which collects data  
20 every four seconds, to something that collects something  
21 30 times a second. We had an ISO representative  
22 yesterday at our meeting, while they were at a meeting  
23 in Canada, pointed out that synchrophasors are now being  
24 deployed throughout the whole country. California is  
25 recognized as the innovative leader of this technology

1 and PIER was founding source for this technology to be  
2 so far along. The DOE is putting over \$100 million in  
3 deploying these systems throughout the country. The  
4 western U.S. is one of the big ones. The big deal of  
5 the ISO is that they can see things on the grid before  
6 it happens. It can prevent outages. It can prevent  
7 disruptions. They have a much better feedback system  
8 for the information so they can get the information and  
9 respond before our problem occurs. When they go with  
10 four second data the problem has already occurred  
11 sometime before they even knew it happened.

12           What's going to happen now in our future  
13 programs is that they're going to be looking at using  
14 this kind of data at the distribution level. As we get  
15 more and more instability on distribution level, then  
16 you have this type of technology that allows you to  
17 manage the distribution system better.

18           We mentioned before that we have quite a big  
19 effort of getting together energy storage, as I  
20 mentioned, we have this Assembly Bill 2514, we have in  
21 our case more than 10 projects right now that are energy  
22 storage related that are funded through ARRA and so we  
23 feel quite a bit of activity. The key is to leverage  
24 all of that and come out with the best solution for  
25 California. One of the things that we're looking at for

1 both storage and our DR is to look at what we estimate  
2 the need in 2020 will be to meet the RPS. We have a new  
3 effort starting with Lawrence Livermore where we're  
4 using high performance computing to help us estimate the  
5 model of the grid and come up with some projects that we  
6 hope will give us some better insight and what kind of  
7 variation we can expect.

8           That was pretty quick but I think we're real  
9 behind so I was trying do that fast. I'll answer any  
10 questions I can, first, and then I'll introduce Sasha  
11 for the second presentation. Questions for me from  
12 anybody? Yes, sir?

13           CHAIRMAN WEISENMILLER: That's good, Mike.  
14 Thank you.

15           MR. GRAVELY: Thank you. Okay. So Sasha has  
16 done a project for us in the distribution area which we  
17 think is very relevant to today's discussion. It is  
18 PIER funded so she'll be able to answer any questions  
19 that you might have.

20           MS. MEIER: Thank you, Mike. I don't know if  
21 I can speak as fast as you do. I'll try. So I will  
22 tell you about an initiative to study the distribution  
23 systems to facilitate the integration of higher levels  
24 of distributed generation. It's also relevant to the  
25 increasing presence of electric vehicles.

1           I would like to start by really presenting a  
2 bit of a comparison and contrast between transmission  
3 and distribution which I'm hoping is conceptually  
4 helpful. As Mike said, one of the really successful  
5 PIER funded research programs involved synchrophasors  
6 whose purpose is to give grid operators a real  
7 visibility and diagnostic tool of what is happening on  
8 the system. And you might ask the question what is the  
9 analog of improving visibility at the distribution  
10 system level.

11           Distribution systems are laid out differently,  
12 for the most part, than transmission so you see at the  
13 lower voltage levels mostly the systems are laid out in  
14 a radial manner. There is great diversity in how these  
15 circuits are designed. Many different attributes that  
16 vary. There's also time variation and what happens is  
17 that loads on the feeders and balancers that are  
18 relevant, they're vulnerable to external disturbances.  
19 But yet they're also largely opaque to the operators  
20 responsible for them.

21           This is a list, that I don't have to go  
22 through, but just to give you a sense of there really is  
23 a large number of attributes that distinguish different  
24 distribution circuits and they vary not just among  
25 utilities but within the given utility's service

1 territory. There's going to be different generation of  
2 technology, some outfitted with new SCADA equipment for  
3 instance and some older. And a great range of technical  
4 variables that will of course affect how easy it is or  
5 how beneficial it is the integration of a lot of the  
6 distribution generation might be.

7 I liked this cartoon which is if you talked to  
8 distribution operators, you know, they'll tell you that  
9 their job is to expect the unexpected and at the  
10 distribution level, more so than transmission, that you  
11 just don't know what's going to be next. This is Andy  
12 at one of the more rural jurisdiction. He's a  
13 distribution operator. Just to give you a sense of a  
14 lot of the technology people are working with today is  
15 really still analog technology. It's not quite the  
16 bells and distinction as it's a few years old but it's  
17 not quite the bells and whistles you see at Cal ISO for  
18 instance but we're talking about telephones and sending  
19 a guy out in a truck to operate, manually in many  
20 instances, some of the switches or equipment. And this  
21 wall map that shows all of the circuits and I hear  
22 chuckles and you might think that this is so retro but  
23 they're actually really good reason for this kind of  
24 robust analog technology. For one thing, you know that  
25 you're dealing with the most updated version of the map.

1 And it's a very rich layered texture of information  
2 about the peculiarities of individual circuits. The  
3 point being that these systems are really data rich and  
4 there's a lot of variation that's hard to capture in a  
5 generic model. So you have information like if you send  
6 a guy out in a truck to open or close the switch you  
7 better send two guys. I always like to say well one  
8 woman might be able to operate the switch.

9 [LAUGHTER.]

10 So this richness of data, the variability and  
11 vulnerability make it very important to get detailed  
12 information about what is happening on individual  
13 distribution circuits. But we don't have the technology  
14 in place to see what's going on.

15 With respect to integration of distributed  
16 generation, what would utilities like to see. Well,  
17 they would like to have data about voltage, about power  
18 flow, power quality measurements. Of course, in a  
19 perfect world, we'd have crystal balls that would tell  
20 us not just what the sun is going to do in the next  
21 minute and second but what the customers are going to do  
22 in the next minutes and hours and years. And we'd like  
23 to have good, predictive models and models that usefully  
24 aggregate individual data.

25 The first item here is really the foundation

1 for everything else which is to get physical data in  
2 real measurements. What you have on the majority of  
3 distribution circuits to date is SCADA systems but  
4 they're not on the 100 percent of the circuits that may  
5 give you voltage and power data but not really  
6 throughout the entire length of the feeder. Usually at  
7 the substation level. You might have individual pieces  
8 of equipment that are instrumented but again not all of  
9 the points along distribution circuits that might be  
10 relevant. Capacitor banks might give you a reading. In  
11 the automatic metering infrastructure, the smart meters,  
12 might be enabled to give you—to give operators data  
13 about voltage for instance but that functionality isn't  
14 always in place yet.

15           So additional sensing modeling is needed to  
16 evaluate and anticipate the impacts of the distributed  
17 generation on different kinds of distribution feeders  
18 and the question is where do you start and how do you do  
19 this in a cost effective and reasonable way? So for  
20 instance we would like to know what resolution and time  
21 and space do we really need to have measurements. It's  
22 not entirely obvious.

23           There's talk about using synchrophasors PMU,  
24 phasor measurement unit, at the distribution level.  
25 That might not be for the purposes of measuring voltage



1 angles but it might just be for the time revolution of  
2 having 30 measurements per second for instance. It's  
3 not clear that you need that kind of resolution  
4 everywhere but we probably need to start with getting  
5 some high resolution data so that we then know how to  
6 scale back so we don't miss anything interesting.

7           Also, you've heard for instance mention of  
8 having telemetry on photovoltaic installations. We'd  
9 like to know well, ok at what level would that be really  
10 beneficial. Of course, the flip side of that is that  
11 you don't want to inundate operators with excessive  
12 data. So the advisory committees to the PIER research  
13 program have really produced, I think, a consensus that  
14 some of the major challenges do reside at the  
15 distribution level. That we do need increased monitoring  
16 and characterization of the distribution systems. And,  
17 as you also heard today, there's an impressive array of  
18 work already going on among the investor owned utilities  
19 and the POU's doing really careful studies of the impasse  
20 of distributed generation to date. There's also a sense  
21 that a collaborative coordinated effort would be really  
22 useful so that we can get data that is compatible and  
23 complementary and we can get a coherent big picture and  
24 a real systematic understanding of the great variety of  
25 the distribution systems that we have in our state.

1           So for that kind of comprehensive standard our  
2 initiative is really looking at starting from the  
3 characterization of some sample feeders and assessing  
4 the impact locally of distributed generation to then  
5 find a way to share that information and analyze the  
6 data in a coordinated way to inform then the next step  
7 better models of different kind of distribution feeders.  
8 Perhaps there's a way to develop a typology of different  
9 feeder characteristics that's meaningful rather than  
10 having to do a one off analysis for every single one but  
11 also as you heard today one single connection standard,  
12 for instance, or percent penetration cap might not be  
13 the most reasonable way to direct the use of DG on  
14 different kind of DG feeders since they're so different.  
15 So we need to understand that better, what the impacts  
16 are and then see where do we most intelligently direct  
17 the efforts to do more sensing and monitoring and how do  
18 we, next step, tell the inverters what to do. We've  
19 heard that the technological capabilities are there but  
20 we, at this point, need to learn more about the  
21 distribution system so that we know what to ask of the  
22 DG technology.

23           Where I see—and I think the role of peer  
24 research is really important here as a coordinating  
25 function to bring together the common ground to make the

1 collaboration among the individual utilities that have  
2 done specific technical work. But we want to have a  
3 coordinated effort so that people can learn from each  
4 other and don't reinvest the wheel. And that we really  
5 accelerate the learning process. So I'm going to skip  
6 through this as you have the handout but where we're at  
7 right now is forming a working group with technical  
8 experts from the different utilities to really hammer  
9 out the nuts and bolts of how do we, most intelligently,  
10 get the data together and have an efficient mechanism  
11 for collecting and evaluating these data.

12           Where we want to get to is clearly safe and  
13 reliable operation of distribution systems with  
14 increasing DG and also electric vehicles and, as was  
15 said earlier, it's not just a matter of tolerating the  
16 DG but really using those assets to the system's  
17 advantage.

18           Transmission operators, Cal ISO would also  
19 like to know a bit about what's happening behind the  
20 substation as the percentage of the renewable generation  
21 increases and that's a little harder to predict as it's  
22 distributed. It becomes important for Cal ISO to see  
23 behind the substation.

24           So briefly, being able to tell inverters what  
25 we'd like them to do so they can be of the most use to

1 the system. And then finally knowing where the most  
2 important places are to upgrade distribution  
3 infrastructure because, clearly, you're not going to  
4 take down this whole—these assets and replace them  
5 tomorrow. We want and need to go step-by-step in a  
6 sensible manner to enable the most effective of both  
7 penetration of the distributed resources of where they  
8 make sense so it's a matter of finding the right places,  
9 the most beneficial places for sighting them but then  
10 also diagnosing where the issues really are to target  
11 the upgrades and the increased sensing monitoring. All  
12 of this starts with getting the data and seeing what's  
13 going on.

14 I would like to just finish on a personal  
15 note. As a graduate student I stated to take courses in  
16 electrical engineering because of my personal conviction  
17 that our country needed to go to 100 percent renewable  
18 energy and I realized that the biggest hurdle for that  
19 was probably in the electric power infrastructure which  
20 is why I began to study that.

21 I think as advocates of renewable energy we  
22 mustn't kid ourselves to say that this is going to be  
23 easy. I think these are some really difficult problems  
24 but they are also exciting problems. And I think  
25 they're solvable as we've heard today. So it's matter

1 of smart people working together and I've been very  
2 impressed by what I've heard today and it makes me very  
3 hopeful. So thank you.

4 MR. VILLARREAL: So I don't have so much as a  
5 question but I'm going to make a statement. I actually  
6 have to leave at 4 so I'm going to make two additional  
7 statements if that's okay with the Chairman.

8 CHAIRMAN WEISENMILLER: Sure.

9 MR. VILLARREAL: Thank you for the  
10 presentation. A lot of what I've heard throughout the  
11 day is about how do we collect information, how do we  
12 know what's going on. One of the things that I failed  
13 to mention, because it didn't seem important at the  
14 time, was that there's a clamor for doing metrics and  
15 the PUC is in the process of finalizing a decision to  
16 outline how the utilities are going to start collecting  
17 and reporting exactly the things that were being  
18 discussed. And the requirement right now is to have the  
19 metrics be recorded annually starting in 2012. One of  
20 the things will be a continuous process on how to  
21 update, evaluate, revise and edit metrics as we go  
22 forward and as we get more and more information on  
23 distribution, what other information can we start  
24 measuring. What other information do we want to start  
25 measuring? And how do we do that in a cohesive manner

1 much the same way that was just discussed?

2           So the PUC is a bit on the smarter side and  
3 much more aware of these issues and is very much  
4 supportive of continuing to collect information that  
5 will help support future planning for the grid.

6           The second thing that I wanted to point out is  
7 that I wanted to support a statement made by SMUD  
8 earlier on. Don't forget cyber security. As we've gone  
9 through in developing policies, cyber security keeps  
10 coming up over, and over, and over again. As I'm sure  
11 Frances can attest to when FERC had their hearing  
12 earlier this year on the first five families of  
13 standards, 61850, amongst others, was hammered for not  
14 having an adequate cyber security review. So as we're  
15 talking about standards, don't forget that cyber  
16 security will still how up—and come out of nowhere that  
17 there is a clause somewhere in the standard on cyber  
18 security.

19           And the third thing that I just wanted to  
20 briefly discuss was that we have an ongoing storage OIR  
21 and we're having a second workshop next Tuesday. So as  
22 a lot of the storage discussions are held here we also  
23 are having an OIR going on at the Commission. One of  
24 the things that is going to become difficult, but very  
25 important, is how do we value all of these benefits that

1 solar provides. Those are the facilitating distributed  
2 generation, firming up the intermittent renewables and  
3 other grid aspects that we're expecting in the future.  
4 How do we help support all of those to make storage more  
5 cost effective? So these are our questions that we're  
6 going to be addressing in the OIR over the next-over the  
7 coming years. So I just wanted to say thank you for  
8 letting me speak up today.

9 CHAIRMAN WEISENMILLER: Sure. Thank you for  
10 your participation today. I think some of these were  
11 challenging issues that the two Commissions are trying  
12 to grapple with. I tend to be worried too that the  
13 cyber security is, whatever the right metaphor is in  
14 terms of the—we can't have a repeat of the smart meter—  
15 the PG&E smart meter debacle at least and cyber security  
16 could be one of the areas that could blow up in us in  
17 that sense.

18 MR. VILLARREAL: And we're very aware that in  
19 San Bruno the safety aspect of cyber security is also  
20 very relevant.

21 CHAIRMAN WEISENMILLER: So again, thanks for  
22 being here.

23 MR. VILLARREAL: Thanks.

24 MS. CLEVELAND: Actually, this is not so much  
25 a question for Sasha but she may answer this as well.

1 But this is related to the cyber security issue, there  
2 is a DOE funded NIST project that is—well it's being run  
3 by Energy SEC and EPRI is also doing some of the  
4 technology. I'm wondering is there any way that there  
5 can be involvement by the CEC, a lot of the utilities  
6 are involved, but involvement by the CEC with respect to  
7 trying to handle the cyber security issues? It's an  
8 open question.

9 CHAIRMAN WEISENMILLER: It's an open question  
10 and certainly one of the things that we have to grapple  
11 with on some level. We tend to be more involved on the  
12 R&D area here. The PUC is more involved in the  
13 implementation. Actually the ISO may be more involved  
14 in the operations of trying to figure out the best way  
15 of this combination. But, again, trying to work in a  
16 complimentary fashion.

17 MR. GRAVELY: So I wanted to point out that we  
18 do have a Smart Grid Center that we work with at Sac  
19 State and there's a specific element there on cyber  
20 security who has been working with us and been following  
21 the PUC rulings and helping us provide information and  
22 helping us update the Commission on where we are. So it  
23 is an issue that often comes up. It is an issue that we  
24 are following from the research center and helping to  
25 get information for the policy side. But we're very



1 actively involved with the PUC efforts and we are  
2 tapping the expertise that we don't have in-house that  
3 we are suing from the Smart Grid Center specifically for  
4 cyber security.

5 MS. KELLY: Thank you, Sasha. Our next  
6 presenter is Craig Lewis. He is from the California  
7 Clean Coalition. Craig and the—the Clean Coalition used  
8 to be called the FIT, the feed-in tariff, no coalition  
9 there. But whether it's the FIT or the Clean Coalition,  
10 one thing is for sure that they at every interconnection  
11 meeting that I've been at, going over weeks of meetings  
12 at the ISO last summer at the utilities, the Clean  
13 Coalition has been present and active and adding to the  
14 discussions. Craig is the Executive Director of the  
15 Clean Coalition, an organization focused on implementing  
16 best practices for scaling cost effective clean, local  
17 energy that is available now throughout the U.S. Mr.  
18 Lewis is a leading smart energy strategist and advocate  
19 with over 20 years of experience in renewables, wireless  
20 and semiconductor industries. He founded the Clean  
21 Coalition in January of 2009 and has navigated the first  
22 successful solar project through the California  
23 Renewables Portfolio Standards Solicitation Process.  
24 And he's been involved in two dozen RPS projects since  
25 then.

1                   MR. LEWIS: Thank you, Linda. Chair  
2 Weisenmiller and everybody else, I know this is the end  
3 of a long day—or coming to the end of a long day. So  
4 I'm going to try to be very brief with my comments.  
5 I've got a lot of details in my slides. Those slides  
6 are available to everybody on the website so I'll trust  
7 that you all can navigate through the details as you  
8 wish.

9                   Per Sasha's comments that she just made, she  
10 was really impressed with the slides that she's seen  
11 today and the presentations. I also have been very  
12 impressed. And the conclusion that I have at this point  
13 is that I've worked in the DG market for a long time.  
14 I've been involved in dozens of projects through the RPS  
15 program here in California and the DG market is ready.  
16 The market is there.

17                   What I'm convinced of after today is that the  
18 smart grid technology will be ready by the time it is  
19 needed. It's not needed today, we can put lots of  
20 additional wholesale distribution generation on the grid  
21 before we actually need the smart grid solutions to be  
22 active. But we need that technology to be on its way  
23 and it is on its way, as evidenced by everything we've  
24 heard today.

25                   The, probably the most important thing

1 relevant to this—my presentation here is that the policy  
2 is broken. So we've got the markets there, the  
3 technology is coming but the policy is broken. And  
4 that's what needs to be fixed. The policy needs to be  
5 fixed in order for us to maximize success of the  
6 potential of distributed generation and smart grid  
7 solutions. And it's a big part of what needs to be  
8 fixed is with respect to interconnection. We need lots  
9 of interconnection reform if we're going to be able to  
10 get anywhere on seriously generation smart grid.

11           This slide didn't actually come through very  
12 well. A couple of words on the Clean Coalition. This  
13 is a slide that I made six years ago and it basically is  
14 what we need to do—we need to get from the energy  
15 picture that we have today, and we have the energy  
16 picture six years ago. That's my chart there on the  
17 left which is a fossil fuel dominated energy picture.  
18 And we need to get to the smart energy future which is  
19 the—what's supposed to be a pie chart there on the  
20 right. And that is supposed to be mostly green with  
21 renewables, demand response, energy storage, electric  
22 vehicles and everything surrounded by energy efficiency.  
23 Those are the big five solutions and those big five  
24 solutions are almost are related to DG and/or smart  
25 grid.

1           A quick note on our Board of Advisors because  
2 we've got a strong connection here to the California  
3 Energy Commission. Two former Chief California Energy  
4 Commissioners are on the Board of Advisors—John Geesman  
5 Jeff Byron and also lots of other names that are very  
6 familiar to the Energy Commission here.

7           So let's put California into perspective. The  
8 situation in California is that we got an RPS program  
9 back in the early 2000s and we've basically been flat  
10 lining on the technologies that are actually of any  
11 concern here. The technologies that are of concern are  
12 the intermittent renewables technologies, that's solar  
13 and wind. Well, California has basically been getting  
14 lapped by the leading markets around the world that are  
15 actually deploying solar and wind. And California,  
16 relatively speaking, is just flat lining. So California  
17 is pretty much the horizontal line in green toward the  
18 bottom and you see markets like Portugal and Spain and  
19 Germany that are just lapping us. Their curves are  
20 exponential in comparison.

21           So I talked about the fact that the policies  
22 are broken and they need reform. This is a look at the  
23 experience that California is having with getting  
24 wholesale distributed generation online. Or excuse me,  
25 just getting wholesale renewables online. And what this

1 group of bars represent, if we just look at the group of  
2 bars on the very far right that represents the  
3 experience for the amount of renewable capacity that is  
4 getting fed into the RPS solicitation process and the  
5 auction processes. Any program that deals with RPS  
6 energy, this is the—the top blue bar is the amount of  
7 energy that gets bid in to those programs. The  
8 aggregate amount. And what happens is that we lose 90  
9 percent of that right away between bid capacity and what  
10 actually gets shortlisted. And I can tell you, I've  
11 been involved with dozens of projects, you spend an  
12 average—even for small wholesale DG projects—a couple o  
13 megawatts—you're going to spend anywhere from \$300,000-  
14 \$500,000 getting your bid ready and 90 percent of those  
15 are gone. You don't even make the shortlist. So if you  
16 don't have any opportunity to negotiate with the utility  
17 to bring that energy online. Now the guys that are  
18 lucky enough to get shortlisted, the 10 percent, half of  
19 those—or more than half of those don't actually get to  
20 the contract. And this chart doesn't even go into the  
21 fact that probably half of those projects that get  
22 contracted never actually come online because they bid  
23 too low or their interconnection costs end up being too  
24 high and they go away. So we just have a really, really  
25 damaging experience here in terms of failure rates.

1 We've got to fix that.

2 One of the ways to fix that is to follow the  
3 leading markets around the world and bring a clean  
4 program; a clean, local energy accessible now program  
5 which is essentially a feed-in tariff for the wholesale  
6 DG market segment.

7 So just to make sure that everybody is clear  
8 on what wholesale DG is, this diagram basically shows  
9 three market segments. We've got the retail DG market  
10 segment and everybody knows that. That's the net  
11 metering market. And then we're got the, on the other  
12 side of the spectrum, we've got the big central station  
13 renewables. It's out in the middle of nowhere, 100  
14 megawatts. It's interconnected to the transmission. In  
15 the middle is the sweet spot and it's really what we've  
16 all been talking about today. It's the wholesale  
17 distributed generation market segment. It is renewables  
18 that are interconnected to the distribution grid and  
19 serving local energy needs.

20 All right. So let's look at the markets  
21 that's actually working. Here's a little comparison of  
22 the solar experience in Germany versus the solar  
23 experience in California. The Germans are putting on 28  
24 ½ times more solar. In 2010, the Germans put on 28  
25 times more solar than California did despite the fact

1 the California had a solar resource that is 70 percent  
2 better than Germany's.

3 Now that next thing that you need to see is  
4 that the Germans are doing this, it's almost entirely  
5 rooftop solar, they put 7.5 gigawatts of rooftop solar  
6 on in Germany last year. Rooftop. And you can see how  
7 it's distributed in project size. It ranges from  
8 residential scale up to over a megawatts scale—but  
9 almost all of the deployment are one megawatts or  
10 smaller rooftop solar projects.

11 And by the way, I just want to note that these  
12 are mostly not behind the meter. So this is wholesale  
13 DG. Interconnection directly to the distribution grid.  
14 Even if it's up on a residential rooftop it comes down  
15 and interconnects with the distribution grid. One  
16 hundred percent of the energy is delivered to the grid  
17 and they're paid for every kilowatt hour that's  
18 delivered.

19 All right. Sometimes people will say that the  
20 Germans are paying too much for their solar. The  
21 reality is that they're paying the equivalent of 12  
22 cents a kilowatt hour. This is for rooftop solar, in  
23 Germany, today. And those efficiencies is because  
24 they're doing so much deployment that they can get the  
25 scale where the cost of the equipment, the cost of the

1 installations and the cost of the financing are so low  
2 that basically 12 cents kilowatt hour is what they have  
3 to pay. Now some people will say that it's actually 30  
4 cents if you do the translation of the German feed-in  
5 tariff rate. That is actually true but if you take 30  
6 cents and you convert it for the fact that they don't  
7 have the tax benefits like we do in the U.S., they don't  
8 have the solar resource that we have in the U.S.; 30  
9 cents in Germany is only worth 12 cents kilowatt hour in  
10 California.

11           And this is just a quick slide to show you the  
12 different in the solar resources in Germany versus  
13 California. The German—the country of Germany is in the  
14 lower right hand corner. Purple is the worst solar  
15 profile that you can get. It's worse than Alaska. The  
16 entire continental United States is better than the  
17 solar resources that they have in Germany.

18           So I've talked about the interconnection  
19 issues. This is a chart that basically shows the number  
20 of interconnection requests that we are now experiencing  
21 in California and you can see that we've had this  
22 massive ramp up of interconnection presence. This is for  
23 distribution grid interconnection requests. And the  
24 actual amount of energy and the number of projects that  
25 have been connected to our distribution grid is



1 practically zero. Almost all of the renewable energy  
2 sign-ups in California for the RPS program has been  
3 central station, interconnected to the transmission  
4 grid. There's a handful of projects only that have been  
5 connected to the distribution grid. So barely any  
6 projects that have actually come online but there's a  
7 whole bunch of backlog on interconnections. But why is  
8 that.

9 Well, we have, as you heard earlier this  
10 morning, we've gone through this interconnection reform  
11 process. Well we definitely need interconnection reform  
12 but we need to re-reform the process. What is basically  
13 happened is that if you want to interconnect to an IOU  
14 territory, that's PG&E, Southern California Edison or  
15 SDG&E, you're basically looking at a process that is  
16 going to take you two years just for the  
17 interconnection. So this chart is a little hard to  
18 read but if you've got a copy of it in front of you, you  
19 can see that the orange bars show you what the total  
20 process is. The process steps involved with getting a  
21 project online with an investor owned utility in  
22 California. This chart shows that it's basically going  
23 to be between three and three-and-a-half years, that's  
24 if everything going according to the calendar so who  
25 knows if that's going to happen.

1           What I want to emphasize here is that we have  
2 a really good example from the Sacramento Municipality  
3 Utility District. Those guys have a process that gets  
4 the interconnection done in six months. Six months  
5 versus two years. The IOUs and the regulators in the  
6 state of California have got to do some benchmarking off  
7 of best practices. And Sacramento is providing a  
8 beautiful benchmark for providing interconnections done  
9 efficiently and effectively.

10           So I'm going to go over a few points. This is  
11 kind of what I call the connecting the dots to reform.  
12 There's a lot of really important pieces of information  
13 that's spread out in a lot of different places. I've  
14 got my top five in place here for you.

15           The first one is that 75 percent of investor  
16 owned utility's capital expenditures are spent on the  
17 distribution grid. Just let that sink in for a minute.  
18 Three-quarters of all the investor owned utility's  
19 capital expenditures are spent on the distribution grid.  
20 This is a massive investment not being made by the  
21 utilities, it's being made by the ratepayers. It's  
22 being made by me and you. That is a massive investment  
23 and as a ratepayer I want to make that my investment is  
24 being made effectively. That means it needs to be  
25 future proofed. It needs to be ready for lots of

1 wholesales and DG to get interconnected to that grid.

2           Second point, Germany and Spain provide  
3 excellent proxies for California's distribution grid to  
4 accommodate significant loads of clean local energy.  
5 There was a great KEMA study that was commissioned by  
6 the California Energy Commission that was just released  
7 last month and it showed that California's distribution  
8 grid is not all that different than Germany's or  
9 Spain's. And the Germans and the Spanish have  
10 multiples, multiple, times more distribution of  
11 wholesale DG on their grid than California does. We've  
12 got a lot of headroom before we need to hit any panic  
13 buttons. And we need to start getting that energy. We  
14 need to get those interconnections done.

15           Third point. Market price reference. This is  
16 kind of the standard for what you're allowed to sell  
17 renewable energy to the utilities at in California. The  
18 market price reference is determined at the point of  
19 interconnection. This means—and it's off of 500  
20 megawatts combined recycled gas to room power plant.  
21 This means that that interconnection pilot is out in the  
22 middle of nowhere interconnected to the transmission  
23 grid. When you normalize the locational benefits of  
24 interconnecting your energy to the distribution grid  
25 instead of the transmission grid, you're talking about a

227

1 25 percent value add for the energy interconnected to  
2 the distribution grid is worth 25 percent more. How do  
3 you get that? Well, first of all you're not paying  
4 transmission access charges which are at least 1.5 cent  
5 per kilowatt hour. That's just the supposed standard  
6 rate that has to get paid. For every kilowatt hour that  
7 drops down from transmission to distribution it's 1.5  
8 cents, that's about 15 percent of the baseline market  
9 price. Then you take into account that there's a line  
10 loss and a congestion loss for every kilowatt hour that  
11 comes off the transmission. And on average that's about  
12 a 10 percent line loss, line slash congestion loss. So  
13 there's a 25 percent value boost to wholesale  
14 distributed generation in California that is not valued,  
15 that's not compensated at all, in the market price  
16 reference. And we need to change that.

17           Last two connecting the dot points.  
18 Developers are responsible for 100 percent of the cost  
19 of distribution grid upgrades when they interconnect  
20 projects to the distribution grid. This is different  
21 from how it works on the transmission grid. On the  
22 transmission grid the ratepayer is going to pay 100  
23 percent of the upgrade cost of the transmission grid.  
24 And they're going to pay zero percent of the upgrade  
25 cost for the distribution grid. It's just the way FERC

1 has ruled on these things. So the ratepayer is getting  
2 a free upgrade to the distribution grid when developers  
3 are interconnecting to the distribution grid and paying  
4 for network upgrades.

5           The final point here is that the wholesale  
6 distributed generation interconnections need to be far  
7 more timely and transparent. As I already talked about  
8 this, wholesale DG interconnection process is basically  
9 that you're looking at a two year process if you're  
10 trying to do interconnection with an investor owned  
11 utility in California—And I also mentioned that we've  
12 got a beautiful benchmark with SMUD. SMUD did a 100  
13 megawatt feed-in tariff program, 100 megawatts of  
14 projects, and they took two guys in two months and did  
15 all the interconnection studies for all of the projects  
16 that were in the 100 megawatts. Two guys in two months.  
17 And it takes two years to get a single project done with  
18 an investor owned utility. I know there's investor  
19 owned utility guys in the room and a lot of them are my  
20 friends, but that is really pathetic and we've got to  
21 change that.

22           All right. So the solutions. We need to re-  
23 reform the distribution grid interconnection procedures,  
24 I hope that is painfully clear to everyone. We need to  
25 create a robust clean program, a clean local energy

1 accessible now program, which is also known as a feed-in  
2 tariff program for smaller projects five megawatts and  
3 below is what we promote. And we need to implement a D-  
4 grid vision, we have to have an integrated vision for  
5 the distribution grid.

6           One of the important things here is that the  
7 California Public Utilities Commission is proving to be  
8 a lot more friendly toward making sure we're getting  
9 good quality interconnection reform from them than the  
10 Federal Regulatory Commission is so to the extent that  
11 we can we need to make sure that the CPUC is in charge  
12 of interconnection policy instead of having the Federal  
13 folks in charge of it. We really need to reassure  
14 jurisdiction over wholesale distributed generation  
15 interconnection and we should do that through Rule 21  
16 interconnection reform.

17           And both FERC and the CPUC need to hold the  
18 utilities responsible for making sure that they are  
19 doing their interconnections on a timely and effective  
20 and transparent process. So we need to have audits  
21 because right now the utilities are in charge of the  
22 interconnection processes. You have to go to the  
23 utility to get your contract and you have to go to the  
24 utility to do your interconnection. And there's nobody  
25 auditing them on the interconnection. We need audits

1 and we need to make sure that those audits are moving  
2 the investor owned utilities to the benchmarks that  
3 we're seeing from the really good—the folks that are  
4 have really effective interconnection processes like  
5 SMUD. And we need to have penalties. We need to have  
6 some teeth in that if the utilities don't perform.  
7 There's lots of penalties for the developers if the  
8 developers don't perform; we need to have some  
9 venalities on the utilities if they fail to perform.

10 All right, I'm going to skip that slide. And  
11 I know everybody is getting a little tired so I'm going  
12 to skip to my next big topic which is that we need to  
13 have transparency on what the upgrade costs are going to  
14 be. So I told you that the developers are responsible,  
15 and I'm on slide 21 for those of you following along  
16 remotely, the developers are responsible for 100 percent  
17 of the upgrade cost of a distribution grid project. A  
18 project that's going to interconnect to the distribution  
19 grid. These constants range from zero to million of  
20 dollars per megawatt. So these things—it's like playing  
21 a game of Russian roulette and, like I said, you've got  
22 to go to the utilities and deal with the utility in  
23 order to know what that cost experience is going to be.

24 We've got to get some transparency on those  
25 interconnection costs before a developer gets site

1 control costs of hundreds of thousands of dollars. So  
2 before you start that process of getting site controls,  
3 you need to know whether that location has any kind of  
4 potential to become a viable project. In order to have  
5 transparency you need to know things like what's the  
6 capacity. What's the capacity of the substation that  
7 this location is connected to? What about the actual  
8 circuit and the line segments? What are the back feed  
9 potentials and the cross feed possibilities at that  
10 point? Keeping minimum loads of all of the items above  
11 and the size of the location in the queue. Not only do  
12 you have to have a snapshot of what it is today but you  
13 have to have a snapshot of everybody that's ahead of you  
14 that's going to be interconnecting wholesale DG projects  
15 anywhere near you on that circuit or that substation.  
16 You have to be aware of that because that's going to  
17 impact the experience you're going to actually have at  
18 the end of the day when you finally get it built.

19           You need to be able to predict what those  
20 upgrade requirements are going to be and determine what  
21 the costs are going to be, ultimately that is the most  
22 important thing. What are the costs going to be?

23           Now here's a little bit of good news. Data  
24 availability is improving. So we've been working—the  
25 Clean Coalition has been working for a long time with



1 lots of other folks and the CPUC has been very helpful  
2 in this effort and I think the utilities have been very  
3 good in terms of coming along and, particularly, PG&E  
4 has really led the way. They provide a fair amount of  
5 data availability now. The problem is—there's still a  
6 problem that the data that's available doesn't allow  
7 you—it's not the data you need in order to qualify for  
8 things like fast track which is an accelerated  
9 interconnection process. You don't have the visibility  
10 that you need in order to know whether you can qualify  
11 for things like that and if you're not in fast track  
12 then guess what, you're stuck in the two year long  
13 process that I was talking about.

14           The next two slides basically show a table,  
15 and I'm not going to go through the details, but what  
16 they'll be showing here is a partial list of the things  
17 that you will have to pay for upgrades. These are a new  
18 transformer or some reconductering of power lines.  
19 There's a list of things and as you need more and more  
20 of those things on the list you're experience is going  
21 to get more and more expensive in terms of the network  
22 upgrades. So what we need to do is we need to start  
23 standardizing some of this. So data availability, when  
24 I talk about data availability it's not just how much  
25 capacity is there at this point and how many people are

1 ahead of you in the queue but if you decide to  
2 interconnect a five megawatt size project at this point  
3 what are my costs of network upgrades going to be.  
4 Rather than playing a game of Russian roulette tell me.  
5 There information is there. The utilities have this  
6 information. They know that if you interconnect five  
7 megawatts at that point you're going to be tripping a  
8 transformer and you'll have to connect some lines and  
9 let's make that information available. And we can  
10 standardize this process. We can standardize the costs.

11 So this is my very last slide. Basically,  
12 we're standardizing and rate basing for preferred  
13 locations. So if we can standardize this process then  
14 for locations that make the most sense for the  
15 ratepayers in California we should also allow the  
16 utilities to pay for those upgrades which would simplify  
17 the process drastically for interconnection and if the  
18 utilities are paying for it, then eventually, that's  
19 going to be rate based so essentially the ratepayer is  
20 going to pick it up. But if we do this it will  
21 streamline the whole process and we'll have a much  
22 easier, effective and successful experience with the  
23 smart grid and distributed generation in California.

24 MS. KELLY: Are these any questions from the  
25 audience? Nobody? Okay. For our last presentation,

1 Eugene Shlutz is a Director in Navigant Consulting's  
2 energy practice. Gene has over 25 years of management,  
3 consulting and supervisory experience in energy delivery  
4 and power generation systems. He has managed to include  
5 smart grid and renewable technology, asset management,  
6 electric reliability and systemically he was used for  
7 the U.S., Canadian and South American utilities. He is  
8 an expert on electric power delivery systems and has  
9 testified before FERC and the State Utility's Commission  
10 on system expansion, transmission open access and retail  
11 rate cases and regulatory compliance. Today he will  
12 discuss a study that he did for the Public Utility  
13 Commission in Nevada and he looked at the costs  
14 associated with adding DG to the distribution system  
15 from the distribution utility's point of view. Gene?

16 MR. SHLUTZ: Thank you, Linda. Thank you  
17 everyone for your patience. It's four o'clock so we'll  
18 try to run through this fairly quickly and what I'll do  
19 today is focus on the most salient issues in terms of  
20 why this study was done, what the outcome was and what  
21 are the key results, what are the key impacts, what is  
22 important, what's not important and from there entertain  
23 any questions that you might have.

24 Okay. Just a little background. The Nevada  
25 Commission issued an order to the company to examine how

1 much DG can be installed on the existing system. And  
2 the important point to highlight is that they were  
3 interested in the system today with no improvements and  
4 what can the system accommodate. Some concerns were  
5 being raised by the company that well if we see too much  
6 PV there could be some impact, there could be some cost  
7 and cost was certainly a concern in the economic climate  
8 in Nevada. We were interested in the performance, is  
9 there enough capacity available on the system and also  
10 what's going to be the impact on electricity rates seen  
11 though the predominate issue was that how much DG can we  
12 fit on the power system.

13 Our focus folks looked at the 80/20 rule,  
14 let's not spend a lot of time on what's not important  
15 but take a look at where they are likely impacts. We  
16 found out that a good portion of the system was fairly  
17 benign in terms of the impact of DG on the system so we  
18 tended to focus more on those areas where there could be  
19 impacts.

20 Just to emphasize it again, we looked at DG  
21 meaning PV and wind, typically five megawatts or less  
22 and, in most cases, less than 50 KW, a lot of it rooftop  
23 PV interconnected at the primary distribution level, 25  
24 KB or 12 KB. I should mention that we are currently  
25 conducting another study where we're looking at large PV

1 and DG interconnected on the transmission system partly  
2 as a result of this study which found out their impact  
3 on the power system so the two systems were integrated.  
4 We'll devote more time to that later.

5           It was a collaborative process. We got a lot  
6 of good input from a fairly large stakeholder group  
7 involving solar community, wind community, state energy  
8 office, and the public service commission of course, the  
9 company. And, in fact, all of our assumptions had to be  
10 vetted and approved by this stakeholder group which was  
11 selected by the Commission and incorporated into their  
12 order. We found that they provided very, very good  
13 input along the way and the process of everybody  
14 providing their view and everyone having to sign into or  
15 vet all of our assumptions was very critical to get  
16 everyone to agree with the results of that study.

17           A few details look predominately at renewable,  
18 a small PV, a relatively small wind. It's about a 70/30  
19 split overall between PV and wind in the north, 90  
20 percent PV and 10 percent wind in the south. The north  
21 predominately being the Reno area. The south being  
22 predominately Las Vegas.

23           And techniques which were used were very  
24 detailed simulation models, distribution load flow  
25 models so we could assess the real or the likely impacts

1 rather than back of the envelope type calculations. And  
2 we also used production simulation models to be able to  
3 evaluation the impacts on the power systems, including  
4 generation.

5           We looked at three scenarios over time, one  
6 percent penetration, nine percent penetration, 15  
7 percent penetration over a 10 year period. What we  
8 found was that the one percent penetration scenario  
9 really had minimal impact although we jumped very  
10 quickly to the high penetration scenario at 15 percent.  
11 A little over 1,000 megawatts on a 6,000 megawatt  
12 system. That roughly translates into your 12,000  
13 megawatts in California. So the studies are somewhat  
14 comparable in terms of the amount of DG penetration.  
15 Again the 15 percent penetration pace is roughly equal  
16 to 10,000 megawatts or almost equal to California. I  
17 will emphasize again the one percent level, even at nine  
18 percent, we found that the impacts were so benign that  
19 we began to focus on the high penetration cases and, in  
20 fact, we began to look at penetration levels above 15  
21 percent because in many areas of the system 15 percent  
22 DG did not create an impact.

23           Now what we had to do to come up with a proper  
24 representation of DG impacts and performance on the  
25 distribution system was to come up with a representative

1 set of feeders in the north Reno and the south Las Vegas  
2 that pretty much covered a broad range of potential DG  
3 interconnections and feeder on their system. We wanted  
4 to make sure that we got the urban feeders, rural  
5 feeders, those with the mix of residential and  
6 commercial and industrial loads. Trying to focus on six  
7 representative areas in the north and the south for this  
8 detailed study. And I would highlight the loads ranging  
9 from one mile to 110 miles and loads ranging from about  
10 1 megawatt to as high as 12 or 13 megawatts. Same thing  
11 in the south, relatively short feeders to somewhat  
12 longer feeders. All 12 KB. Downtown feeders,  
13 residential. And again we visited to make sure that we  
14 had a good representation so that when we did our  
15 simulation analyses we had an accurate representation of  
16 how DG performance would be of urban, rural, light load,  
17 high load.

18           And initially we looked at uniform  
19 distribution of DG meaning equally spreading the PV  
20 across all of the feeders. Somewhat of an idealist  
21 assumption but that was our starting point. If DG was  
22 uniformly distributed what are the impacts? But then  
23 we also looked at more realistic scenarios where if you  
24 take a look on the left, uniform distribution, for  
25 purposes of doing our analysis we lumped or grouped the

1 PV at 44 houses in this particular neighborhood on this  
2 particular feeder for purposes of doing—or streamlining  
3 our feeder analyses. And then we also clustered the PV  
4 at the end of the feeder so that we could examine  
5 impacts under uniform distribution versus clustering all  
6 of the PV at the end of the feeder.

7           This slide represents our first display of  
8 performance results and what we found for the north and,  
9 this was a particular feeder, but somewhat  
10 representative of most of the feeders on the system.  
11 Assuming a range of plus or minus four to five percent  
12 voltage regulation, we found that under 19 percent  
13 penetration voltages at the end of the feeder were no  
14 lower than 98 percent well within the 95 percent  
15 criteria that we set among the stakeholders.

16           What we actually found though, in some  
17 instances, of their light load conditions voltage raise  
18 if a bit more of an issue so when you have a lot of DG  
19 located at the end of the feeder, light load conditions,  
20 we found that voltage regulation in terms of voltage  
21 raise became a bit more of an issue. And that's fairly  
22 consistent with the number of the studies that have been  
23 done independent of ours.

24           But under the lower penetration scenarios  
25 there was very, very little movement in terms of voltage



1 regulation and that was partly due to the length of the  
2 feeders. Many of them are short in urban areas. Many  
3 of them are underground cable systems. Voltage  
4 regulation on those short feeders in a suburban and  
5 urban areas of the Las Vegas, and Reno for that matter,  
6 were marginally impacted from the voltage regulation  
7 standpoint because only 15-20 percent DG is being looked  
8 at. It was relatively benign, all inverter based, set  
9 power factor at .99 or 1.0 so it basically became a  
10 current injection source and direct offsets of the load.  
11 Hence, as a result, voltage regulation in most cases was  
12 not a problem.

13           Then e took a look at what happens when you  
14 take all of the DG and put it at the very end of the  
15 feeder or the worst possible location in terms of  
16 voltage performance. Then we began to see some results  
17 where it was a predominately raise issue, mostly on the  
18 longer feeders, recollect that we had a 50 mile feeder,  
19 a 100 mile feeder, so when we put large amounts of DG at  
20 the very end of the feeder there were some violations.

21           One thing that I would highlight though, if  
22 you take a look at this blue line, that blue line is a  
23 typical feeder in Las Vegas, serving a mix of commercial  
24 and residential loads. And, in this case, we had DG  
25 penetration levels of up to 80 percent of the feeder

1 rating. Those one to two mile, mixed residential and  
2 commercial small industrial feeders have very, very low  
3 impact from a voltage performance standpoint. It's only  
4 when you got to outlier feeders which were extremely  
5 long, not representative of these entire systems that we  
6 run into some voltage problems. And in the case of this  
7 particular feeder, this is, I believe, an 80-100 mile  
8 feeder where all the wind and PV was put on at the end.  
9 We looked at light load conditions under very heavy  
10 penetration, 60 percent, and it's at that point that we  
11 began to see voltage regulation problems. In all cases  
12 though, at 20 percent-15 percent or less, there were no  
13 significant voltage regulation problems.

14 Now. So one thing that I would mention that I  
15 don't have up here is that there were pockets where,  
16 recognizing that some of the lateral feeders, someone  
17 mentioned today putting a lot of DG on the number four  
18 overhead wire and it creates some localized problems, we  
19 saw that. But our primary interest was looking at the  
20 mainline feeders and whether or not there would be any  
21 major impacts recognizing that there was always a  
22 potential for localized problems. The local  
23 distribution transformer didn't end up being big enough.  
24 The local distribution single line may not be big enough  
25 and those may have to be upgraded for higher penetration

1 levels.

2           And so our essential conclusion on the  
3 distribution study was that the distribution system  
4 alone was not a limiting factor with regard to how much  
5 DG could be installed on the system. Of course,  
6 recognizing very high amounts of DG located at the end  
7 of the feeder might cause some problems with regard to  
8 voltage regulation, we also found that some of the  
9 protection devices and coordination items had to be  
10 updated. These are relatively low cost upgrades  
11 compared to the cost of rebuilding a feeder. So I don't  
12 want to ignore some important findings with regards to  
13 the need for improved protection, protection  
14 coordination, changing out the old analog equipment were  
15 we can accommodate some reverse power flow.

16           So what we found though when we began to look  
17 at the volt power systems, in terms of OK. The  
18 distribution system has some minor limitations but by  
19 and large not the limiting factor. Then we need to look  
20 at the bulk power system. The combined generation  
21 system in terms of can you take 1,000 megawatts of DG  
22 and put it on a 6,000 megawatts system and still have  
23 your generation operate with current performance  
24 criteria. Recognizing that they have other large  
25 projects, large biomass projects, large wind and other

1 large solar that had either approved purchase power  
2 contract or were in the negotiating stage. Forty-four  
3 projects outside of DG represents around 1,200 megawatts  
4 of other renewable generation that is likely to go onto  
5 the system where it exists today.

6           And that leaves us with this diagram. I've  
7 seen variations of this diagram today and so it's a  
8 little bit fuzzy but what we did was, we took every  
9 single day of April 2011 and basically drew the hourly  
10 loads for each of those days. And then we took a look  
11 at what might be a stressed hour and that is about nine  
12 or ten o'clock in the morning when there's a significant  
13 amount of DG output in the form of PV. Now I'll walk  
14 through this very carefully. At about nine o'clock in  
15 the morning, the voltage is between 2,500 megawatts and  
16 3,000 megawatts on the entire power system. Recognizing  
17 that there is a balancing control area which is about a  
18 6,000 megawatt system compared to about a 50,000  
19 megawatt system here. So what happens? Fifty-four  
20 percent of that load is met by conventional thermal  
21 generation, predominately combined cycle because it can  
22 follow load, to meet operating reserves. But then we  
23 also have another 5-10 percent buffer because of  
24 proposed energy efficiency and demand response programs  
25 of up to 500 megawatts of demand response. The 1,240

1 megawatts of committed renewable projects all must take  
2 energy under the purchase power agreement and then the  
3 question becomes how much more DG can we fit for those  
4 hours. And in that particular hypothetical example,  
5 that brings us down to about 300 megawatts. And that  
6 led us to conclude during those hours of the year when  
7 loads are light, like this spring when loads are light  
8 on the system, we need to be mindful that the generation  
9 systems can be impacted and can possibly limit the  
10 amount of DG. So that led to a conclusion in our study  
11 that a more dominant factor was power generation system  
12 and whether that could accommodate this amount of DG, or  
13 12,000 megawatts of DG.

14 We also looked at the cost impacts. We were  
15 interested in what—when you integrate that amount of DG,  
16 one percent, nine percent, 15 percent—what happens to  
17 the generation mix in terms of fuel offsets. What fuel  
18 is avoided as a result of DG. And their system was  
19 predominately natural gas but, interestingly enough, the  
20 blue lines represent avoided coal generation. So not  
21 only were the combined cycles being backed off but some  
22 of the coal generation as well. And that's because of  
23 the evening loads or the early morning loads were  
24 generation had to back down because of the DG and the  
25 renewables.

1           Now the question also came up of what are the  
2 corresponding benefits? Are there any capacity benefits  
3 for wind and predominately PV? And the Las Vegas area,  
4 which dominates the load, tends to peak later in the  
5 day. So we identified a good match or correlation  
6 between peak PV output and peak system output or peak  
7 load. So we found very minor capacity benefits  
8 associated with DG.

9           And nearing my last slide, another part of our  
10 exercise though was taking a look at current net  
11 metering loads which allows up to one percent of net  
12 metering, well what happens if we were to increase the  
13 nine percent or 15 percent? And what we found was that  
14 the upper dark shaded area represented the emission  
15 benefits associated with DG, the green-light green  
16 represented fuel cost offsets, the remaining cost in  
17 blue represents effectively all the remaining O&M expenses  
18 at the distribution level, distribution system  
19 investment. And so we found though that there was  
20 actually a revenue gap of about \$50-100 million annually  
21 under the current net metering rule under current retail  
22 rates. The Bureau of Consumer Protection was very  
23 interested in seeing this as the issue was before the  
24 legislature at the time.

25           So the essential conclusion of both the north

1 and south Nevada systems is that they can accommodate  
2 large amount of DG when DG is evenly distributed,  
3 somewhat less when clustered, but the essential question  
4 of when we look at 15 percent penetration most areas of  
5 the system can accommodate 15 percent and, in many  
6 cases, more DG. And, again, I need to emphasize DG in  
7 the form of inverter based technology.

8           And the third bullet, we also looked at the  
9 transmission grid. When we had large penetration of DG  
10 coupled with most state renewables we found that there  
11 were some transmission impacts. We did network load  
12 studies and so they were preliminary but we determined  
13 that there could be some impacts with regard to VAR  
14 flow, importing of VARs from adjacent system were of  
15 real concern to the company.

16           But the effective conclusion was that the VAR  
17 generation system was more impacted by DG at high  
18 penetration levels that the power delivery system.

19           Currently, we're also working on a follow-up  
20 study where we're examining large scale PV on the order  
21 of 100-300 megawatts per installation in the desert to  
22 evaluate the combined impact of DG and large PV,  
23 especially with regard to looking at the minute-by-  
24 minute impacts with regards to reserve requirements,  
25 frequency regulation, load following requirements. What

1 are the impacts as we begin to look at highly  
2 intermittent PV. The gentleman from SMUD mentioned  
3 earlier that 50 percent of loss of PV output can happen  
4 on a cloudy day in a one minute timeframe. We're seeing  
5 the same type of occurrence. This study is wrapping up  
6 now and will be completed by the end of July this year  
7 and will be publicly available as well. And indeed we  
8 are taking a look at some fairly interesting data. The  
9 Sandia National Labs is involved, the Pacific Northwest  
10 National Labs is involved as well at taking a look at  
11 the operating reserve requirements and impacts. But  
12 Sandia has already developed, for our representative  
13 year 2007, minute-by-minute profile of 10 large PV sites  
14 in southern Nevada. And you can see that on a cloudy  
15 day that the variability of low deck can happen. The  
16 related question is though given that we're offsetting  
17 thermal generation, is there enough remaining generation  
18 to be able to follow load and not violate NERC  
19 performance criteria under CPS1 and CPS2. And that is  
20 the essential question that we're answer and still  
21 looking at today. And we'll have an answer in a little  
22 more than a month.

23           And one of the interesting phenomenon, of  
24 course is that, you can see that there's numbers on the  
25 map of southern Nevada and up in the upper left is



1 number seven. That's a 300 megawatt proposed plant.  
2 And so when cloud cover goes across the area, it doesn't  
3 necessarily hit every plant at once, so there is some  
4 geographic diversity and benefits for large PV. And you  
5 can see that in the composite curve on the right.

6 And that ends my discussion. Glad to answer  
7 any question you might have.

8 CHAIRMAN WEISENMILLER: Thank you for being  
9 here.

10 MR. SHLATZ: Thank you for the opportunity.

11 MR. THALMAN: Jonathon Thalman from PGE. On  
12 your conclusion slide, you had an interesting slide that  
13 you omitted to talk about. I was wondering if you could  
14 address that for us.

15 MR. SHLATZ: Certainly.

16 MR. THALMAN: The reason that I'm interested  
17 is that is it just something that we are concerned about  
18 and you're talking about the reduction in revenues and  
19 how it could be impacted by net energy and net energy  
20 metering rules. So it's a concern we have. It's  
21 interesting because in your study you show that this was  
22 the case. So I'm curious how you found out and how you  
23 quantified that.

24 MR. SHLATZ: Well, the technique that we used,  
25 of course, was we conducted productive simulation

1 analyses using ProMod and basically looking at the  
2 impact of DG and basically the model of the re-dispatch  
3 of the entire system every hour to identify what the  
4 change in fuel costs and O&M is, variable O&M, for the  
5 system. But then we took a look at the current net  
6 metering rules are basically a full offset under current  
7 retail rates. Now, one assumption that we made was  
8 critically important, and that was about 70 percent of  
9 the DG was small. Meaning, it fell under residential  
10 rate classes one and two which were all energy rates.  
11 Only 30 percent were under commercial rates where the  
12 demand charge would be offset. So effectively the rate  
13 was 10 cents for example, there was a, virtually, a 9-10  
14 cent credit even under current net metering rules. So  
15 the fuel cost offset, 30 percent perhaps of the total  
16 plus the additional emission benefits only constituted  
17 maybe 35 percent of the total cost of delivery under  
18 that embedded or under that retail rate. So the  
19 offsetting benefits were predominantly emission and  
20 fuel. We found very, very little benefits, in terms of  
21 capacity, there were some marginal loss benefits but  
22 they were small. Most of these systems were these short  
23 feeders, one mile long, and in most cases the loss  
24 benefits were less than one percent, except on the very  
25 long feeders. There were far more greater number of

1 small feeders. But that's how we came up with the  
2 number. And it's hypothetical because 15 percent of  
3 penetration, net metering rules at that level just  
4 weren't contemplated but it was a stakeholder driven  
5 process. One of the stakeholders from the state energy  
6 office was pretty adamant that we look at the high  
7 penetration levels under current net metering rules.

8 MS. MARKS: Jaclyn Marks from the, California  
9 Public Utilities Commission. I'm very interested to see  
10 when this next study comes out and presenting on it.  
11 I'm interested in your first conclusion which is that  
12 you believe that greater amounts of DG can be  
13 accommodated on the existing infrastructure, when evenly  
14 distributed, less when clustered. When does less when  
15 clustered mean? Can you please clarify that? And the  
16 reason that I ask is because we know that the way land  
17 availability works and rooftops work is usually when  
18 there's clusters and it's not evenly distributed. So  
19 how does that really apply in the real world?

20 MR. SHLATZ: Yes. Well, your state pretty  
21 much underscores the impact. We recognize that the  
22 system is not ideal and they're not going to get even  
23 distribution but that was our starting point. What we  
24 mean by less—we were intentionally vague because less  
25 meant different things on different parts of the system.

1 On all of those one mile long feeders in Las Vegas and  
2 downtown and the surrounding area, it didn't matter if  
3 it was clustered or a one mile feeder or a two mile  
4 feeder. You put it all out at the end of the feeder.  
5 There's not anything lateral on that feeder. They're  
6 all main lines. So it didn't matter at all. That's why  
7 we were vague on that point. In a large number of the  
8 feeders, clustering didn't matter. On the other hand,  
9 there were some where it mattered a lot. Those long  
10 feeders up in rural Nevada, out in Elk Grove, where  
11 there was more wind generation, plunking down five  
12 megawatts of PV and wind at the end of a two megawatt  
13 feeder, that type of clustering had a huge effect than  
14 if you had evenly distributed over 100 miles. So it  
15 really—location, location, location makes the difference  
16 in terms of does clustering have an impact.

17 Frances, yes?

18 MS. CLEVELAND: I was wondering, given that  
19 we've been talking about inverters with the capability  
20 to do volt VAR control, do you see if there would be a  
21 significant impact if you installed—you know you're not  
22 changing the distribution system but if you installed  
23 inverters that had pre-specified volt VAR capabilities.

24

25 MR. SHLATZ: Absolutely. Yes. We were

1 looking at the existing system. And a good point that  
2 you raised is that we looked at existing technology. We  
3 were not asked to look at advanced technologies in terms  
4 of having that capability so current rules, current 1547  
5 requirements but everybody on the team understood that,  
6 "Gee, if we could vary the reactive output to have it  
7 respond to those high voltage conditions, we could  
8 mitigate that effect." Yes.

9 MS. CLEVELAND: I mean, I agree. You have to  
10 do what you were asked to do and that's the real world  
11 but I was also wondering in your next studies whether it  
12 wouldn't make more sense to include that kind of  
13 capability?

14 MR. SHLATZ: Under that study, we're under the  
15 same assumptions. In fact, there's even a greater  
16 restraint because the study has so many variables we're  
17 looking at the snapshot of 2011 only. We're kind of  
18 constrained by current technology, current rules but I  
19 would say, specially on this bulk grid, where we're  
20 looking—the transmission impacts were not capacity  
21 transmission impacts of voltage reactive power flows.  
22 So your point is so well taken because if there was  
23 greater control on that then an ability to manage it  
24 would make a huge different. What happened was that as  
25 you get greater miles of PV and DG penetration, shutting

1 down some critically loaded power plants which are  
2 providing post-contingency reactive support now go away  
3 because they're offline creating a VAR deficit.

4           Anyone else? Anyone on the line have any  
5 questions? Okay. Thank you. Good questions.

6           MS. KELLY: Thanks, Gene.

7           CHAIRMAN WEISENMILLER: Thanks again.

8           MS. KELLY: Chairman, any last comments or any  
9 last questions?

10           CHAIRMAN WEISENMILLER: Again, I'd like to  
11 thank everyone for their participation today. It's been  
12 sort of a lively and interesting group. And certainly  
13 at this point I think it's time to move on. I  
14 appreciate everyone filing written comments. When are  
15 they due, Suzanne?

16           MS. KOROSSEC: July 6.

17           CHAIRMAN WEISENMILLER: Okay. So thanks  
18 again. This meeting is adjourned.

19           MS. KOROSSEC: Thank you. Thank you, everyone.

20           [Meeting is adjourned at 4:50 p.m.]

21

22

23

24

25