

HEARING  
BEFORE THE  
CALIFORNIA ENERGY COMMISSION

In the Matter of: )  
 )  
Staff Workshop on the Electric }  
Program Investment Charge Program }  
\_\_\_\_\_ )

CALTRANS BUILDING DISTRICT 7  
100 SOUTH MAIN STREET  
LOS ANGELES, CALIFORNIA  
FRIDAY, AUGUST 10, 2012  
9:00 A.M.

Reported and transcribed by:  
Martha L. Nelson, CERT

APPEARANCES

STAFF

Laurie ten Hope, Deputy Director, R&D Division

Rob Oglesby, Executive Director

Dave Ashuckian, Energy Efficiency & Renewables Division

Erik Stokes

Sherrill Neidich

Cody Schindler

PANEL 1

Holly Smithson, CleanTech San Diego

Taylor Honrath, CleanTech Orange County

Mark Goodstein, CleanTech Los Angeles

Ilan Gur, Adv. Projects Research Agency, DOE

Cameron Gorguinpour, Ofc. of the Asst. Secretary, Air Force

PANEL 2

Vernon Hunt, Energy Program Manager, Department of the Navy

Jason Giffen, Plng. & Bldg. Director, San Luis Obispo  
County

Tamara Gishri, Prog. Mgr., So. Cal. Rooftop Solar Challenge

Josh Hart, Planning Director, Inyo County

David McFeely, Dir of Ind. Solutions & Grants, SolarTech

PANEL 3

Daniel Villao, California Construction Academy

APPEARANCES (Continued)

PANEL 3 (CONT.)

Strela Cervas, Co-Coordinator, Calif. Env. Justice Alliance

Aaron Ellis, Employers Training Resource, Kern County

Genine Wilson, Co-Chair, L.A.C. Economic Development Corp.

PUBLIC SPEAKERS

Byron Washom


John Holmes

Frances Spivy-Weber

Larry McLaughlin

Michael Colburn

Erick Serrato



PROCEEDINGS

9:17 A.M.

1  
2  
3 MR. OGLESBY: My name is Rob Oglesby. I'm the  
4 Executive Director for the California Energy Commission.  
5 I'm not Mark Goodstein, but he's joining us here shortly.  
6 And I want to welcome you to day two of the Energy  
7 Commission's workshop on the EPIC program. Yesterday's  
8 program -- yesterday's workshop was well attended and --  
9 both in the room and -- and on the WebEx. And today, for  
10 those who are on the -- on the -- on the phone on WebEx,  
11 the room is a little sparse but it's filling in now, and  
12 we're blaming it on Los Angeles traffic and parking. But  
13 we do have participants, both online and -- and in the  
14 room.

15 MS. TEN HOPE: You might need to be closer to it.

16 MR. OGLESBY: Let me try. Is this better at all?  
17 How about now? So -- but was I going over the WebEx?

18 MR. SCHINDLER: It was on WebEx.

19 MR. OGLESBY: Okay. So the only people who  
20 didn't hear me welcome you were the people in the room. So  
21 welcome again. Rob Oglesby, the Executive Director for the  
22 Energy Commission. So this is day two of the workshop.

1           Yesterday's workshop was more about the design of  
2 the EPIC program. And it's the -- was the third in a  
3 series of four workshops to help design the program. We  
4 had two workshops in Sacramento; very well attended. We  
5 had the one yesterday. And hopefully we'll lead to a plan  
6 that practically writes itself, a three-year investment  
7 plan for the EPIC program which is responsible for  
8 channelling \$162 million for good purposes, to provide  
9 ratepayer benefits  
10 and -- and further the purposes of energy research and  
11 development and deployment.           So today's panels are  
12 more about the benefits that are being brought about as a  
13 result of the EPIC program that are anticipated, or how to  
14 maximize participation and -- and the opportunities that  
15 the EPIC program will bring -- will present.

16           I have to my left Dave Ashuckian who is the  
17 Deputy Director for Research and Efficiency at the Energy  
18 Commission who is going to lead off shortly, following me.

19       But before I get to that point I wanted to thank the  
20 panellists, the Energy Commission staff who has worked  
21 really hard to put this together and will continue to work  
22 hard, and the participants.

1           At the conclusion of this workshop Staff has to  
2 go and draft the investment plan. And that will be vetted  
3 publicly in -- in a couple of weeks. Then based on the  
4 comments received on the draft that gets out on the street,  
5 it will be revised and put before the Energy Commission the  
6 last week of October at a special hearing just for EPIC  
7 program. And then following that it goes to the PUC where  
8 they have a process to -- to formalize it and -- and  
9 receive additional comments.

10           So without further ado, let's get to Dave  
11 Ashuckian, Deputy Director, and -- and the panellists.

12           MR. ASHUCKIAN: Thank you, Rob. As Rob said, I'm  
13 the new Deputy Director of Energy Efficiency and Renewables  
14 at the Energy Commission. And our program will be focusing  
15 on the technology demonstration, as well as market  
16 facilitation aspects of the EPIC program. That's broken  
17 out into three areas; the regulatory system and permit  
18 streamlining, the addressing barriers to commercialization,  
19 as well as market development. And there's about \$15  
20 million allocated to those three areas annually.

21           As we -- as you mentioned, yesterday's workshop  
22 was focused primarily on overview of the whole program.

1 And there were sections on clean generation, grid  
2 operations, and energy efficiency and demand-side  
3 management.

4 Today we're going to talk about energy innovation  
5 clusters, the regulatory assistance and permit streamlining  
6 areas, and workforce development. And we have a great  
7 array of panellists from federal, DOE, the military, as  
8 well as the defense industry, as well as local assistance  
9 programs, and universities. So I think it will be an  
10 interesting day.

11 As I mentioned -- had mentioned, it's a WebEx  
12 program. And so if you would raise your hand, I guess, as  
13 the -- as the mechanism to -- Cody is managing the WebEx.

14 And written comments will also be accepted. We -  
15 - we appreciate those by -- August 17th is the deadline for  
16 those -- those program -- for the written comments. I'm  
17 sorry.

18 And again, the areas we're looking for is  
19 addressing the barriers to -- to deployment and  
20 demonstration, identifying where funding should be and  
21 where funding should be prioritized, and what specific  
22 innovations and/or initiatives we should be focusing on, as



1 well as identifying the ratepayer benefits to the  
2 activities that we'll be funding.

3 And with that, I think Erik will be managing our  
4 first panel. And go ahead and come on up, and I guess we  
5 can get started.

6 If there's any questions, certainly I can  
7 entertain question at this point. Okay.

8 MR. STOKES: All right. If we could have the  
9 panellists come up.

10 MR. ASHUCKIAN: Just one more comment. For those  
11 of you who are new to the building, there is a cafeteria  
12 around the corner on the first floor. There's coffee and  
13 some refreshments there, if you need something.

14 MR. STOKES: Okay. Good morning, everyone. My  
15 name is Erik Stokes. I'm with the Energy Commission's  
16 Research and Development Division. And I'll be the  
17 moderator for this first panel discussion on energy  
18 innovation clusters.

19 First off, I'd like to thank all the panellists  
20 for participating, both in person and those who are  
21 participating remotely. The way the format is going to  
22 work is each of the panellists are going to have five

1 minutes to provide some opening remarks, share with us  
2 their experiences working as partners in innovation  
3 clusters. And then we'll have a series of questions we'd  
4 like the panellists to address. After that we'll open it  
5 up for a half-hour of public comment.

6 And so we'll start out first with the  
7 participants, the panellists that are here in person, and  
8 then we'll go to those that are participating remotely.  
9 First off is Holly Smithson. And she is the president of  
10 CleanTech San Diego.

11 MS. SMITHSON: Good morning. I'm Holly Smithson.  
12 As Erik indicated, I'm president of CleanTech San Diego,  
13 and delighted to be here. Thank you.

14 MR. STOKES: Sorry.

15 MS. SMITHSON: Now I can hold on to my coffee.

16 I want to thank, first off, the commission for  
17 holding this workshop, the scoping out of the roles that  
18 clusters play in fulfilling our mandates locally, and  
19 certainly those of the commission. I always appreciate the  
20 opportunity to see my friends and comrades in L.A. and  
21 Orange County.

22 Just to give you a little background about

1 CleanTech San Diego, for those of you who don't -- that  
2 don't know, we were hatched in 2007. So we're coming up --  
3 actually we just celebrated our five-year -- fifth year  
4 anniversary. A very exciting opportunity for us, and a  
5 huge turning point for San Diego.

6           So the genesis of CleanTech San Diego was really  
7 born out of economic development. San Diego has a long  
8 tradition of bringing industries and clusters and turning  
9 them into economic engines. And the clean tech -- the  
10 clean tech cluster was certainly no exception. We have a  
11 tradition that's been demonstrated through the high tech  
12 and the biotech, and certainly clean tech was going to take  
13 a page from that play book. We now have over 800 clean  
14 tech companies that call San Diego home. And some of the  
15 key partners and anchors of our cluster are the utility and  
16 the universities who are the founders and cofounders of the  
17 organizations.

18           MR. HONRATH: My name is Taylor Honrath. I'm  
19 here on behalf of CleanTech OC. And thanks to the Energy  
20 Commission for having us. We're similar to CleanTech San  
21 Diego, and by that I mean we more or less copied their  
22 model because it's been so successful. So thank you for

1 paving the way and -- and lighting the way in that regard.

2           We actually began more recently, in 2010, in  
3 fact. So we're just a little over two years old. But we  
4 essentially were first founded to leverage a lot of the  
5 stimulus dollars that were being disbursed to clean tech  
6 companies and, I guess more broadly, clean energy companies  
7 throughout the United States. And a number of, you know,  
8 key players in Orange County realized that those dollars  
9 weren't coming to Orange County, despite the fact that  
10 there's a great deal of innovation happening behind the  
11 orange curtain.

12           And we ultimately realized that that's for a  
13 number of factors. Certainly, several are political. But  
14 a lot of it also had to do with the fact that there was  
15 very little collaboration between universities and pure  
16 play clean tech companies. And you had a lot of people  
17 advancing some -- some truly groundbreaking work and  
18 research on the university level, in the private sector,  
19 and in the public sector, but no one was talking to each  
20 other. So at the most fundamental level we essentially try  
21 to strive to be that connective tissue and foster those  
22 relationships.

1           And we were started by one of the larger VCs in  
2 Orange County, pipe equity firms, pure plate clean tech  
3 companies, the utilities, a handful of larger cities, and  
4 then, of course, some private sector companies as well.  
5 And we -- one of our -- our more recent projects has been  
6 this CSO roundtable. And this speaks more to the business  
7 development side that we try to facilitate for some of  
8 these clean tech companies. And by that I mean we  
9 essentially have organized a number of individuals in  
10 Orange County who are acting chief sustainability officers  
11 for Broadcom for Disneyland Resort, and very large buyers,  
12 essentially, that work for companies that have  
13 sustainability commitments. And they're striving to  
14 achieve them, but they don't quite understand how. And we  
15 try to pair them up with these clean tech companies so that  
16 not only can they begin building relationships, but they  
17 can also, hopefully, attract some very large customers in  
18 the process and do good by these companies trying to be  
19 mindful of their carbon footprint.

20           So I won't take any more time, but I'm certainly  
21 happy to connect with folks afterwards and share more, and  
22 appreciate your -- you being here this morning.

1           MR. GOODSTEIN: All right. My turn. I am Mark  
2 Goodstein with CleanTech L.A. It's interesting to see how  
3 these three organizations formed, a little different in  
4 each case, with different actors.

5           Thank you to the CEC for hosting us. There's  
6 definitely a role for the CEC and this EPIC money to help  
7 all of these innovation ecosystems.

8           The foundation of CleanTech L.A. is also funny.  
9 It's -- it was an effort by UCLA to get a \$500 million  
10 climate change institute. The history is the money went  
11 away. The mayor convened the research universities, Cal  
12 Tech, USC, UCLA, and JPL, and a bunch of business  
13 associations, and formed this organization called CleanTech  
14 L.A. And it was stacked up at the mayor's office for a  
15 long time. But they formed a 501(c)(3) and had a website  
16 and a mailing list and did a little advocacy for federal  
17 grants. And then in March of this year I came onboard as  
18 the first full-time staff member.

19           So I've been spending my time figuring out what  
20 the program -- our focus areas should be. And we're  
21 really -- there are three main focus areas. One is a data  
22 program. We have the biggest -- we are an enormous

1 metropolis. We are an enormous market. In some ways we  
2 are -- we have a market the size of a G7 nation, and we're  
3 not cohering, and we don't really understand what clean  
4 tech means in the L.A. Basin. So we're going to do a  
5 ground-up survey of clean tech. So how many companies are  
6 there, how many jobs, revenues, size, scope, job openings,  
7 capabilities, and so forth, and start doing exactly what  
8 Taylor said and try to be connective tissue within the L.A.  
9 Basin.

10           And there's a second program which is the main  
11 driver for our being here and our interest in EPIC, which  
12 is early stage innovation grant pool, which is -- consists  
13 of industry money, industry input into commercially  
14 relevant focus areas, team-building help, and small amount  
15 of -- of capital. And our -- our hope is that we can get -  
16 - we can convince EPIC to match the industry money that  
17 comes in to fund early stage great ideas.

18           And I think that I'll close by saying the --  
19 the third focus area, of course, is brining coalitions  
20 together to go after big federal grants. So we're going  
21 after a big, maybe \$100 million advance money factoring  
22 into it in the company months in concert with UCLA and JPL

1 right now. That's a big deal.

2 I think the big -- there's a problem statement  
3 that we hope to fix. It is that L.A. is a place that does  
4 many aspects of innovation. We do a lot of discovery with  
5 the four billion plus in federal dollars that come into our  
6 research universities. But we don't do a good job of  
7 growing those companies.

8 So there's a professor at Cal Tech named Frances  
9 Arnold who started two companies over the last 15 years.  
10 They've both gone public, and neither of them are in L.A.  
11 That's a big problem. We do a great job of doing all of  
12 this, but then they leave.

13 And as an entrepreneur, as someone who has been a  
14 start-up person all of my life, I have watched friends and  
15 colleagues do exactly the same thing, develop ideas here  
16 and move north for money or east for talent or whatever  
17 else. So I think that's it.

18 MR. STOKES: Okay. So next we'll go to our  
19 panellists that are participating remotely. First off is  
20 Ilan Gur. He is the program director and senior advisor at  
21 the RPE for the U.S. Department of Energy.

22 MR. GUR: Hello?



1 MR. STOKES: Yeah.

2 MR. GUR: Can everyone hear me?

3 MR. STOKES: Yeah, we can hear you.

4 MR. GUR: Oh. Perfect. Sorry about that. I  
5 was -- I was on the line but it wasn't clear.

6 So thank you so much for -- for inviting us to  
7 participate on the panel. As the introduction mentioned,  
8 my name is Ilan Gur. I am a senior advisor and program  
9 director at RPE, the Advanced Research Project Agency for  
10 Energy. It's part of the Department of Energy. I'll just  
11 give a quick introduction to -- to what RPE is about, just  
12 for those who may not know, and specifically kind of the  
13 experience we've had thinking about sort of promoting  
14 innovation, and specifically around commercialization.

15 So RPE is an agency that was started under the  
16 Department of Energy, started in 2007, first funded in 2009  
17 under the American Recovery and Reinvestment Act.  
18 Basically, our goal as an agency is to provide pivotal  
19 risk-reducing funding, federal funding for very, very  
20 aggressive high-impact research projects in energy,  
21 technology research projects in energy. We've had a budget  
22 roughly around \$200 million a year since we've started. We

1 generally give out awards between, you know, on -- on  
2 average awards of about \$3 million to teams that are really  
3 trying to think about the cutting edge of -- of what the  
4 future of energy innovation should look like from a  
5 technology standpoint.

6           And I think one thing I'd stress is that the  
7 mission of the agency is -- is very clear. You know,  
8 we're -- we're working on energy issues broadly, but  
9 specifically our mandate from congress is to support  
10 cutting-edge technology. So very clearly, we're not meant  
11 to be supporting incremental advances in technology, but  
12 really what's over the horizon.

13           And we have three very, very targeted goals for  
14 the agency. Everything that we support from a technology  
15 standpoint should have an opportunity to make a very big  
16 impact on one of the following three things. One is reduce  
17 our dependence on foreign energy sources in the United  
18 States. Another is to reduce energy-related emissions in  
19 the United States. And the third is to approve the overall  
20 energy efficiency of the country. And so the agency is  
21 really laser focused on those targets.

22           I guess, you know, just as it relates to -- to

1 this panel, you know, when the agency started we were  
2 modeled after -- after another agency that's part of the  
3 Department of Defense called DARPA. And DARPA is largely  
4 credited with really envisioning and supporting these next  
5 generation technologies. Some of the examples include --  
6 you know, some which have very close alignment with the  
7 Department of Defense. All -- all of the innovation out of  
8 DARPA was originally geared towards defense. Some of it is  
9 defused. So you have Stealth Bombers, as an example.  
10 But -- but some have really made broad impacts. So DARPA  
11 is largely credited with the development of GPS, the  
12 development of the internet, which was originally called  
13 the ARPA-Net because of DARPA support.

14           And so when RPE got started we -- we largely  
15 copied the DARPA model for how the agency should be run,  
16 which is we bring in phenomenal technology, some of the  
17 brightest technology minds in the country. They leave  
18 academia, private sector jobs. They come to Washington to  
19 spend three years with RPE, and they basically manage these  
20 technology programs where we will come up with a problem  
21 statement in a given area where we see an opportunity for  
22 technology to make a big impact. That might be, you know,

1 new power routing technologies for the grid. It might be  
2 more advanced batteries for electrical vehicles kind of  
3 across the board.

4           We will solicit proposals from the top research  
5 groups around the country. We'll give funding to 10 to 15  
6 projects all aligned towards a goal. So basically we fund  
7 a portfolio of the tasks because it's -- these goals are  
8 generally very risky, like double the energy net of  
9 batteries for electric vehicles is normally something that  
10 the industry takes 50 to 75 years to do, we'd like to see  
11 the best -- the best and very finest for the country,  
12 accomplish that goal in 3 to 5 years. And so we're  
13 generally picking the best proposals. We're funding a  
14 portfolio of effort. They're all competing toward that  
15 goal. And then we award a grant. We manage the technical  
16 progress of the project.

17           One of the things we realized early on in RPE was  
18 that the whole process was very much focused on technology.  
19 And that may have worked for an agency that was innovating  
20 for the Department of Defense because the Department of  
21 Defense had very clear needs. They had a large check book,  
22 willing to kind of adopt these technologies and move them

1 to the next stage. In energy, the past, from the lab-scale  
2 ideas to the impact that we're looking for, really in RPE  
3 we're looking for impact, is -- is -- is a tougher a path.

4 And we don't -- the Department of Energy will not be  
5 customer for these technologies. It will have to go  
6 through the markets.

7 And so we thought very critically. And what  
8 we've done is basically created within RPE, within this  
9 government agency, a team of folks and a program that sits  
10 parallel to our technology program, which we call  
11 technology-to-market. And -- and basically the goal of this  
12 program is to take every single question that the  
13 technology team is looking at, every single opportunity  
14 that we're evaluating on the technology side, and apply a  
15 different lens to it. Have people with experience in  
16 business, experience in commercializing new technologies,  
17 thinking about the same issues, basically saying, well,  
18 what is going to be the paths that add impact? And more  
19 importantly, if this technology succeeds, if the technology  
20 models succeed, will it matter? Will it be relevant?

21 And so through -- through this technology-to-  
22 market program I think we've had some -- some really

1 interesting experiences around, you know, what did it take  
2 to try and position technology to be successful and have  
3 the impact on both the markets and -- and the energy goals  
4 and emission goals that a have. So I look forward to  
5 sharing some of that with -- with the panel. And with  
6 that, I'm done.

7 MR. STOKES: Okay. Our next panelist is Cameron  
8 Gorguinpour. He's a special assistant, Office of the  
9 Assistant Secretary for the U.S. Air Force.

10 MR. GORGUINPOUR: Hi. How's it going? Thanks  
11 for having me again this week. I wish I could be there in  
12 sunny L.A. But I do spend a lot of time there anyhow. So  
13 I guess at some point I'll probably just have to live out  
14 there and commute out here to D.C.

15 But in any case, I am Special Assistant to the  
16 Assistant Secretary of the Air Force for an office called  
17 Installations Environment Logistics. My boss, the  
18 Assistant Secretary, is responsible for the Air Force's  
19 policy on everything from basing decisions and occupational  
20 health and safety to energy and environmental rules and  
21 regulations and processes. So kind of a big portfolio.

22 My work, however, is really very focused on plug-

1 in electric vehicles. And, in fact, the Air Force is  
2 leading a DOE-wide initiative to integrate as many PEVs as  
3 possible into our non-tactical fleet. And some folks might  
4 be aware of the work we're doing at Los Angeles Air Force  
5 Base. We're working to make it the first federal facility  
6 to replace its entire vehicle fleet with PEVs. So that's -  
7 - that's sort of a big deal for us, and it's something  
8 that's in process. Hoping to get that all sorted out and  
9 in place by the end of the year.

10           So we -- we've been moving a lot of different  
11 funds, trying to make this work. You know, DOD has a non-  
12 tactical fleet of about 200,000 vehicles. So we felt we  
13 had some -- some -- some room to make an impact. And so my  
14 job has been trying to figure out a strategy where we can  
15 bring EVs into our fleet at cost parity, considering total  
16 cost of ownership, with conventional vehicles.

17           And so we think we've found some pretty -- pretty  
18 creative ways to do that, that include focusing on specific  
19 segments of our fleet, right sizing vehicle batteries to  
20 meet -- meet their usage, and then focusing largely on  
21 vehicle-to-grid activities, the idea that you can use the  
22 battery in the vehicle as an energy resource to the grid

1 when the vehicle is not being driven, and trying to draw  
2 financial value from that, but also operational value for -  
3 - for different military functions. So it's sort of a  
4 broad swath of things that we're doing within the context  
5 of EVs. And we've been pushing on this for close to two  
6 years now and making some good progress.

7           So happy to be participating today and to give  
8 whatever inside I can. Again, I can speak mostly related  
9 to EVs. But -- but I am, obviously, familiar with -- with  
10 different DOD energy initiatives as well.

11           MR. STOKES: Thanks, Cameron. Okay.

12           So our first question for the panel: What are  
13 the benefits of innovation clusters in supporting the  
14 development and deployment of innovation clean energy  
15 technologies?

16           MR. GOODSTEIN: So I'll -- it's sort of a  
17 circular question. Clusters are important and are signs of  
18 growth. But I'll -- since this is Hollywood I'll quote  
19 Soy lent Green, "It's people." So growth, attraction, and  
20 development.

21           The -- the thing holding back any cluster from  
22 growing, and this is the, at least in Los Angeles, the --



1 the consistent refrain from people who have moved is they  
2 couldn't find the right people. And so this -- this  
3 applies, actually, for both new companies and mature  
4 companies. Mature companies have, right now, today, in the  
5 manufacturing base in Los Angeles, a raft of openings. And  
6 they are looking for people that have the right skill sets,  
7 CNC operators, welders, etcetera. So this is a big deal.

8           And, of course, for new companies that are  
9 growing, they need start-up executives, they need people  
10 who have very specific skill sets, and often end up leaving  
11 because they think they can't find them in a metropolis of  
12 18 million people. That's either true or not, depending on  
13 where you sit.

14           Attraction, you know, quality -- quality people  
15 like to be with quality people. And if you have quality  
16 people, and we certainly have many of them in Los Angeles,  
17 if the cluster is cohering it will act as a magnet for  
18 other quality people. And that will be an engine for  
19 innovation. And, of course, development, it's incumbent  
20 upon the -- the folks doing the assistance in the building  
21 of the cluster to provide programs that bring -- to fill  
22 that connection, and training and so forth. But EIR

1 programs, mentorship programs, putting experienced  
2 executives together with start-ups to help them more  
3 rapidly answer the core questions of growing the company, I  
4 think that is -- I'll stick with my answer.

5 MR. HONRATH: Yeah. I think that Mark pretty  
6 much hit the nail on the head. It's interesting, because  
7 here in California we've got parallels and, I guess,  
8 comparisons between Northern California and Southern  
9 California, and why clean tech supposedly is -- is home in  
10 Silicon Valley. And I think that all of us here would  
11 disagree. I think that's safe to say. I mean, clean tech  
12 is much more distributed. And if you have a very well  
13 educated workforce, you have a presence of investors who  
14 get the value of the industry and also their place in it,  
15 you have supportive universities and a generally supportive  
16 business climate, I think those are the -- the necessary  
17 conditions of the soil to really grow a clean tech cluster.

18 And I think that it's that last point that  
19 California is really still wrangling with. There's so many  
20 different layers of regulation and, frankly, bureaucracy.  
21 And that's not necessarily a bad thing, but California  
22 needs to figure out how it can be a better partner to the

1 business community, because companies are leaving, to  
2 Mark's earlier point. And they're not going to stick  
3 around and they're not going to come back if they get the  
4 sense that it's only becoming more confusing in California.

5 MS. SMITHSON: So at CleanTech San Diego, our day  
6 job is to really serve as an optimizer. That's really how  
7 we view our responsibility to the community. We work very  
8 hard to maintain a very robust marketplace. The cluster  
9 really serves -- the function that the cluster serves is to  
10 create a very supple ecosystem, a place that is recognized,  
11 not just in Southern California or in California, but  
12 globally. Because, let's face it, all of these companies  
13 are competing globally, and this isn't a Southern  
14 California issue or a California issue. I wish it was, but  
15 it's not.

16 So to the extent that these clusters exist, and  
17 that they collaborate, and that they're cohesive, and that  
18 play on a public-private platform is a huge-huge indicator  
19 as to whether or not we're going to be economically  
20 competitive, and that we're going to be able to be the  
21 leaders in clean tech that California is very posed to be.

22 Just to give you a case study for that premise,

1 so we at CleanTech San Diego, very early on, we organized  
2 in '07. The recession was in effect. And everyone,  
3 certainly in a leadership position, was trying to figure  
4 out how we were going to respond. And let's not just  
5 react; let's be proactive. And so because of the  
6 visionaries of CleanTech San Diego we -- we obviously were  
7 one of the first to organize and create this platform where  
8 all these different disparate stakeholders could come  
9 together and try to prepare our region for this -- this  
10 market, and try to be as competitive as we possibly could.

11 And so what we were able to do shortly after the  
12 ARRA was introduced, we organized a very regional  
13 coalition, UC San Diego, all of our municipal partners, the  
14 utility, all of these folks came together and we went after  
15 a big bucket of money in the federal government to the tune  
16 of \$800 million. And that was eligible to everybody across  
17 the nation; obviously, the municipalities that wanted to  
18 actually finance and own solar on the rooftop.

19 And we were able to, in a very short timeframe,  
20 organize 18 munis. So offense against munis, but last time  
21 I checked they're not -- they're not quite as supple and  
22 quick moving as perhaps we'd all like. But nonetheless, we

1 organized this coalition. We brought all these partners  
2 together. We used a number of MBA students from UCSD to  
3 help these munis fill out over 300 applications.

4           At the end of the day we ended up getting over 20  
5 percent of the national allocation awarded to San Diego  
6 under the Clean Renewable Energy Bonds, which was a huge-  
7 huge story that I think really speaks to San Diego's  
8 ability to collaborate. I say collaboration is king. And  
9 it's because we have such a robust sense of players at the  
10 table that see the opportunity. And if I can say this in  
11 the most humble way as possible, if cluster development  
12 were an Olympic sport, I dare say that UC San Diego, SDSU,  
13 and the utilities would bring home the gold for us.

14           I just -- I can't -- I'm an outsider. I'm not  
15 from California originally. But my experience has just --  
16 it's just blown me away how effortlessly people come to the  
17 table to bring these big projects, to deploy the type of  
18 innovation that is required, and the ability to do and  
19 execute so effectively blows my mind. And I'm not saying  
20 this as anything to my folks from Washington D.C., which is  
21 I did a tour of duty for ten years on the hill. I came  
22 here in '07, started this organization, and was blown away

1 at the willingness and the spirit of everybody to come  
2 together, because there is no them versus us.

3 And I think the larger story in terms of how  
4 these clusters can help economic development is to think  
5 about it, for every, you know, UC San Diego micro-grid, and  
6 for every Soyatech (phonetic) that we're able to win and  
7 compete against nationally and internationally, every  
8 success that we have is an opportunity for another center  
9 of excellence and another cluster to leverage that success.

10 So I think the nexus is very clear in terms of  
11 how does this affect the public or the ratepayer; what's  
12 the benefit? Because for every success that we have we  
13 hope to continue to be the leadership that other folks can  
14 emulate and repurpose in their communities. And I'll get  
15 off my soapbox. Thank you.

16 MR. STOKES: Okay. Cameron and Ilan, do you guys  
17 have any comments for question one?

18 MR. GUR: Sure. I can jump in. This is -- this  
19 is Ilan. Just wasn't sure if I was -- if I was up yet.  
20 So, I mean, I think one thing I would -- I would point out,  
21 I mean, before getting to the -- to the question of  
22 benefits and clusters I think you've got to ask yourself

1 what problem you're trying to solve. And, you know, at  
2 RPE, if we looked at the innovations that we're supporting  
3 and -- and we said, well, our goal is to make a big impact,  
4 impact on emissions, impact on energy, etcetera, which  
5 means the ideas that we're supporting in the lab scale and  
6 in the minds of our scientists basically needs to turn into  
7 products and needs to get out on the market.

8           And so when we plotted that out and we said,  
9 well, what are the gaps -- and I think a lot of people talk  
10 about gaps, valley of death, whatever, you know, whatever  
11 language you want to use. I mean, the way I think of this  
12 is that there are a few -- there are a few gaps from a  
13 technology that might be at an early research stage. One  
14 is just get the private sector to care; right? So go from  
15 the researchers and the technologists developing something  
16 to the people who are actually using the -- you know, who  
17 might actually employ a product based on that technology,  
18 to actually care. And I say care for meaning the best;  
19 right?

20           So one of the early things that we'd like to see  
21 in terms of success along the path towards that impact is,  
22 is the private sector actually stepping in and -- and

1 investing in the technologies. And that might come in the  
2 form of companies licensing and -- and developing. It  
3 might come in the form of venture capitalists or other  
4 private investors. But that's kind of the first step.

5           And then I say the next step is, okay, you've  
6 gotten the private sector to care. Can you actually get  
7 the private sector or, you know, the market to buy what  
8 you're making? And that's another gap, meaning you've got  
9 to go from enough confidence to saying, okay, this is worth  
10 investing in, to now enough confidence in the value of what  
11 you're doing, to this is worth actually buying and  
12 deploying at some scale.

13           And then I think the third -- the third challenge  
14 we have is our -- our goal is to make an impact on a large  
15 scale. And so the third goal is can you get the private  
16 sector to actually buy this? Can you get the market to buy  
17 it at scale?

18           And so when we look at those three gaps, and I  
19 think those are all very different in terms of what the  
20 needs are to enclose them. At RPE, at least, we focus the  
21 most because we're dealing with early stage technologies on  
22 the first gap, which is how do we get the private sector to



1 care about the technologies we're interested in?

2           And what we have found the biggest issue that we  
3 have to address in that sense is that there is a very big  
4 disconnect between the individuals who are developing these  
5 next generation solutions for energy and technology  
6 solutions, and the -- the people, the private sector folks  
7 who are going to actually determine the fate of these  
8 technologies; right? And there, I don't mean just the, you  
9 know, the industry folks who -- who know about the  
10 applications and know about the market, but also the policy  
11 folks, and generally the whole ecosystem.

12           And so, you know, we see -- we saw that  
13 disconnect in a lot of the projects that -- that we fund  
14 and thought about ways to address it. And basically that  
15 disconnect comes in two ways. One is -- one has to do with  
16 the network and the people. And so researchers that are  
17 developing the technologies we're funding often weren't  
18 interacting at all with -- with those other parties, the  
19 folks who are actually applying the technology or who are  
20 going to determine how it's applied. So part of it was  
21 just community and network.

22           And then another part was really a language

1 barrier and a knowledge barrier. So, you know, researchers  
2 not being able to describe in strong terms what is the  
3 value of what they're doing so that industry folks can  
4 actually say, oh, wait, there is something interesting here  
5 and we should care and we should, you know?

6           So a couple of the things we've done to address  
7 this at -- at RPE, one is every year we do an annual  
8 innovation summit where we bring literally thousands of  
9 kind of top folks in energy innovation, but specifically  
10 not just the technology community. We've got large  
11 corporations there. We've got small businesses there.  
12 We've got policy makers from across the country there. And  
13 we're showcasing technologies. We're exposing  
14 technologists to -- to the industry folks and the policy  
15 folks and the business folks, and vice versa. And we're  
16 also trying to -- to get some language barriers, so we're  
17 talking to the whole crowd about both technology and policy  
18 and business.

19           And we've seen some very big impacts in terms of  
20 building that community and trying to -- trying to get  
21 everybody on the same page in terms of knowledge and  
22 language, everything from projects that we're funding, and

1 also projects that we're not funding, finding employees at  
2 these events, finding their first, you know, investors at  
3 these events, licensing deals happening, even between some  
4 of the big companies; right? So there's a really big value  
5 in doing that.

6           We've also seen a value in providing kind of  
7 resource and education, especially for the technology  
8 community. And so we've done some webinars. We've done  
9 some presentations specifically on how do technologists  
10 start thinking in the same way that the people they need to  
11 interact with and move their technology forward care about,  
12 and vice versa.

13           I think, you know, so for me, I feel like this is  
14 kind of -- what we're trying to do is create a mega-  
15 cluster, right, for this community in the U.S. And one  
16 thing that we very clearly realize is our -- our impact in  
17 doing that is very limited because we can't touch everyone  
18 and we can't -- there's just too much bandwidth. And so  
19 we've seen a very strong importance of the regional aspects  
20 of -- of this problem.

21           You know, I think when you think of clusters you  
22 can think just of geographic clusters, you know, whether

1 it's San Diego, L.A., as clearly a tech hub, a Silicon  
2 Valley, you know, the Boston Research Triangle, and I think  
3 that's one form of -- of clustering. And then I think  
4 these very deliberate attempts, you know, accelerators,  
5 incubators, we've seen examples of the new energy, I mean,  
6 dealing with the Clean Energy Council, NorTech in Ohio,  
7 Clean Energy Trust in Chicago, of saying, you know what,  
8 we're going to deliberately pick one of these gaps, or more  
9 than one of these gaps, and -- and really try and bring all  
10 resources to bear, whether it's coming from the state, the  
11 municipality, foundations, the federal government, to -- to  
12 close some of these gaps. And -- and our view is that  
13 could be -- that could be extremely valuable.

14 MR. GORGUINPOUR: And this is Cameron here, if I  
15 could chime in just briefly, just to sort of say that  
16 everything everyone else has said is great. Just to give  
17 sort of just a snapshot of what I'm doing, because  
18 essentially here, and I'm in the Pentagon right now, and  
19 it's sort of like a cluster -- I wouldn't necessarily call  
20 it an innovation cluster; it might be a different type of  
21 cluster -- but anyhow, the point is that in working on this  
22 project, trying to get EVs rapidly adopted within the

1 Department of Defense, you know, I've had some advantages  
2 over somebody at an industry trying to make a similar  
3 activity happen. That happened for obvious reasons. We  
4 have a large fleet. And I have fairly high-level people  
5 who are sort of opening doors for me to do this.

6 But what I can say is that the reason why we've  
7 been, at least to this point, successful in moving DOD into  
8 a position where we can be rapid adopters for -- or early  
9 adopters for vehicle-to-grid technology specifically is  
10 because I've had access approximately to experts in a lot  
11 of different fields that might have previously been  
12 considered unrelated, in this particular case, looking at  
13 folks who deal with electric infrastructure, also to deal  
14 with enough people who -- who work on transportation  
15 infrastructure, sort of merging the two and figuring out  
16 and bringing in our finance experts and other folks who do  
17 market -- market modeling, trying to find a way to make  
18 this work.

19 And just to give you a feel for -- for sort of  
20 the outcome of bringing in these people from disparate  
21 backgrounds in one common location and sort of working with  
22 them on an innovation objective, we've found ways that can

1 essentially pay for the full cost of leasing electric  
2 vehicles just by having them participate in existing energy  
3 markets. And that type of activity would never be possible  
4 if -- if it wasn't for me being one person dedicated to  
5 just look at the problem, but also having access to -- to a  
6 wide range of folks who know what they're doing from things  
7 I mentioned, electrical and transportation infrastructure.

8 But really it also deals with folks who work on financing,  
9 work on regulations. Just having all of those people here  
10 right next to me and willing and able to help has enabled  
11 us to move this project forward really quickly.

12 So I could certainly see the advantage of having  
13 on a regional basis sort of similar groupings of people  
14 from different backgrounds and how that might help you move  
15 technologies out of the door a lot quicker.

16 MR. STOKES: Okay. Does any of our panellists  
17 have any follow-up comments or questions, or should we move  
18 to question two? Okay.

19 Question two: What are the pros and cons of  
20 different models of energy innovation clusters to  
21 accelerate a successful path to market, for example,  
22 technology incubators, incubation hubs, and test beds?

1           MR. GOODSTEIN: So this is a pretty short answer  
2 to this question. I happen to know a lot about incubators.  
3 I was one of the first people at a company called idea lab  
4 back in '96. I started several companies for them, watched  
5 them grow. They are a hugely successful private incubator.  
6 And their success rate is huge. Bringing -- again, it's  
7 the same answer as before, it's people, bringing people  
8 together and innovating like that.

9           One of the things missing from many of the things  
10 happening in L.A. and often griped about is capital. I  
11 think if you look -- if you -- if you sit from where we are  
12 down here we look enviously up north at a single street  
13 called Sand Hill Road in which we have the same type of  
14 density, a bunch of capital. But I tend to think after all  
15 these years that they are more of a spotted owl, if you  
16 will. That is to say if the innovation community itself is  
17 doing well and it's generating high-quality ideas, capital  
18 will be there because they're looking for deals.

19           So -- so all of that said, I'm going to speak  
20 more to the -- the -- capital in question number three, so  
21 I'll reserve the bulk of my time for my colleagues.

22           MR. HONRATH: Yeah. I would agree. I mean, it

1 really does down to the people who are on the ground. And  
2 I think that the aspects that make a cluster successful are  
3 fairly, I don't know if obvious is the right word, but I  
4 think the more interesting part is what makes it so  
5 challenging to make it successful. And capital is -- is  
6 the number one challenge. I mean, if folks get the  
7 perception that the capital is concentrated in one specific  
8 part of the state or the country, they'll go there.

9           There is some capital here in Southern  
10 California. But the real challenge of the capital markets  
11 isn't even the fact that it's all concentrated up north;  
12 it's the fact that there's very little appetite for any  
13 deal making right now. And early-stage entrepreneurs know  
14 that better than anybody right now. And I think that's  
15 where government funding and ARPA-E and the state area --  
16 are truly instrumental in stepping in and providing that.

17           It's really a seed round for some of these early  
18 stage companies, because there is truly groundbreaking  
19 technologies being developed in garages all across  
20 California, in Orange County, San Diego, L.A., throughout  
21 the country. But there's such little appetite to invest in  
22 them right now. And I think that's really the critical



1 point for -- for government agencies to get involved. And I  
2 think really it's not even necessarily picking winners and  
3 losers on a company basis, but looking at the industry  
4 broadly and determining where the government can inject  
5 money into a specific part of clean tech, be it energy  
6 efficiency or, you know, more advanced renewables, rather  
7 than, you know, choosing a specific company because, you  
8 know, they have a particular management team in place that  
9 has the relationships to -- to attract those dollars.

10 I guess to turn to the cluster question real  
11 quick, it's also important having the right people  
12 involved. Because there are folks who say that they're  
13 interested in advancing clean technology, and they're  
14 really not. They're there to manage it's growth as much as  
15 possible so it doesn't impede on their operations. And  
16 while they talk a good game they're not there for the  
17 reasons that they say they are. I won't name them by name,  
18 but I think you all know who I'm talking about.

19 MS. SMITHSON: Well, I'm going to -- so I'm going  
20 to describe a model, the pros of a model that we use in San  
21 Diego to support our cluster and to attract companies and  
22 stimulate job creation. And that example is through

1 demonstration and power projects. I think we've worked  
2 really hard, and I -- and I hope we've done it  
3 successfully, to create a brand that we'll recognize  
4 globally.

5 I was mentioning earlier that I had the  
6 opportunity to speak at a panel in Iowa not too many months  
7 ago at the Global Clean Tech Cluster Association. And to  
8 my left was a gentleman from Singapore, and to my right was  
9 another from Malaysia. And they said, "Oh, yes, you're  
10 from CleanTech San Diego," and acknowledged that they knew  
11 my -- my -- the organization and our region. And it was an  
12 absolute shot in the arm, the recognition to permeate  
13 beyond our little bubble here.

14 And -- and to that point it's -- it's the type of  
15 recognition that takes companies like Soyatech who is a  
16 French based company, and they were looking to enter the  
17 U.S. markets. And they came to the U.S., and they came here  
18 with a very aggressive business model and said I'm going to  
19 come here and promise you so many jobs. You, whatever  
20 market it is, whether it's Colorado or Arizona or Southern  
21 California or whomever, so in exchange for a customer,  
22 their solar manufacturing of PV solar -- CPV solar

1 manufacturer.

2           And anyway, when they came to San Diego they  
3 said, well, we have a demonstration partner at UC San  
4 Diego. We came here in 2009. We have a small project. We  
5 -- it's a new technology, and we needed to test it. And we  
6 knew that UC San Diego was a place where people can come in  
7 and get the red carpet. But UC San Diego had a phenomenal  
8 engineering department that would actually work with these  
9 demonstration projects to help them mature their -- their  
10 unproven technologies. And a real reputation beyond just  
11 our -- our borders, that this is a place that will welcome  
12 guinea pigs, if you will. So it's those type of assets  
13 that really, really make our cluster really fortunate.

14           And the bigger story, I think going forward, is  
15 that two years later Soyatech came to town. They selected  
16 San Diego over all the other markets. And they are now in  
17 the process of going to be hiring, I think it's 1,000  
18 indirect jobs and 300 high-pay -- high-paying manufacturing  
19 jobs. And they signed a PPA for 300 megawatts. So it's  
20 just a huge story for San Diego to be welcoming in a  
21 manufacturing facility. It's a huge slap I those face to  
22 those naysayers that say clean tech is going to kill the

1 economy, because that's just not the case in San Diego.

2           And so I would -- I would promote the -- the  
3 model, the cluster model of being a hub for demonstration  
4 projects as something that's a real differentiator for us  
5 and has just been a boom to our local economy.

6           MR. STOKES: So a test bed?

7           MS. SMITHSON: So a test bed. Yes, that would be  
8 my take.

9           MR. GORGUINPOUR: This -- this is Ilan. I'll try  
10 to keep an answer short here. I think, you know, when you  
11 talk about the different models of clusters, I mean, you  
12 mentioned incubators, hubs, test beds, I think we have  
13 examples of very successful versions of each of those and  
14 unsuccessful versions of each of those. And I think the  
15 key differentiator in my mind is, you know, again, how do  
16 you really look at what are the problems we're trying to  
17 solve, and is this the right mechanism to solve those  
18 problems or that problem; right?

19           And so, you know, when you think about idea lab  
20 or technology incubators in that sense we may be thinking,  
21 you know, there's just not enough really early kind of out  
22 there innovation coming out of the -- out of this region.

1 How do we -- how do we encourage that? And that might be  
2 an interesting model to look for. If the issue you're  
3 trying to solve for is how do we take innovation in a  
4 specific area, you know, like electric vehicles, and  
5 connect a lot of the new technologies and ideas to -- to  
6 the industry and think about it holistically and really  
7 make a big push in one area then, you know, the types of  
8 innovation hubs the DOE is supporting might be, you know, a  
9 good model.

10 Certainly test beds might be something that's --  
11 that's more appropriate for closing the gap of, okay, we  
12 have a lot of innovation, and we might even have people  
13 demonstrating things in the lab. But how do we get, you  
14 know, how do we get the industry to really believe that  
15 this is real and -- and go to that next level of  
16 commercialization scale. And I think you could come up  
17 with -- with many others, you know, around workforce gaps,  
18 around just community gaps. And I think there just needs  
19 to be an intentional kind of matching of -- of here's what  
20 we're after and -- and here's something that -- that can  
21 help -- help close the gap.

22 MR. GORGUINPOUR: And this is Cameron too. And,

1 you know, I think that probably ARPA-E is on one of the --  
2 the better organizations to pay attention to in terms of  
3 how to make this type of thing work, and to the extent that  
4 they're modeled off of DARPA. Obviously, take -- take a  
5 look there to -- to see how those organizations on a  
6 national level really focus and develop those technologies.  
7 Because there -- there's been some really great work and  
8 continues to be some really great work going on.

9           The only thing that I would add here, and I think  
10 this relates probably equally to questions three and four,  
11 is that whatever the structure is it really needs to be  
12 specific. They need to be specific targets and what you  
13 actually want to accomplish and how you're going to get  
14 there. And I like a model, and I know that DARPA has done  
15 this, I'm not sure if ARPA-E has, and it's certainly a  
16 focus of good administration. And, actually, you guys and  
17 California have a really good history of this, of using  
18 technology competitions.

19           So government aside, the X prize that focused n -  
20 - on private space flight -- flight, that's a really great  
21 example of that. The prize itself wasn't a particularly  
22 large amount of money. But it was enough to get some

1 really innovative folks together focusing on -- on moving  
2 out to this new -- new technology. It was done, and now  
3 it's pretty much NASA's primary objective is to -- to  
4 ensure that that private space flight, you know, takes the  
5 lead on lower earth orbit so that NASA itself can focus on  
6 -- on longer duration missions.

7           So -- so -- so focusing on specific targets. And  
8 I would really encourage you all to consider how  
9 competitions and, you know, setting specific objectives  
10 over a short -- a short period of time might help spur  
11 people along a little bit.

12           MR. STOKES: Okay. Are there any follow-up  
13 comments? Okay.

14           Question three: Do you recommend funding for  
15 innovation clusters in the EPIC program? If so, please  
16 provide the specific recommendations.

17           MR. GOODSTEIN: So I really appreciate Ilan's  
18 question about what -- what are we solving for. So I'll --  
19 I'll tell you what I think we are trying to solve for. I  
20 think in many respects, with respect to clean tech  
21 especially, but maybe even more in general, the venture  
22 capital model is -- is kind of broken. And tech transfer

1 from universities is kind of broken. And so to be  
2 specific, I think that most or we think that most start-ups  
3 fail for reasons that unfathomable to the quality of the  
4 technology. So how is it that we can get stuff from bench  
5 to market more effectively? That is the central question.

6 And so we have designed a program that, in fact,  
7 is in many respects a regional ARPA-E. And so echoing what  
8 Cameron said, ARPA-E is spectacular. But very specifically  
9 what we'd like to replicate in the L.A. region is they  
10 funded, as of the last summit they had funded 181 different  
11 projects. And I believe the number -- you know, you can  
12 confirm this -- more than \$600 million in private capital  
13 had -- had streamed to those awarded ARPA-E projects, and  
14 even some that hadn't been awarded but were fabulous.

15 So -- and what happened is, and many venture  
16 capitalists are on record as having said this, they do not  
17 have the -- the resources to perform the type of due  
18 diligence that was performed on these projects. So they  
19 took a proxy the ARPE-E due diligence on those projects and  
20 funded them.

21 So I know from having walked around L.A., talking  
22 to all these people over the last six months, that there



1 are -- there is an enormous amount of capital sitting on  
2 the sidelines, not just venture capital, but angel  
3 investment capital. And there is a latent desire to invest  
4 in clean tech. But there is also a strong desire not to be  
5 a chump. And they -- the people who are angels in the  
6 Southern California area and didn't make their money from  
7 technology don't have the expertise to judge whether a  
8 water technology or energy technology or anything else is -  
9 - is a good investment. Designing a structure that  
10 effectively puts a seal, if not as good as ARPA-E, almost  
11 as good, I think would do a lot to creating a virtual  
12 cycle, which is what we're trying to do. So the idea is to  
13 go out to industry and ask them for specific contributions  
14 into a grant pool.

15           And then specifically, again, speaking to some of  
16 the things that Ilan and Cameron have both said, to flip  
17 the model on its head and offer the ability of industry,  
18 those participating, to come into the innovation community  
19 and make a needs statement about something that they need  
20 to solve. Every company that has clean tech interest has  
21 an R&D agenda. And they are trying to solve problems for  
22 profit-motivated reasons. And this is -- you know, this

1 type of commercial relevance is the type of thing that we  
2 think we -- we need to instil to -- to, if not replace what  
3 venture capital was over the last ten years, then at least  
4 create a structure in which industry can play a more  
5 sustained and predictable and consistent role in early  
6 stage upstream clean tech development.

7           So, you know, the -- the tech staff from a big  
8 company would -- would declare their intention of coming to  
9 town to make a needs statement. We would put the word out  
10 to all the regional universities, garages, start-ups and so  
11 forth who have an interest in material technology that this  
12 company is interested in. They could veto members of the -  
13 - of the list based on competitive pressures, come in, give  
14 the needs statement, doors closed, Chatham House Rules, no  
15 recording. Out of that conversation they might decide to  
16 sponsor one of the innovators from the community. And that  
17 would initiate the grant-making process. And we'd have a  
18 list of local venture capitalists who have agreed to be on  
19 the investment committee.

20           So we would have a fairly rigorous model of due  
21 diligence performed by local Ph.D., science Ph.D. students  
22 and -- and MBA students to do market and technical

1 analysis, and they would make decisions. And the idea here  
2 is that if industry has allowed their money to be invested  
3 in projects they are semi-directing, that EPIC at the early  
4 stage, a \$55 million portion of EPIC annual, some portion  
5 of that could be used to match the industry money, and  
6 thereby giving increased leverage and in many ways increase  
7 the likelihood that industry would participate in this  
8 program.

9 I think that's it.

10 MR. HONRATH: It's hard to follow Mark without  
11 being repetitive, but I'll try my best to be original.

12 I think that one area that EPIC could be very  
13 effective in disbursing these funds and essentially  
14 investing in some of these companies, is to -- to partner  
15 with a lot of the universities here in California. And I  
16 think the Energy Commission has done a great job of that  
17 already. I look to UC Irvine. Of course, it's in our back  
18 yard. And UCI is home to the Advanced Power and Energy  
19 Program, the national fuel cell research center, and the  
20 largest smart grid demonstration project west of the  
21 Mississippi.

22

1           And UCI has been very good about partnering with  
2 local clean tech companies and just tech companies more  
3 broadly to essentially provide the sort of, you know,  
4 institutional knowledge and support that, you know, a  
5 world-class research institution can provide to a budding  
6 clean tech company. But UCI has done a really bad job of  
7 telling that story, and so very few people know what  
8 they're doing.

9           But I think that, you know, therein is an  
10 opportunity for the Energy Commission and EPIC, I guess  
11 more specifically, to -- to play a pivotal role and partner  
12 with these universities to identify companies that are  
13 still for the most part in the garage, certainly in very  
14 early stages, to provide that, you know, initial seed  
15 amount of capital to get them on their feet. Because if  
16 EPIC just chases the investments made by those on Sand Hill  
17 Road, you know, that's fine. You've already got some due  
18 diligences to perform. But at the end of the day let them  
19 invest in those companies. Let them go back to their LPs  
20 and dig up more money to get that company to market, either  
21 IPO or -- or, you know, acquired.

22           If -- if we're trying to make a really big mark

1 and spur and continue innovation and clean tech, the way to  
2 do it, I think, is to go to those truly early stage  
3 companies that haven't even seen seed day yet, or a pre-  
4 seed, and funding them at that level.

5  
6 MS. SMITHSON: So I'm not interested in being  
7 creative, like my partner to the north and to the right. I  
8 think your -- your comment about funding to the  
9 universities can not be overstated and bears repeating over  
10 and over and over. I think if you look at any cluster, and  
11 not in the U.S., any cluster around the world that's going  
12 to be successful is going to be because there's -- it's  
13 going to be because they have very, very robust and world-  
14 class research institutes and universities. With out that  
15 ingredient you will not have a cluster, and you will not  
16 enjoy the benefits that stem from that cluster. So I echo  
17 that and reinforce that and can't -- can't beat that drum  
18 loud enough.

19 We obviously have a very special university story  
20 that houses the micro-grid that makes my job so easy. And  
21 it is my day job to promote our region. And when they are  
22 constantly taking and fielding invitations to come and tour

1 the micro-grid, they then want to know the technologies and  
2 the companies that are enabling their micro-grid. And it's  
3 just a phenomenal opportunity for us to showcase the  
4 technologies and to really promote the companies that have  
5 invested in San Diego and have found the universities to be  
6 such an attractive target for them to deploy their  
7 technology and protect their technology.

8           We have some start-up companies that are enabling  
9 the micro-grid, like Viridity Energy. We have some very  
10 big global companies like LS ISOP (phonetic). So it's a  
11 very interesting marriage that comes to benefit from what's  
12 happening on the micro-grid.

13           In addition to that, you know, we -- we talk  
14 about technology and we talk about venture capitalists and  
15 private equities, but at the end of the day these guys  
16 aren't investing in technology; right? They're -- they're  
17 investing in people. And what is a university, what's  
18 their day job? They develop human capital. Their day job  
19 is to develop intellectual capital. So I can't think of  
20 any better recipient than -- than the -- the ratepayers and  
21 the public benefit than to invest in the universities.

22           MR. GUR: I think my -- my thoughts on this

1 probably mirror -- mirror some of the other panellists. I  
2 appreciate the nice comments on our RPE work. We're  
3 working hard to try and live up -- live up to the standards  
4 and the expectations.

5 I think, you know, one thing I'd start with is,  
6 you know, there's no question in our mind at RPE that there  
7 is still a very strong need for support of -- of new  
8 technology innovation for -- for this phase. I think when  
9 I think of the big -- the big issues that California is  
10 tackling, you know, I'd probably say first and foremost  
11 renewable integration. But also looking at -- at the  
12 transportation infrastructure and just power generation  
13 generally I think my optimistic comment would be we are  
14 seeing still just a phenomenal set of -- of innovative  
15 ideas coming out of research groups in California and  
16 across the county. We can't -- we don't have enough money  
17 to fund as much of the research as we would want to fund.  
18 And -- and there -- we have not saturated kind of the --  
19 the level of innovation that's happening.

20 I've saved -- there -- the importance -- I do not  
21 expect the importance for -- for focusing on that stage  
22 of -- of technology support is going to go away. If you

1 look at the -- the recent numbers on private sector  
2 investing in energy technology, what you'll find is that  
3 the numbers on an absolute scale are dropping, but the --  
4 the amount of investment going into really very early high-  
5 risk projects is dropping pretty precipitously.

6           And I think the reason probably brings me to the  
7 next point, and the reason why I think it's working for us  
8 at the federal level and at the state level to be  
9 supporting these things, is I think investors are seeing  
10 that -- that it's -- it's hard to get these things to make  
11 the impact and make the returns that some of the investors  
12 are looking for, partially because, you know, in some cases  
13 there are so many steps to the process to get a technology.

14           If we think of the grid, right, obviously they  
15 get a technology from a lab into a large-scale market on  
16 the grid, you know, we've got not just the technology and  
17 very standards around reliability, around costs, but we've  
18 also got the regulatory side of the policy mechanisms. And  
19 then -- then just the basic business success.       So  
20 there's a lot of risk there. There are a lot tight  
21 horizons.

22           But also, you know, sometimes the -- the -- our -



1 - our goals at the federal or state level may not be  
2 aligned with -- with a specific company's goals. And so I  
3 think there's -- there's going to be the strong need for  
4 the early stage of investment.

5           What we see in RPE, and I think this is my answer  
6 to the -- to the recommended funding for the initiative  
7 clusters, what we've seen at RPE is that no matter how much  
8 money, if we could put all the money in the world into  
9 developing technologies, it's certainly necessary but not  
10 all sufficient. And so our view is putting the money just  
11 into the technology and being focused on the technology  
12 without also investing, not just from money from the  
13 standpoint of just an intentional approach, is vesting in  
14 what are the pieces that need to come together to get this  
15 from -- from an interesting technology idea to an impact is  
16 critical.

17           And, you know, the -- the mechanism in terms of  
18 program-specific recommendations, I think the mechanisms  
19 vary. I think one thing that's at the core of all of them  
20 is, you know, making the connection and narrowing the gaps  
21 between -- between the technology and the various other  
22 parties, the various other communities, and the various

1 other barriers that stand between getting this out to the  
2 applicable market.

3 MR. GORGUINPOUR: And this is Cameron. I think  
4 the -- the main thing that I would add to the discussion  
5 is -- is not just -- it's not just about funding the labs  
6 and the companies to do the research and develop products,  
7 but at a state initiative, at a government initiative I  
8 really feel that you have an opportunity to also be a  
9 customer of the products. And I think that that needs to  
10 be something that is well ingrained in -- in the overall  
11 model.

12 The fact is, again, taking our fleet perspective,  
13 but the State of California has a pretty large fleet.  
14 The -- the municipal governments that would presumably  
15 interact with these innovation clusters also have fleets.  
16 And it's not say that -- that government agencies need to -  
17 - to make bad financial decisions but certainly  
18 identifying the parameters by which it would be a good  
19 financial decision for -- for -- for government agencies.  
20 And, again, using vehicles as the example. But it could  
21 just as easily apply to renewable energy projects or energy  
22 efficiency projects or anything like that. Your ability to

1 leverage your own position as a consumer, I think is pretty  
2 key and is often times overlooked.

3 So that's basically it. But I would just, again,  
4 encourage sort of incorporating that perspective.

5 MR. STOKES: Okay, last question. How should  
6 EPIC measure ratepayer benefits for energy innovation  
7 clusters? Does anyone want to take that? Mark?

8 MR. GOODSTEIN: I can see the pattern. So I've  
9 got a short answer. This is fairly straight forward. From  
10 out perspective, and for the type of program that we're  
11 talking about, it's numbers of companies with more than one  
12 person employed, and numbers of technologies out -- you  
13 know, spun out of labs and transfer offices, incorporating  
14 a number of -- the number of organizations that are  
15 actively participating in this, the number of companies  
16 that have submitted that are -- that are participating in  
17 the grant pool, things like that are very -- are  
18 quantitative measures of success.

19 MR. HONRATH: I guess, you know, in answering  
20 that question it's important to recognize who the audience  
21 is for such stats. I mean, if we're trying to convince the  
22 public at large that this is something that is -- is worthy

1 of -- of their tax dollars or, you know, the public  
2 dollars, more broadly, everyone is talking about job  
3 creation right now, and it's almost become a buzz word  
4 thanks to the silly season of the presidential election.  
5 But that really is, I think a very real way, on a  
6 fundamental level, of just measuring the success of this  
7 EPIC investment in local California companies.

8           If you can say that, you know, when these dollars  
9 were disbursed at, you know, date X, X numbers of, you  
10 know, employees were with these -- these companies that we  
11 invested in. And after two, four, six years we saw them  
12 increased by 600 percent in terms of their employees,  
13 that's a very measurable and demonstratable way to say that  
14 these companies are succeeding enough to hire bodies and  
15 grow. So I would think, if nothing else, measuring job  
16 creation is probably a great way to start.

17           MS. SMITHSON: So back in 2007 the Economic  
18 Development Corporation, along with Global CONNECT  
19 commissioned a white paper and wanted to really see what  
20 kind of assets we have in the region that would either  
21 merit us going after this cluster theme, and really wanted  
22 to quantify how close or how far away we were from that --

1 that lofty goal.

2           And in 2007, in June of 2007 those folks had  
3 identified over -- just over 200 clean tech companies. And  
4 we -- the -- the visionaries and the founders thought that  
5 that -- that merited a significant critical mass and enough  
6 to start to create a platform to help -- help that number  
7 climb north.

8           Now, five years later, we have a database that we  
9 manage and report out regularly. And we house about 850  
10 companies, clean tech companies that call San Diego home.  
11 And that is a really big metric for us to determine whether  
12 or not we are attracting the type of companies, whether or  
13 not we can attract, and whether or not we have a skilled  
14 workforce that can help these companies grow and dispatch  
15 the technology and the innovation that we need.

16           So I would -- I would echo the -- the metrics  
17 here to sort of help the story about EPIC funding is how  
18 many companies are coming into these clusters? What are  
19 the type of projects that are being deployed? What's the -  
20 - the -- the emissions reductions that are being realized  
21 because of the number of companies and the number of  
22 projects that are coming to market? And obviously the

1 overarching goal is, you know, being able to comply with AB  
2 32 and the loading order. These are huge-huge indicators  
3 as to whether or not the investment that EPIC is making is  
4 -- is delivering the goals that we're all striving to  
5 accomplish.

6 So that would be my -- my recommendation.

7 MR. GUR: So without being too predictable here  
8 or sounding like a broken record, the first -- yeah, my  
9 first reaction here is, you know, if -- if you are going to  
10 come up with some -- some clear metrics as to these  
11 programs, you know, it has to be coherent with -- with what  
12 you're trying to accomplish. And so, you know, lining  
13 those up is important.

14 For us at RPE, generally speaking, you know, as I  
15 mentioned, the gap that we go after is -- is technology,  
16 the idea, to does the private sector, does the market care.

17 And we measure do they care in the form of investments.  
18 And so, you know, as already stated, you know, we do track,  
19 of  
20 the -- of the money that we've provided, taxpayer money to  
21 support the kind of new innovative sparks in these  
22 projects, how -- how often and to what extent is the

1 private sector getting involved after we've done that  
2 initial support and given that initial support. So that's  
3 kind of one of the metrics that we grabbed onto because  
4 it's really connected to what we're trying to solve.

5 I think a second part of it is when we think of  
6 that metric and -- and tracking those steps, you know, I  
7 mentioned we have what we call this technology-to-market  
8 program within RPE. We don't think of that metric as a  
9 metric of success for the technology-to-market program. I  
10 mean, it's really a metric of success for RPE as a whole.  
11 And so I think -- I think you need to be a little careful  
12 about trying to -- to measure, you know, measure the  
13 success of this piece independent of everything else. I  
14 think -- I think CEC, you know, and EPIC will have a set of  
15 goals. And I think this is a coherent set of approaches  
16 that are trying to accomplish those goals.

17 So the -- the important question is, you know, is  
18 the program, in our case is RPE, accomplishing what it set  
19 out to day? We have a technology-to-market program. We've  
20 seen evidence informally and through -- and, you know,  
21 through specific and explicit examples that that's helping  
22 us accomplish these goals. But, you know, the technology

1 teams are also influential in -- in making sure; right? It  
2 all fits together. It all has to fit together, is -- is, I  
3 think, the point I'm trying to make here.

4           The other piece that I would just comment on, I  
5 caught a couple days ago an article which I thought was --  
6 was pertinent. There was a guest post by Jared Konczal  
7 of -- of the Kauffman Foundation in Forbes just on  
8 Wednesday. And the title here is "Evaluating Affects of  
9 Accelerators? Not So Fast." And basically what -- what  
10 the column goes into is it's saying, you know, a lot of --  
11 there are a lot of different models for accelerators. A  
12 lot of folks have -- have made claims in trying to evaluate  
13 the actual impacts. It's not so easy. And often times the  
14 evaluations you come up with, you know, are pretty  
15 disparate.

16           And -- and so I think it's just a matter of -- of  
17 being careful and trying to figure out how do you -- how do  
18 you track the benefits to -- to the degree that you can  
19 feel confident in -- in maybe not getting too overburdened  
20 in -- in the specific detail of tracking, which is what  
21 sometimes we do, kind of get into that trap of saying,  
22 okay, we're going to track every -- every little piece



1 here. But -- but sometimes it doesn't quite work. So just  
2 drawing attention to that piece, that -- that sometimes the  
3 data is not -- not very well founded.

4 MR. GORGUINPOUR: And this is Cameron again. You  
5 know, I -- I'm sort of a hippie at heart. I went to  
6 Berkeley. So I like all the, you know, reduction of  
7 emissions and all that sort of thing. But really do like  
8 and appreciate the comments of trying to pin down the --  
9 the impact on jobs in particular, because that -- that  
10 directly relates to communities. And I think that's --  
11 that's key.

12 But related to the technologies themselves, you  
13 know, with my project here, understanding sort of economic  
14 reality, which is that DOD is not going to do anything  
15 unless it is cost effective to do so. And so I really  
16 think that one of the -- the key metrics to success is that  
17 the technologies are the processes that come out of these  
18 innovation clusters, or are proposed to come out of these  
19 innovation clusters, have a strong financial case to it  
20 that this -- if successful this will save X amount of  
21 dollars for whoever is going to use it. If it's going to  
22 be adopted by the -- the state or local governments this

1 will reduce our budget, or as research suggests anyhow, by  
2 such and such million dollars. I really think that that --  
3 that is -- that's pretty key. Maybe not as important as  
4 tying it jobs because jobs are more visceral.

5 But I -- but I think in terms of actually getting  
6 technologies adopted in both public and private sector, I  
7 think folks really want to see that the outputs coming out  
8 of these clusters are financially viable.

9 MR. STOKES: Okay. Now we'll open it up to  
10 public comments. Anyone in the audience, could you come up  
11 front here and speak into the microphone?

12 MR. WASHOM: Byron Washom from UC San Diego. I  
13 would encourage EPIC as they move forward to rewind back to  
14 what I think was one of the most successful funding  
15 programs we had under PEER in 2009, and that is when the  
16 ARRA RFPs came out you pre-emptively and a priori gave a  
17 letter of endorsement to projects that basically said if  
18 you get funded under ARRA we are strongly considering  
19 giving you so much co-funding. And that match element was  
20 pivotal in many ways. One, it provided the small start-ups  
21 with access to the match. And two, it showed a California  
22 interest to the Department of Energy in these program

1 areas.

2 And with ARPA-E matching, it's a requirement, so  
3 now required, as well it's an indicator. So if there is --  
4 and a Mark and Taylor have said, the brand name of, if  
5 you're an ARPA-E finalist or a winner, that's like an Oscar  
6 nominee. You know you've got quality there.

7 So I would suggest, if you set aside some money  
8 for the APRA-E program objectives are, and a particular  
9 request, are funding opportunity notices, and yours are  
10 similar, is that for California firms if you say -- if  
11 you're in the top, let's say five rankings, or are if you  
12 are within the first five-millionths of requests we will  
13 provide your ten percent match. And I think that will go a  
14 long way to inspire ARPA-E applicants. And I think it will  
15 go a long way to help them get that critical match at the  
16 most difficult stage. So it was a great program.

17 And I -- and I -- and I think you folks are about  
18 to do an evaluation of your 2009 ARPA -- I mean ARRA match-  
19 funding programs. And I think that that evidence will be  
20 there, that that was money well spent, and it leveraged the  
21 California ratepayer money. Thank you.

22 MR. HOLMES: John Holmes from San Diego Gas and

1 Electric. I greatly appreciate the panellists inputs.  
2 Fantastic presentation. I have -- the CEC has heard the  
3 messages that they've made. Each of them has terrific  
4 points, as well as our visiting collaborators from D.C. and  
5 abroad on the phone.

6           SDG&E operates a ratepayer-funded research and  
7 development program. And we've had a lot of success in  
8 advancing technology development locally and through  
9 partners outside of our service territory. And we were  
10 fortunate to be involved in projects that were really  
11 funded through ARPA-E, and participated in a number of  
12 seminars for concept development this year to proceed in  
13 that area.

14           We have active projects involving technologies  
15 that were developed with funding from ARPA-E in a number of  
16 different locations throughout the service area in San  
17 Diego. And we're eagerly anticipating seeing that advance.

18           That said, the ability for systems that are  
19 developed by clean tech participants in the -- in the  
20 California area are often not completely informed as to the  
21 complexity of utility operations. As a recovering  
22 entrepreneur who has joined the utility sector after

1 developing a number of different technologies that really  
2 influenced the evolution of electrified transportation, as  
3 well as energy utilization by customers, I'm learning how  
4 complex the process is.

5           And I want to especially enforce the impression  
6 that I have now individual as one thing that's very  
7 important as the clean tech sector continues to grow and  
8 prosper in California, that the utilities must have a  
9 stakeholder role in the engagement with these perspective  
10 start-up entities who are endeavouring to advance their  
11 technologies.

12           MR. STOKES: Helen, do you want to --

13           MS. SMITHSON: I just want to add on, if can just  
14 offer a hearty congratulations to SDG&E. Just last week  
15 they were voted the smartest utility by Power Magazine  
16 because of their very advanced smart-reader program. It is  
17 cutting edge. It is so progressive. And my hats off to  
18 you and the entire team that earned that ranking.  
19 Obviously, there's a lot of people in the country that have  
20 various assets.

21           I can't -- I can't overstate the significance of  
22 working with SDG&E. They're an incredibly, incredibly

1 progressive utility. Our partnership, they are one of the  
2 founding members of CleanTech San Diego. And we have  
3 worked hand-in-hand to facilitate the market and educate  
4 and make people aware that all of this is going to be for  
5 the better with their recent smart meter deployment of 1.8  
6 million smart meters. It's just been a wonderful education  
7 outreach program with our community that they want to be a  
8 part of this, that they have buy-in, and that this is going  
9 to be a terrific opportunity for us as the basic  
10 infrastructure for developing of smart city in San Diego.

11 So congratulations to you. I'm very excited.  
12 Sorry for that little commercial plug.

13 MS. SPIVY-WEBER: I probably would have a little  
14 bit more to say on the second panel. But I want to thank  
15 you. This is -- I had to step out a couple of times. But  
16 it's been --

17 MR. STOKES: You've got to say your name first.

18 MS. SPIVY-WEBER: It's Frances Spivy-Weber of  
19 State Water Resources Control Board. And Rob Oglesby and I  
20 are co-chairs of the Water Energy Team and the Climate  
21 Action Team. And I just want to make a strong point that  
22 as you're developing these clusters and are focused on the

1 energy efforts -- SDG&E is a perfect example -- the -- the  
2 water utilities that you mentioned are also going to be  
3 strong partners because water is often -- energy is often  
4 the second largest expense for a water utility. And so  
5 they are very, very strong partners.

6           And I just talked to Burbank Water and Power, and  
7 they did their smart meter programs starting with some  
8 water technology that -- some metering technology where  
9 they could establish 15 units in an area that would --  
10 would display the information on the water meters. And  
11 then the -- the power side of the utility hooked into that  
12 and was able to use it for -- for power as well. And it  
13 became -- it -- it went to being not cost effective for  
14 that small, basically, very small service area to being  
15 cost effective. So it's working with these other agencies  
16 can -- can be -- can be helpful.

17           MR. STOKES: Okay. Thank you. Do I have any  
18 more comments from the public or any of the panellists?

19           MR. MCLAUGHLIN: Hi. Larry McLaughlin, College  
20 of the Desert. I couldn't help but note yesterday that the  
21 question was asked over and over again, how should we  
22 prioritize projects, and no one really had any -- any

1 response to that.

2 I'd like to make a response to that now. For me  
3 it would be job creation. I think that's one of the most  
4 important things that we end up with as an outcome of  
5 these -- these projects. And on that point, I'd like to  
6 ask the question. A couple of panel members referred to  
7 projects that were -- that were incubated here in  
8 California. Perhaps they received public funds. They got  
9 their start, left the state, or perhaps even left the  
10 country, to actually set up and conduct their business and  
11 create the jobs that we were all hoping for, you know, as a  
12 result.

13 So I'd like to ask you, do you have any  
14 recommendations for how we could set this program up in a  
15 way that would ensure that those jobs stay here once the  
16 intellectual property gets fully developed and perhaps the  
17 products get out and become commercialized and -- and  
18 adopted and jobs get created?

19 MR. GOODSTEIN: I actually don't have --

20 MR. GUR: Yeah. This is --

21 MR. GOODSTEIN: Oh, I'm sorry. Go. Go. Go.

22 MR. GUR: You know -- you know, I'll give a



1 perspective, you know, my -- my take is that, you know,  
2 it's hard to imagine that through this program you'll be  
3 able to dramatically modify, and maybe not just in certain  
4 areas  
5 but -- but across the board the fundamental sort of  
6 economic advantages of offsetting of companies  
7 manufacturing, etcetera, in California, you know, if that  
8 becomes one of the goals of EPIC and it's crucial then  
9 maybe even think about targeting it. Otherwise, I think,  
10 you know, you've got to -- you've got to think about the --  
11 the kind of competitive landscape that you guys are in  
12 versus what California's in versus other states versus  
13 other countries.

14           And, you know, maybe there's a way to target  
15 through the program certain ways to make it more  
16 competitive. It would probably make sense to think  
17 specifically about the specific sectors where California  
18 thinks they -- they do have a competitive advantage to be  
19 able to keep things in -- in the state and do what you can  
20 to support those.

21           I think for me there's -- there's a tie-in here  
22 to some extent of the -- of the other comment. You know, I

1 appreciate the other comment about what the CEC did in the  
2 Recovery Act. I think it was not just with ARPA-E, but  
3 another branch for CEC said that -- that early staged teams  
4 in California, you know, we will provide you with a letter  
5 and potentially even additional funding if you're awarded a  
6 federal grant. I

7           And, you know, we put a lot of time and effort,  
8 at least in RPE, in terms of thinking about our programs  
9 and our program targets and the types of technologies we  
10 want to support. We generally feel like, you know, we  
11 leverage that by giving away our grants. It's not clear  
12 that that's being leveraged; the amount of diligence, that  
13 came up earlier, that we're putting is being leveraged  
14 elsewhere, and that might be a way to leverage it.

15           What you don't want to do, though -- we have a  
16 cautionary requirement at RPE -- I think what you don't  
17 want to do is displace, you know, a precautionary  
18 requirement is really meant to -- at least one -- one  
19 reason we have it there is so that we can see that the  
20 private sector or someone who has a vested interest in  
21 seeing this technology succeed actually has specific, quote  
22 unquote, some skin in the game. I wouldn't want CEC to

1     displace that -- that function of the folks.  Although the  
2     CEC should have skin in the game if -- if the technology  
3     really does go to an objectives of CEC.

4             A question I would ask, and I think this relates  
5     to both of those comments, is are there -- are there  
6     specific things that the CEC could be providing beyond  
7     funding that is a value added to these projects that can  
8     help them succeed in moving the technologies forward, and  
9     maybe specifically that could help them succeed in  
10    California in moving the technologies forward and keeping  
11    them in California.

12            And, you know, for me the most glaring barrier to  
13    that might be, that might be relevant, is anything relate  
14    to the grid where, you know, the state and the regulatory  
15    process is such -- is a such a key part of that, that  
16    making those connections and providing some support in  
17    terms of test bedding evaluations, the regulatory process,  
18    etcetera, could be an extremely, extremely big deal in  
19    terms of helping these technologies succeed and helping  
20    California.

21            MR. GORGUINPOUR:  This is Cameron.

22            MR. GOODSTEIN:  I'm -- I'm.

1 MR. GORGUINPOUR: I -- oh, go ahead.

2 MR. GOODSTEIN: No. Go ahead. You're good.

3 MR. GORGUINPOUR: Okay. Well, I was -- I was  
4 just going to sort of add on to that last point about  
5 supporting regulation. I mean, that can happen both at the  
6 state level and the local level for regions or communities  
7 that -- that would be receiving funding. Simply supporting  
8 an expedited permitting process can help move these  
9 businesses along and keep them in place, I think as  
10 effective or as effective as anything and, then again, to -  
11 - to highlight a previous point, if the state and local  
12 entities, local governments are willing and able to  
13 participate as consumers, and certainly you can control who  
14 you are consuming from. So just two -- two minor points  
15 there.

16 MR. GOODSTEIN: So if the question is about what  
17 can EPIC do to keep jobs, I tend to view these things as  
18 statistical, not individual. So in the case of Frances  
19 Arnold (phonetic), she perceived that she couldn't find the  
20 right people. It's not the job of EPIC to train people or  
21 to make sure that the right people are in the right -- in  
22 this area.

1           But programs like -- I love the comment from our  
2 colleague from UCSD. I like it because it sounded sort of  
3 like the grant pool idea as well. But matching money and  
4 showing commitment, other ideas like that I think can help  
5 create the foundation for things like that. Incentives,  
6 test beds, incentives for people to do something in a  
7 specific place builds on momentum. And then smart people  
8 are saying, ah, something interesting is happening there.  
9 I'm going to go there. And that's what I think will keep  
10 jobs in the same place.

11           Of course, that sets -- this question sets up a  
12 competition between the folks at this table and the north  
13 and, right, it's not -- so the stuff that we're developing,  
14 if it spins out and goes to Boulder, you know, on one hand  
15 that's great for all of us because the technology is  
16 actually getting to market. So ARPA-E people are happy,  
17 not L.A. people. So what we're trying to do is sort of a  
18 parochial, let's keep the jobs here, let's grow these  
19 things here. The mission of the university is not just to  
20 license technology but up and to the more risky thing of  
21 actually fostering start-ups in their immediate  
22 environment, which is part of the Bayh-Dole initiative that

1 started tech transfer.

2           So I think that's -- we think a lot about that.  
3 But we also don't want to -- it's not about preventing  
4 things from getting to market or elsewhere. It's about  
5 taking advantage of what's in your competitive.

6           MR. HONRATH: Yeah. I mean, the question is  
7 ultimately how can EPIC do it's part to ensure that the  
8 money that's invested in these companies ultimately ties  
9 these companies to California so they can't send jobs  
10 oversees. I think that -- that was the question.

11           There's probably very little that EPIC can do  
12 ultimately, I would think, in that regard. I mean, I guess  
13 a great case study in this, is there was a solar company in  
14 San Diego that got stimulus money back in 2009, I believe.

15           And they developed the IP in San Diego. They hired some  
16 local folks. But when it came to manufacturing they moved  
17 manufacturing south of the border in Mexico.

18           And I think that, you know, the challenge is  
19 twofold in that regard. One, again coming back to the --  
20 the regulatory climate in California, it is burdensome on  
21 the private sector. It's important, but there are ways to  
22 retool it, I think, and make business a bit more welcome in

1 California than it currently is. Texas, unfortunately, is  
2 doing a pretty good job with this.

3 But also some -- some even larger, you know,  
4 forces at play, you know, NAFTA. I mean, not to get too  
5 political here, but our trade law was originally designed  
6 to help the United States suck, you know, global wealth  
7 into our country. And unfortunately it's come back to bite  
8 us because now we're seeing our -- our jobs go south of the  
9 border, and companies can leverage these trade laws to  
10 their benefit and save a lot of money in the process by  
11 moving their workforce overseas. Ultimately, a big bulk of  
12 the hiring is going to come from that assembly line,  
13 creating these products, you know, the actual tangible  
14 product.

15 So I don't know what EPIC can do. I would like  
16 to think there's something. But I think that this  
17 something that's beyond EPIC and beyond the California  
18 Energy Commission. But it's certainly something to keep in  
19 mind as we move forward, so --

20 MR. MCLAUGHLIN: Could I just follow up to that.

21 MR. HONRATH: Sure.

22 MS. TEN HOPE: Can you come up?

1           MR. MCLAUGHLIN: Just briefly. I think this goes  
2 to the question of ratepayer benefits. If you were to poll  
3 the ratepayers, probably at the very -- well, maybe not at  
4 the top of the list, it would be among the first items on  
5 their list, they would -- they would say jobs.

6           MR. STOKES: Okay. It looks like we're about out  
7 of time. I just wanted to thank all the panellists for  
8 their -- their great comments and their participation  
9 today.

10           MR. ASHUCKIAN: Let's have just a five minute  
11 break while we have the next panel come up. And Sherrill  
12 Neidich will be our next panellist -- panel leader.

13 (Off the Record From 10:54 A.M., Until 10:59 A.M.)

14           MS. NEIDICH: We're going to go ahead -- we're  
15 going to go ahead and get started. My name is Sherrill  
16 Neidich. I work at the Energy Commission in the Renewable  
17 Energy office. And right now we're going to be going into  
18 panel two, which we'll be discussing regulatory assistance  
19 and permit streamlining.

20           And what I'm -- first I'd like to welcome  
21 everybody here today, and who is on WebEx, and, of course,  
22 thank my panellists who have taken the time out today to



1 join us and to provide us with some expertise.

2 We're going to go ahead and have all the  
3 panellists speak for about five minutes. And we also have  
4 two panellists online. We have Josh Hart and David  
5 McFeely. Josh is with the Inyo County, and David McFeely  
6 is with SolarTech. And so they'll be joining us via WebEx.

7 So I think we'll start. And maybe we'll start  
8 with Vernon.

9 MR. HUNT: I'll try not to -- try not to take  
10 everything out here. My name is Vernon Hunt. I work with  
11 the Department of the Navy in Navy Region Southwest. The  
12 Navy is very interested in developing and utilizing clean  
13 technologies, both renewable energy integration, and also  
14 energy efficiency and demand-side management. We have some  
15 very aggressive goals, laid down by the secretary and  
16 congress for energy reduction and alternative energy  
17 generation.

18 As I'm sure we'll get into more on the panel, one  
19 of the key aspects of developing those renewables in  
20 particular, and I think as we move forward new demand-side  
21 management technologies is really the regulatory  
22 environment, especially in California as far as the

1 interconnection requirements, the permitting requirements,  
2 the environmental requirements, there's -- there's a myriad  
3 of regulatory issues that go into planning, permitting,  
4 installing, and ultimately operating various equipment on  
5 installations.

6 Our predominant focus is making sure that the  
7 mission is always met. So we are interested in developing  
8 these technologies and utilizing these technologies. And I  
9 think my colleague from the Air Force mentioned there's  
10 always going to need to be an economic return on those  
11 technologies for the Department of Defense. So -- but we  
12 are mission focused first. So where the right technology  
13 exists with the right opportunity that minimizes impact  
14 emission and also can help us save dollars and improve  
15 energy security, that's what we're going after.

16 So excited to be a part of the panel, again, and  
17 looking forward to the conversations.

18 MR. GIFFEN: Good morning. My name is Jason  
19 Giffen. I'm the Planning and Building Director for the  
20 County of San Luis Obispo. Prior to that -- I've been  
21 there for a couple years. Prior to that I was with San  
22 Diego County for over 11 years. So I'm very familiar with

1 county government and sometimes the regulatory barriers  
2 that exist, especially for emerging and new industries.

3           In San Luis Obispo County we have a high-level  
4 framework set in our general plan, as well as a climate  
5 action plan that's essentially laying the groundwork for  
6 where we would like to be going with renewable energy. In  
7 addition to that, we have done an extremely extensive  
8 amount of work with moving forward utility scale solar.  
9 Right now we have 800 megawatts under construction on the  
10 Carrizo Plain. We're looking to have one of those targets  
11 being energized in October, and the other one shortly after  
12 that. We have put into place many incentives for rooftop  
13 solar, as well, a far a waiving certain fees and moving  
14 things along.

15           Where I see the next challenge is for small scale  
16 solar and what can be done from a regulatory standpoint to  
17 essentially level the playing field for all aspects of  
18 solar development across the industry.

19           MS. GISHRI: Good morning. My name is Tamara  
20 Gishri. I'm from the California Center for Sustainable  
21 Energy, also known as CCSE. And we're a nonprofit based in  
22 San Diego. I'm actually based in Los Angeles at the

1 CleanTech incubator, talking about collaboration and  
2 synergies. But we focus on renewable energy, energy  
3 efficiency, and transportation. We're a little bit unique  
4 in that we focus on how energy policy and -- and the market  
5 transformation interacts. Rather than a very siloed view  
6 we try to have a comprehensive view of all these different  
7 technologies.

8           But I am the program manager for the rooftop  
9 solar challenge. And that's a Department of Energy  
10 initiative, part of the SunShot initiative that basically  
11 partners with jurisdictions and utilities to focus on  
12 permitting, streamlining, interconnection issues and  
13 standards, finance, and planning and zoning. And we have -  
14 - the CCSE has partnered with 11 jurisdictions and 5  
15 utilities in the Southern California region. We actually  
16 represent about 20 percent of the state's population to try  
17 to streamline these processes, which we think is a very  
18 important part of market facilitation and adoption. And  
19 I'll try to talk about EVs and DG if -- if I can.

20           MS. NEIDICH: Josh or David, whoever wants to go  
21 first.

22           MR. HART: All right. This is Josh Hart. I can

1 go first. I'm the Inyo County Planning Director. Thank  
2 you for having me and allowing me to participate.

3 We have a long history of clean energy production  
4 in Inyo County, beginning with construction of the Los  
5 Angeles Aqueduct. A lot of the work for that project was  
6 done with hydropower. And a lot of those hydropower plant  
7 are still in operation today. We have a pretty large  
8 geothermal power plant in Inyo County in the Coso  
9 geothermal field. And it's been operating since the 1980s.

10 We also have several large-scale solar projects  
11 in permitting process now, and we are participating in  
12 those. And we've done quite a bit of planning over the  
13 last several years for renewable energy development,  
14 particularly for wind and solar renewable energy. And we  
15 adopted a renewable energy ordinance which regulates  
16 renewable energy and encourages its development, but it  
17 also encourages benefits for our county and our citizens.  
18 So that's kind of an overview of what we've been doing here  
19 in Inyo County.

20 There are a couple of things today that I thought  
21 would be relevant to our discussion. One is our experience  
22 in updating our plans and policies for renewable energy.

1 We've also had an interesting issue come up recently with  
2 spot-zoning issues for distributed generation, and I  
3 thought that would be an interesting discussion topic  
4 later. And we've also been participating in a number of  
5 clean energy initiatives, including the Southwest Solar  
6 Transformation Initiative. And we're also preparing what's  
7 basically an energy action plan under contract with  
8 Southern California Edison.

9           So those are my opening remarks, and I'm looking  
10 forward to the discussion. Thank you.

11           MS. NEIDICH: David?

12           MR. MCFEELY: This is David McFeely. I trust you  
13 can hear me.

14           MS. NEIDICH: Yes, we can.

15           MR. MCFEELY: Okay. Welcome, and thank you for  
16 letting me join the panel today. I'm the Director of  
17 Industry Solutions and Grants with SolarTech. SolarTech is  
18 a nonprofit solar PV industry association. We are both a  
19 501(c)(3) and a 501(c)(6). We are a membership driven  
20 organization with members ranging from City of San  
21 Francisco, City of San Jose, Clean Power Finance, SMA  
22 America, PG&E, Southern California Edison, Tioga Energy,

1 (inaudible) Community College, Nobel (phonetic) Workforce  
2 Investment Board, (inaudible), SunPower. So you can see we  
3 have quite a wide range of stakeholders in the solar  
4 industry.

5 Our mission is to streamline industries best  
6 practices and remove the hidden costs impeding the growth  
7 of the solar industry and market adoption, such as  
8 performance metrics and better performance data, financing  
9 methods, and lowering transaction -- transaction costs,  
10 installation best practices. I spoke last week on this  
11 panel for workforce development, which has been a high  
12 priority for us at SolarTech. And putting it to today is  
13 streamlining, permitting, and interconnection, while still  
14 ensuring safe solar installations and environmental  
15 protection.

16 SolarTech has been working in these areas since  
17 2008, thanks in part to a PEER grant from the Energy  
18 Commission in 2008. In 2010 we released the first region-  
19 wide permitting guideline model in conjunction with the  
20 Association of Bay Area Governments and the Tri County Code  
21 Council (phonetic). We are current engaged in two DOE  
22 funded grants through SunShot, all with through a

1 significant focus on streamline permitting and  
2 interconnection.

3           Our solar 3.0 platform grant in a national  
4 program working with SEPA, Bickley, IAI, UL, and many  
5 others to share best practices nationally. I am also the  
6 director of our own Rooftop Challenge Grant. As Tamara  
7 described earlier for Southern California, I manage a  
8 similar grant focused on Northern California, which  
9 includes our partners, Alameda Municipal Power, PG&E,  
10 Sonoma County, the City and County of San Francisco, East  
11 Bay Green Corridor, as well as Clean Coalition.

12           We just recently released a comprehensive report  
13 on San Francisco's approach to streamlining as a model for  
14 other jurisdictions to consider, along with our other  
15 California Rooftop Challenge partners in Costa Contra --  
16 Costa -- you get what I mean -- Costa Contra County  
17 presented to this committee last week the team for central  
18 valley and Tamara's Southern California team. We'll  
19 compete, collaborate, and strive to enable the adoption of  
20 best practices in the areas of permitting and  
21 interconnection.

22           That said, let me point out that this isn't



1 rocket science to use that old cliché. There are many good  
2 ideas that have already been explored, implemented, and put  
3 into practice. And I'll save my further remarks on that or  
4 later with the questions. That's my introduction. And  
5 I'll turn it back to the moderator.

6 MS. NEIDICH: Thanks, David.

7 I'm going to go ahead and go through the  
8 questions. And I'm going to open it up. If the panellists  
9 wish to speak to the questions if you could go one by one,  
10 or if you don't feel like speaking, that's fine. And  
11 before you speak, please just mention your name.

12 The first question is: The Energy Commission  
13 anticipates that cities, counties, and regional governments  
14 will seek grant funding. Are there any other entities that  
15 should be targeted for regulatory assistance funding? And  
16 we've thought of some different trade groups, social  
17 districts, also universities. That kind of came out of our  
18 last workshop.

19 So, Vernon?

20 MR. HUNT: This Vernon Hunt with the Navy. The  
21 only -- I think we talked about it last -- last workshop.  
22 But -- and even the last panel mentioned the idea of

1 utilizing universities as -- as a spot. And I think that  
2 that's another good place to -- to target investments.

3           There may also be some opportunities to target  
4 organizations -- and I'm just kind of spit-balling off the  
5 top of my head -- organizations such as the -- the  
6 Associations of General Contractors, those folks that are  
7 actually going to deploy these technologies down the road.

8 I know that that's not as focused on the regulatory side.

9 And I think maybe we can get more into that in the next  
10 panel. But that may be another area to explore and -- and  
11 look at, in addition to the universities, or also the --  
12 the folks that are employing these tradesmen as they -- as  
13 they come out into the -- into the market. So --

14           MR. GIFFEN: This is Jason Giffen, San Luis  
15 Obispo.

16           MR. MCFEELY: Hi -- this --

17           MR. GIFFEN: Oh, go ahead.

18           MR. MCFEELY: No. Go ahead, Jason.

19           MR. GIFFEN: Okay. This is Jason Giffen, San  
20 Luis Obispo County. We started talking about regulatory  
21 assistance. I think it's important to decide what type of  
22 regulatory assistance. At least on the local level, from a

1 county perspective, working with large-scale utility  
2 proposals you have a purchase agreement, you have inter-tie  
3 agreements, and then you've got the land use permitting  
4 side. So we need to really decide, well, of those  
5 priorities where should it be spent? My expertise is  
6 obviously on the land use side. The suggestions related to  
7 having universities have money, special districts, and in  
8 that community service districts is a good place to start,  
9 especially if they're doing their own proposals and they  
10 have some type of regulatory authority.

11 I think partnerships, for example, in San Luis  
12 Obispo County we have the San Luis Obispo Economic Vitality  
13 Corporation that has a green energy cluster, which is one  
14 of the six clusters identified that have the most growth  
15 and opportunity in our county, would be someone would be a  
16 good partner, as well as community colleges.

17 MR. MCFEELY: This is David McFeely. I would  
18 also echo the -- the comment that was made earlier about  
19 trade groups, NGOs. You know, these organizations are  
20 basically your feet on the ground. They're working at the  
21 grassroots level to make the market happen. So I think  
22 there's a considerable partnership that can be engaged

1 there between EPIC and the trade groups and the NGOs to  
2 help move this agenda along, as well as I would look at the  
3 Rooftop Challenge model and how that one showed up and how  
4 you can engage furthering that along after it's somewhat  
5 microed in February of next year, to take that model and  
6 further it along.

7           Because, you know, organizations like mine or  
8 like Tamara's are, as she described earlier, are engaged  
9 with local jurisdictions that we have funding through the  
10 DOE, you know, which will not last forever, to encourage  
11 the local jurisdictions and integrators to participate. As  
12 you know, cities are strapped for cash, yet we need to have  
13 them at the table. So this helps, you know, compensate  
14 part of their time. It's usually a matching-type  
15 situation, so it's not 100 percent reimbursement. But it  
16 helps encourage them to send their building officials and  
17 fire officials to the meetings and engage in the  
18 conversation when they might otherwise prefer not to. So  
19 we need to be looking at how we can use grants and funding  
20 in that respect.

21           Also the comment -- the comment about the  
22 universities, we've had a lot of success with working with

1 different local universities; San Jose State University, to  
2 name one. They brought their business school in, and their  
3 engineering school, to look at some of these different  
4 issues and help us work through different problems and come  
5 up with examples. And what it -- it helps organizations  
6 like ours because it's low-cost smart labor. And it helps  
7 the students in that it gives them something that they can  
8 hang on their resume, and it further develops and their  
9 students for future work in this industry. So that's my  
10 thoughts and comments on that question.

11 MS. NEIDICH: Josh, did you want to say  
12 something?

13 MR. HART: Yeah. There were -- there were two  
14 ideas that I had that haven't been discussed so far. And  
15 the first is in the Owen's Valley here we have a number of  
16 tribal reservations that, you know, would make -- they're  
17 excellent opportunities for renewable energy development.  
18 And I believe that there is funding that can be leveraged  
19 through the Bureau of Indian Affairs. And so I think  
20 that's a great idea here, and probably in other locations.

21 And then the second one I want to mention is we  
22 have a pretty large resort in Death Valley at Furnace

1 Creek. And they have installed a solar ray there, and it  
2 has actually turned into quite an attraction at that  
3 resort. And so I think, you know, private property owners  
4 are another way we can go to encourage especially the  
5 distributed generation on that kind of small scale. So  
6 those were two -- those were the two ideas that I had in  
7 addition.

8 MS. NEIDICH: All right. Thanks, Josh.

9 MS. GISHRI: This is Tamara again.

10 MR. MCFEELY: And --

11 MS. NEIDICH: David, Tamara is going to speak.

12 MR. MCFEELY: Go ahead.

13 MS. GISHRI: Okay. Thank you. So not to like  
14 be -- I just want to echo David's point. I think with the  
15 rooftop challenge teams, there's four currently in the --  
16 in California, there's a wealth of knowledge and best  
17 practices that -- and most importantly I think  
18 relationships with the existing jurisdictions and utilities  
19 where we can -- you have a channel of communication  
20 already. That can be -- the model can just be expanded  
21 even further.

22 The other note that I have, and I don't know how

1 this would work, but financial partners. We've heard that  
2 financial mechanisms are extremely important to getting  
3 more adoption of these technologies. And so as like the  
4 PACE program rolls out or some sort of community solar  
5 program, that could be another opportunity for partnership.

6 MS. NEIDICH: I just want to let David and Josh  
7 know, we have one microphone that we're passing around. So  
8 what we'll do, for any other question, we're going to let  
9 the panellists here in person speak first, and then we'll  
10 go to you.

11 David, did you have another comment?

12 MR. MCFEELY: Yeah, I'd like to just go ahead and  
13 speak right now, just to kind of follow up on what Tamara  
14 just said. You know, my current grant only covers 19  
15 jurisdictions, and I don't know how many others, there's  
16 hundreds of jurisdictions in Northern California, I don't  
17 know off the top of my head. But I think these are great  
18 programs, model ideas that could be extended with support  
19 from EPIC.

20 Also I would like to also echo the comments that  
21 were made by Mike Hart, I believe it was, of Sierra Energy  
22 in this same panel last week, along these same lines. So I

1 really should quote some of his ideas and thoughts that he  
2 proposed on the panel as far as grants and things of that  
3 nature.

4 MS. NEIDICH: All right. Thanks, David.

5 We're going to go ahead and go to question  
6 number -- can you hear me? Sorry about that.

7 We're going to go ahead and go to question number  
8 two. What local planning and permitting challenges do  
9 clean energy technologies pose now and in the future?

10 MR. GIFFEN: Sure, I'll start. Jason Giffen  
11 again, San Luis Obispo County. Well, there's not a  
12 shortage of challenges when it comes to local land use.  
13 I'll try to keep it brief and focus on some topics, the  
14 first of which we've hit on a couple times is the local  
15 funding gap. When we look at where San Luis Obispo County,  
16 as well as other cities and counties, existing general plan  
17 and zoning codes are, they're at a point where they need to  
18 be modernized. There's general categories in many of them  
19 for electric generation, but it's not necessarily specific  
20 to any type of renewable energy, for example. In our case,  
21 more specifically, we're interested in modernizing rules  
22 and regulations related to solar energy.



1           Right now when someone comes in to file an  
2 application there's a lot of uncertainty associated with  
3 that. There is a discretionary action which makes it  
4 subject to CEQA. And so we're essentially coming up with  
5 customized solutions on a case-by-case basis. And there's  
6 a lot of hesitancy to want to walk through that CEQA  
7 portal, so to speak, and not necessarily knowing what the  
8 outcome on the other side is going to look like.

9           So one thing that we would like to be doing, and  
10 we're doing this independently by also moving forward with  
11 a bill that our board of supervisors sponsored, AB 2161, to  
12 try to build on the Perez bill which would provide funding  
13 to qualified counties. But I think the EPIC program, which  
14 is much more inclusive and, in fact, would have open  
15 competition, so to speak, for local agencies to compete and  
16 modernize their own general plan and zoning ordinances, is  
17 a better step in the right direction.

18           To add on to what are some of the other  
19 challenges, whenever it comes to some type of discretionary  
20 decision with land use, community and neighbor opinions  
21 really matter. So if we were to move forward with, which I  
22 hope we can, some type of programmatic approach, balancing

1 how much you can get done in a programmatic approach and  
2 making it as predictable as possible to begin with and kind  
3 of focusing -- and focusing on frontloading the process  
4 would be much better, as opposed to essentially just  
5 modernizing rules and regulations which would then require,  
6 you know, subsequent discretionary actions.

7           Some other challenges, of course, is the resource  
8 competition. When you look at location of where, in San  
9 Luis Obispo County's case, solar energy should be -- is  
10 desirably placed. It's desirably placed on flat sunny  
11 places. That's typically our valleys. And that's also  
12 where we have most of our agriculture, which is the pride  
13 and joy of San Luis Obispo County. So you've got that  
14 competition between balancing primarily renewable energy,  
15 in this case solar, with agriculture.

16           The only other thing that I would like to throw  
17 up there, as well, is what's missing is a strategic  
18 approach. And a big piece of that would be completing a  
19 constraints and opportunities analysis locally so we can  
20 best match where the existing infrastructure related to  
21 transmission is in association with the best opportunities  
22 for solar generation.

1           So that's kind of a high-level summary of some of  
2 the challenges.

3           MS. GISHRI: This is Tamara again. And I could  
4 talk about this for hours. So I'm just going to hit the  
5 very top level points. And I'm sure David will -- I'll  
6 punt to him, as well, because I'm sure he has a lot of  
7 similar thoughts that we've talked about throughout the  
8 Rooftops Challenge Team.

9           I think number one, inconsistencies in processes  
10 across jurisdictions, helping. There's a big push to  
11 coordinate between jurisdictions and utilities, which  
12 doesn't always happen in terms of the permitting, and  
13 interconnection processes. And most of these comments can  
14 relate to both solar and electric vehicles. I think, and  
15 I'm going a little ahead of myself, but I think one  
16 approach that hasn't been -- that hasn't been done before  
17 is that integrated approach looking at solar and other new  
18 technologies and how they would go through -- because they  
19 are essentially all a very similar process that have a lot  
20 of the same issues, and so -- and challenges. So kind of  
21 looking at everything holistically rather than coming up  
22 and, you know, we're focusing on solar now but we're going

1 to have to look at these EV processes later as well.

2 Another big topic is transparency of information  
3 from the jurisdictions and the utilities, just getting as  
4 much information to contractors and customers as possible,  
5 which is pretty difficult considering rapidly -- you know,  
6 they have rapidly changing environments as well.

7 Another major challenge is larger scale  
8 commercial and multi-family installations. You know,  
9 there's all these issues around virtual-net metering and,  
10 you know, just the complexity of commercial projects and  
11 nonprofit projects, getting those through the pipeline.

12 Let's see, training and education. We hear this  
13 a lot that, you know, the contractors, as well as the  
14 jurisdictions and the utilities, could benefit from better  
15 communication and -- and training if you have some sort of  
16 best practices or guidelines to -- to teach them. And the  
17 governor's office just released a permitting guidebook for  
18 solar installations. If anyone can check that out, it's a  
19 great resource that we're starting to promote as a tool.

20 And then financing and incentives, there's  
21 another big challenge. But I'll leave it at that for now.

22 MR. HUNT: This is Vernon. I think in addition

1 to what Tamara and Jason have already said, I think the  
2 uncertainty piece of it that Jason alluded to, and I think  
3 Tamara just kind of touched on the financing piece, both of  
4 those two play heavily, especially in the Navy looking at  
5 pursuing these types of technologies. The more uncertainty  
6 there is the -- the more risk there is and the less -- the  
7 less comfortable the financiers get about providing the  
8 funding for these projects. So, I mean, that becomes a  
9 large obstacle or barrier to developing some of these new  
10 technologies as we move forward.

11 I think another thing that I think is worth  
12 mentioning is really starting to look at all of the  
13 technologies holistically. As we start to develop these  
14 different technologies we start to deploy more electric  
15 vehicles on the grid, more distributed generation on the  
16 grid, more demand-side management, more integrated  
17 networks. How -- how collectively does that affect our  
18 current regulations and policies? Because at some point in  
19 time the collective impact of those -- of those  
20 technologies may begin to trigger things that we haven't  
21 thought about quite yet. So if there's an opportunity to  
22 start to look maybe a little more forward into the future -

1 - I think this is kind of where the industry looks like  
2 it's going -- what might the impacts and current  
3 regulations, and how can we maybe remove some of those  
4 barriers, even -- even today?

5 MS. NEIDICH: David or Josh?

6 MR. MCFEELY: I'll let Josh go first, if he  
7 wants.

8 MR. HART: Sure. Thanks, David. First I want to  
9 basically say I would repeat most of what Jason said. So I  
10 won't actually repeat it. There are a couple of additions,  
11 additional issues that are particularly challenging for us.

12 The first is for large-scale development.  
13 Mitigation for -- the biology mitigation is so enormous  
14 that it is -- has the potential to eat up all of our  
15 county's private lands. And I know that that is also an  
16 issue for a number of the other counties in the desert. So  
17 that's one of the challenges that we're facing.

18 Also, in particular for solar development due to  
19 the -- the tax incentives for solar, we have real concerns  
20 about providing services and infrastructure for these large  
21 solar plants, given that the property tax revenue we're  
22 going to receive is limited.

1           And the -- the third issue that we have is the  
2 boom-and-bust cycle of development, and especially how that  
3 impacts our housing supply.

4           I thought that this would probably be a good  
5 point to bring up, this spot zoning issue that we've been -  
6 - been faced with. And hypothetically we -- we had an  
7 issue where we have a parcel that's zoned for single-family  
8 but is ideal for distributed generation. It's right next  
9 to an industrial zoned property, but it's -- it's too small  
10 to re-zone. And so that has brought up a variety of  
11 issues. And one of the solutions we're thinking about is  
12 re-zoning adjacent property. But that, of course, brings  
13 in problems with getting the adjacent property owner to --  
14 to agree to the re-zone. And so I don't know if any of the  
15 other panellists had any experience with that issue in  
16 particular. But if -- if you did I'd certainly be -- it  
17 would certainly be great to hear your perspective on that.

18           MS. NEIDICH: Go ahead, David.

19           MR. MCFEELY: This is David McFeely. I was  
20 thinking that for this question that I wanted to illustrate  
21 a couple of problems to really sort of illustrate what the  
22 problem is in that question. Then I've got some other

1 solution ideas that I'll save for the next question.

2 But the first thing I wanted to mention is that  
3 with regards to the -- the financing issue that Cameron  
4 brought up earlier, we have a working group in partnership  
5 with (inaudible) that a solar collective is running to look  
6 at better financing and better liquidity in the solar  
7 market. And currently on that working group there's a lot  
8 of different financial community leaders, along with San  
9 Diego and NREL. So there might be an opportunity here for  
10 EPIC to play a role as, you know, another voice in that  
11 committee to help move the ball down the court, so to  
12 speak. So that's an issue -- an opportunity that I'll put  
13 out there for EPIC to follow up on later.

14 But I have three examples that I wanted to --  
15 that I wanted to use to illustrate what the problems are  
16 that we are facing with permitting and interconnection too.

17 One of our member companies, Skyline, is our first pilot  
18 project for their technology, which is a concentrated solar  
19 technology which was to be here in Nipton, California, a 50  
20 KW pilot project. In the interconnection of that system,  
21 once it was installed, it took them over six months to  
22 finish the interconnection before that system was online.



1 For early stage start-ups, this can be a killer. This can  
2 put them out of business. And I don't know the reason  
3 behind. You can follow up with Skyline Solar directly.  
4 But these kinds of things just don't make any sense to me.

5 Skyline was also involved in our PEER grant,  
6 which as you know with almost all of these grants there's  
7 some kind of a demonstration project that needs to go along  
8 with the grant. In order to do a 50 KW demonstration of  
9 their technology for us as part of the PEER grant they  
10 initially targeted for an installation at Edwards Air Force  
11 Base. They ran into so many regulatory and permitting  
12 hurdles that they eventually, in order to be able to meet  
13 the deadline of the contract for the deployment and the  
14 report writing for the grant, eventually deployed the --  
15 the project in Durango, Mexico. Now why we can get a 500  
16 KW [sic] project deployed in Durango, Mexico faster than we  
17 can in California is beyond me.

18 In that same grant we also had another partner,  
19 SunPods, that was demonstration some very innovative  
20 technology to get solar systems to the ground faster. And  
21 initially they had targeted a 200 KW project in Palomar,  
22 California and ran into some scenic easement issues. And

1 after four months of battling with the local building  
2 department they could -- they could not get those easement  
3 issues wavered, which if you looked at the site it made  
4 actually no sense, and wound up doing three small 25 KW  
5 projects in Fresno in order to be able to build and meet  
6 the requirements of the grant.

7           So these are the kinds of things that our  
8 developers are running into on a regular basis. But again,  
9 we don't want to impact public safety. We don't want to  
10 impact the environment. But we need to find a way to  
11 streamline these processes and get to a conclusion much  
12 faster than four to six months.

13           So I think that will conclude my comments for  
14 question two.

15           MS. NEIDICH: Thanks, David.

16           Let's go ahead and go to question number three.  
17 How can EPIC investments leverage current efforts rather  
18 than duplicate them? And the examples are the DOE's  
19 SunShot Initiative, and the model frameworks from the  
20 California County Planning Directors Association and the  
21 Governor's Office of Planning and Research.

22           MR. GIFFEN: Okay. This is Jason Giffen again,

1 San Luis Obispo County. So I was very involved with  
2 California County Planning Director Association's model  
3 framework. What we saw as lacking was a coordinated  
4 approach as to how to deal with primarily solar energy  
5 facilities. Counties and cities were essentially going it  
6 alone, coming up with customized solutions.

7           So what -- the approach to do was to come up with  
8 a model ordinance that then could be adopted and used and  
9 customized on a local level. And at least from our  
10 perspective we thought that that was our goodwill going  
11 forward. And essentially that would be our matching funds,  
12 so to speak, because that brought together at least over  
13 80, maybe even over 100 people from different aspects and  
14 involvement with the industry. So continuing to build off  
15 of that, I think that it would be great if EPIC could  
16 encourage building off of models such as that.

17           Included, as well, we had a list of examples of  
18 conditions, of ways we were tackling -- like Josh pointed  
19 out, trying to balance the loss in services since local  
20 counties were not collecting the traditional amount of tax  
21 revenue that they could because of the -- because of the  
22 tax breaks. So we included, as well, point of sale

1 agreements.

2           Also some stumbling blocks we're got right now is  
3 on decommissioning. So when you're going forward -- in the  
4 previous question we talked about, what do we -- what do we  
5 need to do now to get solar moving and to remove regulatory  
6 barriers. But the second part of that is, well, what do we  
7 have to do with regulatory agencies and jurisdictions to  
8 ensure that we're taking care of the public good in the  
9 future.

10           And one stumbling block, frankly, that we have is  
11 on decommissioning and how to deal with it. I know a lot  
12 of different jurisdictions dealing with it individually.  
13 But some type of shared collaborative effort, not just on  
14 the front end of how to make permitting easier to begin  
15 with and removing those barriers, but also to make it make  
16 sense on the -- on the back end. Because from county  
17 government's perspective we understand the balancing of  
18 benefits for ratepayers, as well as taxpayers. And we want  
19 to make sure that both are equally benefitting and that  
20 we're not short-changing one over the other.

21           MS. GISHRI: This is Tamara again. So I just  
22 wanted to reiterate, SunShot, the Rooftop Solar Challenge,

1 in the Southern California region we have 11 jurisdictions  
2 participating. And I think in L.A. County alone there's 89  
3 other cities. So although we have L.A. County in our -- in  
4 our partnership, I think there's a lot more work to be  
5 done.

6           And as David mentioned, the Rooftop Solar  
7 Challenge currently sunsets next -- in February of next  
8 year. And at that point we should have done a little bit  
9 of implementation and -- and -- and implemented change.  
10 But I think -- and we'll have an implementation plan in  
11 place for all of these jurisdictions. But a great way that  
12 EPIC could use their -- their funding, I think is to fund  
13 some of those implementation programs beyond that year,  
14 regardless of whether there is DOE funding.

15           And then also reaching out to all of those other  
16 jurisdictions, a lot of them who are smaller jurisdictions  
17 who, you know, are resource constrained and maybe need some  
18 help on this and -- and really teach them what we've  
19 learned in this first year, and try to get them to  
20 implement some of our best practices.

21           The other comment I would make is that I think  
22 there has been some great collaboration between the four

1 Rooftop Challenge teams. But I think there could be,  
2 taking it a step further, even more statewide initiatives  
3 that builds on economies of scale. I'll just give you one  
4 example.

5 I think all of us are struggling in trying to get  
6 jurisdictions to adopt an online application system. But I  
7 think if we did a statewide, if you could do that,  
8 application system that's flexible enough for each  
9 jurisdictions needs, that something that everyone would  
10 benefit from.

11 Mentioning the OPR, permitting guidebook, it's  
12 been completed, but there is a lot more education and  
13 outreach and -- that -- that needs to be done. And there  
14 are model ordinances and -- and a standard plan in there  
15 that could be pushed to the jurisdictions.

16 And then just lastly, the gentleman before  
17 mentioned this, leveraging EPIC funding for match dollars,  
18 showing to the DOE that there is support in California to  
19 continue these initiatives would be extremely beneficial.

20 MR. HUNT: This is Vernon again. I think some of  
21 the efforts that have -- EPIC could potentially benefit  
22 from some of the lessons learned from the DRECP process and

1 leveraging that in other areas -- the Desert Renewable  
2 Energy Conservation Plan -- so the idea being that that  
3 effort has brought together a lot of different stakeholder  
4 on the -- on the environmental and natural and cultural  
5 resources side -- side of the house to plan out these  
6 various areas of consideration for -- for solar  
7 development.

8 I think that type of effort could also transfer  
9 into the regular -- other regulatory areas and into the  
10 permitting process, if there are either statewide or maybe  
11 more targeted areas where there's good potential for solar  
12 development or other major renewable development and  
13 utilizing that type of model as we're planning out what  
14 these -- these different areas may look like, whether it's,  
15 you know, looking at local municipalities or -- or  
16 whomever, but really using that kind of model and really  
17 bringing all the stakeholder to the -- to the table.

18 MS. NEIDICH: Okay. David or Josh?

19 MR. MCFEELY: This is David.

20 MS. NEIDICH: Go ahead.

21 MR. MCFEELY: This is David McFeely. You know, I  
22 totally concur with Tamara's previous comments. In fact,

1 she stated them so eloquently that I don't even know if I  
2 can possibly expand on them too much. So I fully -- just  
3 to say, I fully concur. I think her and I are on the same  
4 page with what she articulated. So let me try to  
5 articulate two other additional things that I think that  
6 EPIC could -- could help in.

7           And the first one would be, you know, outreach  
8 and training. You know, as Tamara said, you know, this --  
9 our rooftop examples will be, you know, concluding in  
10 February. You know, but it's an ongoing battle to get the  
11 word out and, you know, sort of rise above the noise level  
12 in the every day world of code officials and integrators.  
13 And training for all is an ongoing need. And, you know,  
14 training can't just be a one-time event. You know, people  
15 have to be, you know, brought in over and over again before  
16 they really start to -- to get it and -- and really start  
17 to put it into practice in their own local day-to-day  
18 activities. You just can't do something once and walk away  
19 from it. Humans just don't work that way.

20           So I would, you know, highly support looking at,  
21 you know, some kind of continuous program for online -- or  
22 ongoing, as well as online training for code officials and



1 integrators in this field, as well as, you know, in our  
2 SolarTree.org workshops which we do nationally, we're also  
3 offering continuation -- continuing education credits to  
4 code officials through the IEI, as well, to encourage their  
5 participation. So, you know, there has to be some little  
6 carrots out there to get people to -- to come and  
7 participate.

8 I also want to go back in and touch on the -- the  
9 internet online issue that Tamara brought up earlier. You  
10 know, we need to move into the internet world. It is  
11 really appalling that so very few jurisdictions and  
12 utilities offer a really true online application, as well  
13 as a tracking process for both interconnection and  
14 permitting to interconnect across multiple enterprises.  
15 I'm not just talking about downloading an application and  
16 .pdf, some simple little thing like that. I'm talking  
17 about Amazon.com like experience for permitting and  
18 interconnection. And if EPIC could assist in the  
19 development of online software interconnection standards  
20 and requirements it would enable third-party software  
21 developers to better participate in this field, along with  
22 funding to support adoption in the local jurisdictions.

1           Utilities also need to be encouraged to take a  
2 leadership role in employing more streamlined practices  
3 with online tools that integrate into the jurisdictions.  
4 And then leveraging organizations such as SolarTech or the  
5 California Center for Sustainable Energy to assist in the  
6 training of integrators to utilize these processes once  
7 they've been developed and deployed so you get -- all  
8 parties are, you know, basically playing by the same rule  
9 book, on the same sheet of music.

10           So I really would encourage EPIC to take a strong  
11 look at how they can help industry get off the pencil and  
12 paper track and get online, and get online in a very  
13 integrated fashion across multiple enterprises and  
14 jurisdictions. Thank you for your time there.

15           MS. NEIDICH: Josh, did you have anything to day?

16           MR. HART: Yeah. I wanted to maybe follow up on  
17 that point a little bit. We have been participating in the  
18 Southwest Solar Transformation Initiative, which is a  
19 component of the SunShot Initiative. And one of the main  
20 facets of that work is to try to standardize permitting  
21 throughout the deserts, the Southwest, for solar  
22 permitting, especially at a small-scale level. And,

1 frankly, you know, our permitting process compared to a lot  
2 of the urban areas I've worked in is pretty simple. But we  
3 have had an audit. And so it will be very interesting to  
4 see how that -- how the results come back and what they had  
5 to tell us, especially about standardizing our permitting  
6 system.

7           So I think that that's something that EPIC can  
8 certainly participate in. And if there is a way that EPIC  
9 could expand that participation in California, I think that  
10 would be truly excellent.

11           MS. NEIDICH: I'm having a good time here with  
12 the microphone.

13           MS. NEIDICH: Question number four: What  
14 local planning activities should EPIC invest in? What  
15 local permitting processes should EPIC invest in? And what  
16 do these initiatives cost, and how long do they take?

17           Who wants to jump on this question?

18           MR. GIFFEN: Sure. This is Jason Giffen again,  
19 San Luis Obispo County. There's not a shortage of work to  
20 be done. As far as what could EPIC support, I touched  
21 briefly on before feasibility analyses. That would be  
22 purely a planning exercise where local jurisdictions, I

1 would think, would partner with the utilities where we  
2 could actually, essentially, do a constraints analysis.  
3 That would be a prerequisite to identify where are the best  
4 opportunities and what areas are constrained to actually  
5 plan for load -- specifically locating renewable energy.  
6 That could either be done independently or as phase one.

7           Ultimately, then changing regulations, updating  
8 general plans, changing zoning ordinances. I think if that  
9 was to be done, an emphasis should be placed on the tiered  
10 system, as we explained in the model ordinance that was put  
11 together by the Planning Directors Association. The reason  
12 I think that where the money should be spent is when you  
13 look at return on investment from an industry standpoint  
14 you preferably want to do this once.

15           Right now we're stuck with a situation where  
16 individual applicants have to go through both the  
17 permitting, as well as the CEQA process, on their own. So  
18 any opportunity to make small, and especially if we can get  
19 there medium-size renewable energy projects analyzed from a  
20 programmatic approach and switch from the discretionary  
21 review on a local level to a ministerial review is an end  
22 game that I would think would be well received by the

1 industry if they only had to come in with a building permit  
2 and meet a prescribed set of performance standards as  
3 opposed to going through a CEQA process now which can take,  
4 well, frankly, it can take years and cost hundreds of  
5 thousands of dollars. So instead, why not spend -- do it  
6 once and spend hundreds of thousands of dollars once as  
7 opposed to multiple times.

8 I did like the point that David brought up  
9 related to support for e-permitting. That does speed  
10 things up, especially on the building permit side. And our  
11 county, along with a lot of others, our software is aging.

12 And that would be a specific pilot program that could be  
13 very successful if EPIC wanted to provide some funding for  
14 that as well.

15 MS. GISHRI: This is Tamara. I'm going to take a  
16 stab at this. And it's reiterating a lot of the points I  
17 already made, again, the online permitting and  
18 interconnection. I think supporting continued  
19 implementation of the Rooftop Solar Challenge in whatever -  
20 - whatever that looks like, whether it's a statewide or --  
21 or a more regional approach. Again, with training and  
22 education, I think that's a critical component of getting

1 all of this information out there.

2 Kind of moving away from the Rooftop Solar  
3 Challenge topics, I think one -- one thing that comes up a  
4 lot is grid planning, knowing where the resources are and  
5 where the distribution system is, having that be more  
6 electronic and available is something that would be very  
7 useful, especially for some of the nonprofit and commercial  
8 installations.

9 And then, also, in regards to electric vehicle  
10 infrastructure planning, you know, kind of scoping out more  
11 of public and workforce, charging, what that looks like, I  
12 think there have been a lot of pilots out there that we  
13 could -- we could draw from. And then also time of just  
14 charging for -- for electric vehicles.

15 And then I guess -- I guess that's all my points.  
16 I'll probably think of more.

17 MS. NEIDICH: Okay.

18 MR. GIFFEN: Ditto.

19 MS. NEIDICH: David or Josh?

20 MR. MCFEELY: Yeah. This is David McFeely. I'd  
21 like to follow up on the -- the planning side of that, of  
22 what Tamara was talking about. One of the things that we

1 resolved this last year as NREL was doing a national survey  
2 to look at the different soft costs that were involved in  
3 the deployment of solar PV.

4           And one of the real surprising numbers that came  
5 out was that over 65 cents per watt is just customer  
6 acquisition cost, which is a huge number relative to  
7 everything else. If you're going to try to drive hardware  
8 costs down below \$1.00 a watt, that would mean that  
9 installation and permitting issues and customer  
10 acquisitions are still going to be significantly over \$1.00  
11 a watt. So you'll never get below \$1.00 a watt in total  
12 installation costs.

13           So one of the things that I am toying with in my  
14 head is that we have DSIRE.com website that's funded by the  
15 DOE and the North Carolina Energy Center that, you know,  
16 does a nice mapping of different solar resources and policy  
17 issues and permitting issues at a very high level of, you  
18 know, the national landscape.

19           You know, if EPIC could work with, you know, some  
20 smart, you know, programmers to be able to take that down  
21 to a more state level so that developers who are looking at  
22 projects can look at a particular area and really be able

1 to drill down into not -- not only what is the solar  
2 resource for that area, but what are the local zoning and  
3 permitting land use issues involved, all the way down to  
4 the local jurisdiction, and be able to graphically look  
5 very quickly across a large landscape and figure out, where  
6 do they want to do business? You know, do they want to go  
7 beat their head against the wall in some jurisdiction that  
8 may not really be that solar friendly? Or is there a  
9 jurisdiction over here that's become solar friendly but the  
10 world hasn't gotten out, and you could just find it very  
11 quickly by looking at some kind of online mapping function?

12  
13 But I think that kind of tool capability and  
14 keeping it fresh and up to date would both help the  
15 industry, as well as maybe, you know, politely encourage  
16 those who are not necessarily as solar friendly to get on  
17 the bandwagon. So I think that would really help  
18 streamline some of the up-front planning costs that are  
19 real deal killers to a lot of solar projects.

20 MS. NEIDICH: All right. Thanks, David. Josh?

21 MR. HART: Yeah. I just want to reiterate  
22 Jason's comments. I don't know if -- if the panel or the



1 audience knows that we did attempt to update our general  
2 plan to address renewable energy, solar and wind, at a  
3 programmatic scale, and we ran into an issue on the CEQA  
4 front. And our main problem is we just don't have the  
5 resources to prepare a programmatic EIR that costs hundreds  
6 of thousands of dollars.

7           And so I think that if EPIC can provide  
8 assistance to jurisdictions for those types of documents,  
9 that would be really great. I know the Energy Commission  
10 has other programs that do assist, but I think they have a  
11 lot of strings attached. And so I think a program that was  
12 centered around assistance would be really helpful.

13           MS. NEIDICH: All right. Thanks, Josh.

14           We're going to go ahead and go to question number  
15 five. How should EPIC measure ratepayer benefits for local  
16 planning and permitting assistance?

17           MS. GISHRI: This is Tamara. So I think first  
18 and foremost you can measure in cost savings to the  
19 customer or the installer. You could measure in jobs or  
20 reliability to the grid. But I think one comment I would  
21 make is that through the Rooftop Solar Challenge, NREL  
22 actually created a market assessment of each of the Rooftop

1 Solar Challenge jurisdictions regarding how effective they  
2 -- they are currently in terms of permitting,  
3 interconnection, financing, and what types of programs are  
4 out there, and -- and actually gave scores out.

5 But -- so I think that -- that could be a model  
6 or a framework. It's not perfect but -- by any means, but  
7 it could -- you know, it -- it would be something to look  
8 at  
9 to -- to benchmark where some of these jurisdictions are.

10 MR. GIFFEN: This is Jason with San Luis Obispo  
11 County. I kind of like what David was saying in the  
12 previous question when he had a measurement of soft costs.

13 One thing that we don't know and from the government  
14 perspective that we need to rely on industry is, okay, what  
15 are your hard costs and what are your soft costs. And if  
16 planning and permitting is built into that soft costs, the  
17 better understanding of what the cost is today, and then on  
18 an individual basis, what can jurisdictions do to lower  
19 that cost, would -- would be really helpful. That would  
20 require, obviously, the industry to be forthcoming with  
21 those -- with those costs. And I would perceive, at least  
22 at the high levels, that would be possible.

1           Some other ways you could measure it, which are  
2 probably more qualitative, is looking at how many local  
3 jurisdictions actually changed what was once a  
4 discretionary action to a ministerial action. If we're  
5 really talking about speeding things up and getting to the  
6 green light quicker, that's -- that's one way to do it, as  
7 opposed to spending one, two, three years in permitting  
8 prerequisites, which is essentially going through the  
9 planning and CEQA process before you can even start moving  
10 forward with construction. That's one way to -- probably  
11 one way to measure it. It's almost like a CEQA ratio, if  
12 you will. The fewer CEQA documents, probably the better.

13           MR. HUNT: Hi. This is --

14           MR. MCFEELY: This is David McFeely.

15           MS. NEIDICH: David? David, Vernon is going to  
16 talk real quick.

17           MR. HUNT: Real quick. This is Vernon.

18           MR. MCFEELY: Go ahead.

19           MR. HUNT: This is Vernon with the Navy. I, you  
20 know, echo what's been said already with the standpoint of  
21 time and money. I think identifying those soft costs in  
22 advance and then at the end of the program seeing, hey,

1 have we reduced the soft costs overall would be a good  
2 metric.

3           The interesting thing with this particular area  
4 of focus, as far as EPIC is concerned, in its benefit for  
5 the ratepayer is it's kind of a second order affect. It's  
6 -- there's not as much, hey, direct, hey, we do this and  
7 streamline the regulatory, that's going to give the, you  
8 know, the ratepayer a monetary benefit or some other  
9 benefit directly. So there's certainly a second-order  
10 affect to it.

11           But the idea of identifying what those soft costs  
12 are, how much they are, and then whether or not the efforts  
13 that we've put forward as far as EPIC is concerned have  
14 reduced those overall soft costs, I think is a great one.  
15 And then also the time. Have we gone from, you know, a  
16 one, two, three-year process to something that's, you know,  
17 more manageable, more reasonable, allows for the different  
18 business entities to have less risk, less uncertainty, and  
19 more viability as far as investing in these technologies.

20           MS. NEIDICH: Okay. David?

21           MR. MCFEELY: Yeah. Going back to the NREL study  
22 I mentioned earlier that captured soft costs for 2010, I

1 mean, there were two problems there that I think maybe EPIC  
2 could work with NREL in their next round. I think they're  
3 going to try to do this again after the first of the year.

4 But, you know, one is that, you know, we were not able to  
5 actually publish any result until 2012 based on data in  
6 2010. So there's almost a two-year lag there to getting  
7 information out to the industry to make decision. And I  
8 think that's really unacceptable. And there's a lot of  
9 problems in trying to collect this kind of soft cost, very  
10 granular data, you know, calling up CFOs at different  
11 companies and asking them to take two hours to fill out a  
12 survey is not going to fly every time.

13 So we ran into a lot of problems, a lot of issues  
14 on the data collections side that maybe there's some way  
15 EPIC in working with NREL can figure out how to streamline,  
16 turn it in to some kind of automated approach, make it  
17 easier for CFOs and people at some of the industry  
18 companies to be able to participate and give us a richer  
19 database.

20 So that's one thought I'll throw out there for  
21 you to consider.

22 And I think the other thing is just, you know,

1 overall just looking at what is the overall local economic  
2 growth as a result of EPIC's investments. And there are  
3 models out there like, again, not to overly toot NREL's  
4 home for them, but they have another tool called JEDI which  
5 is a very nice online calculator for calculating --  
6 estimating economic improvements. And maybe there's some  
7 things that EPIC can do there to make that a little bit  
8 more friendly and usable for those of us working in the  
9 field to be able to, you know, quantify these gains, as  
10 well as for EPIC themselves to be able to quantify the  
11 gains that are made and communicate those back to  
12 ratepayers that their money is being well spent. And there  
13 are some opportunities there, I think, that we could  
14 explore, just being able to more quantify the local  
15 economic development.

16 MS. NEIDICH: Thanks, David. Josh?

17 MR. HART: Yes. I just -- I just wanted to add  
18 that one of the -- the big issues for renewable energy is  
19 transmission. And, you know, local agencies don't have a  
20 lot to do with transmission, but we are involved. And we -  
21 - we do -- the people who live in areas where the  
22 transmission is going to occur have -- have to live with

1 the visual effects of that transmission. And so if -- if -  
2 - if there was some way that EPIC could measure the local  
3 agencies' contribution to getting transmission built, to  
4 get the renewable energies market, I think that would be  
5 really good.

6 One of the things that we have looked at is  
7 trying to encourage co-location and upgrading of existing  
8 transmission to limit visual impacts. So if there was a  
9 way that EPIC could attempt to at least measure  
10 transmission improvements at a local level, I think that  
11 would be great.

12 MS. NEIDICH: All right. Thanks, Josh.

13 We're going to go ahead and open it up here or in  
14 the building here for any comments. Does anyone want to  
15 make any comments? Okay. When you come up, please state  
16 your name.

17 MR. HOLMES: John Holmes, San Diego Gas and  
18 Electric. We have an extensive program in our sustainable  
19 communities division of SDG&E's customer relations that's  
20 actively engaged in siting solar systems in -- in public  
21 domain on rooftops that customers otherwise occupy. And  
22 the ability for those systems to be supported by new

1 intelligent forms of solar invertors is stifled to some  
2 extent by the registration process for CEC's approved solar  
3 invertors. We are getting ready to advance technology  
4 development to the case with increasing intelligence is  
5 prevailing in grid operations.

6           And so we suggest that this permitting process  
7 contemplate a provisional approval process for advance  
8 technology systems that enable us to really look at the  
9 forthcoming versions of these invertors which will  
10 potentiate intelligent operation, as well the what Frank  
11 had discussed yesterday, about the 1547.8, performance  
12 systems. So these are -- these are important issues that  
13 face solar developers today when they contemplate putting  
14 systems in that have the increasing intelligence that we're  
15 looking at. So a provisional approval processes for  
16 intelligent invertors.

17           MR. COLBURN: Mike Colburn, also from SDG&E. We  
18 have an online application for customers that want to  
19 participate in net-energy metering below 30 KW, and that  
20 was implemented approximately a year-and-a-half ago. We  
21 find that it helps to reduce the frustration that folks  
22 would otherwise have, and maybe reduce frustration for



1 their contractors often times. Those are the entities  
2 applying for these systems.

3 We also have for the developer community an  
4 online map application where individuals can look and see  
5 what can the system, what can the distribution system  
6 accept in terms of output from solar facilities.

7 MS. NEIDICH: Any other comments? All right. It  
8 looks like that it's. We're going to go ahead and adjourn  
9 this session, this panel. And we're going to go ahead and  
10 break for lunch, and then be back at 1:30 for panel number  
11 three.

12 And also, Cody, can you put up the next slide?

13 There's a slide up on the screen of -- of  
14 information about submitting written comments. Those  
15 comments are due on August 17th. Thank you.

16 (Off the Record From 12:03 P.M., Until 1:38 P.M.)

17 MS. NEIDICH: Okay. We're going to go ahead and  
18 get started. We're here for the -- this is the EPIC  
19 workshop. We're in panel three. And this panel is  
20 workforce development to accelerate clean technology  
21 deployment. I want to thank everyone for attending today,  
22 both in person and on WebEx. And I want to thank our

1 panellists for taking the time to join us today.

2           We're going to -- I'm going to give some  
3 instructions to the panellists. We're just going to go  
4 ahead and go around the table, and for each one of you to  
5 take about five minutes. So let's -- give us your name and  
6 who you're affiliated with, and tell us a little bit about  
7 what's going on. And then after that we'll go through the  
8 questions. And I'm going to leave that kind of fluid.  
9 I'll read the questions. But if you feel like responding,  
10 just let me know.

11           And also real quick, if anyone is wondering, we  
12 have two panellists that are -- could not make it at the  
13 last minute. So Carlos Hernandez and Jessica Goodheart  
14 could not make it, so in case your wondering where they  
15 are.

16           So where should we start? Let's see, let's  
17 make -- it looks like Daniel. Do you mind starting?

18           MR. VILLAO: Oh, sure. My name is Daniel Villao.

19           MS. NEIDICH: Oh, here, the microphone.

20           MR. VILLAO: Sure. Not a problem. My name is  
21 Daniel Villao. I'm the Statewide Director for the  
22 California Construction Academy, which is a project of the

1 UCLA Labor Center. We specialize in the evolving  
2 construction industry. We typically focus on academic  
3 research, the creation of popular education tools, and  
4 facilitation, bringing stakeholders together to discuss  
5 policy and programming as it moves in this current  
6 evolution of the construction industry. We recently  
7 authored a publication called Beyond Green Jobs about the  
8 opportunity of the energy efficiency retrofit space in the  
9 construction industry, and how to scale work opportunity  
10 while we're reducing environmental impact and capturing  
11 savings.

12 MS. CERVAS: Good afternoon. My name is Strela  
13 Cervas with the California Environmental Justice Alliance.

14 I do -- I focus on statewide policy advocacy, and  
15 particularly on energy and climate issues in our alliance.

16 CEJA is a six member organization alliance. We work with  
17 community organizations that are primarily low income and  
18 communities of color. We have about -- we represent about  
19 15,000 community members across the state. Our member  
20 organizations are the Asian-Pacific Environmental Network  
21 that are based in Oakland and Richmond. Communities for a  
22 Better Environment; they also are based in Oakland,

1 Richmond, and then have offices in Southeast L.A. where I'm  
2 based, and then in Bloomington. The Center of Race on  
3 Race, Poverty and the Environment, based out of the  
4 Environment based out of the San Joaquin Valley. PODER,  
5 People Organizing to Demand Environmental and Economic  
6 Rights; that work is in the missions district in San  
7 Francisco. Environmental Health Coalition; that works in  
8 San Diego and the Tijuana border region. And then the --  
9 the Center for Community Action and Environmental Justice  
10 in Riverside and San Bernardino.

11 So together what we really try and do is bring  
12 together all of these community members that have been  
13 voiceless at the statewide policy level and really get them  
14 to be at the forefront of advocating for their own policy  
15 change at the grassroots level.

16 MS. NEIDICH: Can I just -- actually, I forgot to  
17 introduce myself as your moderator. I'm Sherrill Neidich  
18 and I work at the Energy Commission in the Renewable Energy  
19 office.

20 MR. ELLIS: Good afternoon. I'm Aaron Ellis.  
21 I'm from Kern County Workforce Investment Board for Kern,  
22 Inyo and Mono County. I am a one-stop operator. I'm a

1 deputy director. And I manage the client services division  
2 for the one-stop in Bakersfield. And the covers the intake  
3 eligibility, one-stop services, partnering with our EDD  
4 partners in Kern County. And we have two comprehensive  
5 one-stops in -- in Kern County, one in Delano, one in  
6 Bakersfield. And we have a lot of affiliate sites within  
7 Kern County. And further on I'm going to talk a little bit  
8 about what we're doing with the green training programs  
9 with the solar tech training, the wind tech training, and  
10 power tech training.

11 MS. WILSON: I'm Genine Wilson. I am the Region  
12 Vice President for Kelly Services here in Southern  
13 California, and also the Co-Chair for Workforce Development  
14 Committee for the Los Angeles Economic Development  
15 Corporation.

16 In the committee really what we're focused on is  
17 bringing industry and education together in one room to  
18 really try to dissect where are the workforce gaps. And  
19 we've been able to discovery many. With this we've been  
20 able to have some aggressive conversations with industry  
21 coming in and talking about, you know, here are all the job  
22 openings they have and why they can't fill them, and really

1 trying to unite with education to figure out how we get  
2 this training to employees or potential employees to have a  
3 better developed workforce to fill these needs.

4 As you know, in -- especially in California with  
5 the unemployment rate, you know, it brings great  
6 frustration when there are so many jobs that go unfilled  
7 and our unemployment rates are so high. So I think that,  
8 you know, if we can continue to focus and work with the  
9 funding to bridge that gap today, as well as, you know,  
10 three, four, five years from now, so that's really what  
11 we're focused on in the committee.

12 MS. NEIDICH: We're going to go ahead and go  
13 through the questions. Question number one: Does the  
14 clean energy sector shape employee training programs? What  
15 partnerships exist between training programs and employers  
16 to promote job placement, apprenticeships, and externships?  
17 And also, what came out of our last workshop is -- just  
18 something that came up, is how do we get the employer  
19 involved? I mean, how do they really speak to the employer  
20 and communicate with them?

21 This -- who wants to go first? David?

22 MR. VILLAO: Sure. Sure, why not?

1 MS. NEIDICH: Okay.

2 MR. VILLAO: So I -- you know, there's multiple  
3 opportunities and examples of really good programming  
4 that's happening. One of the things that we were directly  
5 involved in is the L.A. City Green Retrofit ordinance where  
6 the city created an ordinance to retrofit 1,000 of their  
7 municipal buildings. And they created -- they're creating  
8 or they created programming to transition employees that  
9 were being laid off in other parts of the organization and  
10 created some skill workshops and partnerships that allowed  
11 them to participate in pre-apprenticeship training that  
12 will eventually lead to them moving into a registered  
13 apprenticeship program which is being created in  
14 partnership with the -- with the local building trades'  
15 councils.

16 So -- and they're currently retrofitting the -- I  
17 think they've moved through the first 36 buildings now.  
18 But there's 1,000 of them that are available. And so  
19 they're creating some really innovative funding mechanisms  
20 in order to help deepen the work.

21  
22 You know, and our -- and our approach is always

1 comprehensive, deep-place based retrofit programming,  
2 energy efficiency programming that is rooted. And auditing  
3 is what really creates the scalable job opportunity.

4           And the question really should be, what kind of  
5 jobs do we want to create; right? Are we are going to  
6 create task-related peel-off pieces of work that already  
7 exists where we're creating task specific jobs that are  
8 short term and low paying? Or are we going to create  
9 mechanisms that are real access to family-transforming  
10 careers that are access to -- to work that is not just --  
11 you know, what happens to the guy after he installs this  
12 solar panel? Can he -- can he actually, or she, pull the  
13 wire, bend the pipe, you know, connect the -- the  
14 mechanisms that -- that generate that entire system. And  
15 that actually, you know, would be a role that an  
16 electrician can play.

17           So -- so do -- you know, what kind of -- is it  
18 let's create as many jobs as possible, you know, for a  
19 shorter period of time, or let's create a smaller number of  
20 jobs but really create quality work. And I think that the  
21 idea of measurement becomes really important, especially as  
22 a policy organization, right, where you're governing this



1 system. I think that one of the -- one of the gaps that  
2 needs to be addressed is the quality versus quantity  
3 question. And that's included in contracting. It's  
4 included in the way that certification processes get  
5 standardized. It's included in the measurement of how  
6 organizations interact with your utilities.

7           And I think that there's a lot of things that can  
8 be addressed to help ensure that we're creating a quality  
9 workforce, that we're generating access for small and  
10 disenfranchised minority contractors to participate in the  
11 fold, but not lowering the bar, raising the bar to a level  
12 where these sensitive systems -- because the other  
13 component -- and I'll stop here because I don't want to get  
14 off the soapbox now -- but the other component of this is  
15 that there is -- there's this idea that we -- we have to  
16 rapidly deploy as many contractors as possible and open the  
17 floodgates. And it doesn't matter what the market will  
18 dictate, what the standard is.

19           The danger in that in my mind, and you know, you  
20 can disagree with me and many people do, the danger in that  
21 is that the systems that you're now overseeing are becoming  
22 much more interwoven. They're much more sensitive, much --

1 a much greater amount of technical skill sets that are  
2 going to be needed. You know, your systems are no longer  
3 just controlling the lights. They're controlling, you  
4 know, water systems. They're -- they're integrating with  
5 computer systems.

6           And so the small problem that is generated by an  
7 unskilled worker could definitely at some point interact  
8 with the grid and cause a much bigger problem. And if we  
9 don't train a workforce in a way -- and create standards  
10 and certifications that really allow for the proper  
11 execution of that work, and the maintenance and operation  
12 of that work, we're going to find ourselves with a lot of  
13 undiagnosed issues that could be very problematic.

14           MS. NEIDICH: All right.

15           MR. VILLAO: And that's all I have to say about  
16 that.

17           MS. CERVAS: For us, for CEJA, so we work in  
18 communities that are -- are probably the most impacted  
19 communities across the state in terms of the highest  
20 polluted, have really high levels of unemployment. And,  
21 you know, our kids are -- our kids are really sick because,  
22 you know, they live next to dirty power plants or oil

1 refineries. You know, we -- we work in communities like --  
2 like Chevron where there was just this big, you know, fire.

3           And so unfortunately, I mean, although there are  
4 a lot of green jobs training programs out there -- I mean,  
5 I've heard that there's an estimated 300 green jobs  
6 training programs across the state; I don't know what the  
7 accurate number is -- a lot of our community members don't  
8 have access to these training programs. It's either they  
9 don't have access to them for many different reasons, you  
10 know, the -- the more authentic partnerships haven't yet  
11 been created, and we're trying to work on creating those  
12 partnerships, or for community members, there's a lot of  
13 community members that do go through them that are mostly  
14 low income, and people of color communities, and they go  
15 through a whole green jobs training program and then they  
16 never see a job at the end of it.

17           And that's the big, you know, sad part about, you  
18 know, this whole green economy is that there's this promise  
19 of the green economy and that, you know, it's going to come  
20 and lift up our communities and provide all these jobs.  
21 But really the sad reality is that there -- there really  
22 isn't. And, you know, there's this term that a lot of, you

1 know, youth and adults that go through these programs,  
2 they're all dressed up and nowhere to go.

3           So in terms of the -- the training programs, I  
4 think that, you know, we really have to look at the  
5 communities first that are most impacted because those  
6 really should be the ones that should benefit from -- from  
7 the green economy. We actually work with some researchers  
8 from UC Berkeley, USC, and Occidental College that -- and  
9 we've created some maps that have some indicators. And I  
10 talked about that at another CEC panel where, you know, we  
11 really hone in on which communities. And if you map them  
12 across the state there are particular communities that  
13 light up as red that have the highest unemployment and that  
14 are the most polluted. And we should really look at these  
15 communities and prioritize them.

16           And -- and then -- and then the second is that,  
17 you know, we're -- we're trying to do policy advocacy as  
18 the statewide level, as well, pushing for local renewable  
19 energy. And what we're really like to see, I think the  
20 dialogue has been, yes, we want a new green economy, yes,  
21 we want renewable energy. The dialogue has been let's --  
22 let's build a lot of infrastructure out in the desert.

1 That's something that we need and something that's going  
2 to, you know, benefit California overall.

3 We would also like to see, and something lifted  
4 up, is looking at the local communities. So distributed  
5 generation is a huge part of what we're trying to promote  
6 in that, you know, we want these systems to be localized in  
7 the local communities so that the local infrastructure and  
8 economic benefits actually reach these communities. And  
9 then to actually get the health benefits of it as well.

10 MR. ELLIS: Now as far as Kern County, our  
11 partnerships are one with the community, the local  
12 community college district. They have a clean energy  
13 center where we actually do the eligibility, the -- the  
14 assessment testing to get people qualified to go through  
15 the power tech utility worker training. And also the  
16 solar; they get to actually pick and choose whether they  
17 want to go the solar route or the wind tech route.

18 We've been doing this program probably since '09  
19 in expectations of a lot of jobs opening up in east Kern  
20 County with the solar farms and the wind energy farms.  
21 Right now I believe there are 21 projects in north Kern  
22 that are still in process. And it looks like some of them,

1 the reasons why they're not opening up right now range from  
2 environmental impact issues, land use issues, and a lot of  
3 other things. But there are so many jobs that are going to  
4 be coming in east Kern County. So we're preparing our Kern  
5 County workforce to be prepared for this. That's one  
6 partnership that we have.

7 We also have green employer forums where we  
8 invite employers. And we have economic development there.

9 The training agency is there. Besides the community  
10 college district, we also have local private schools that  
11 also do the same type of training or a similar type of  
12 training. And we all get together. We find out what the  
13 employers' needs are to make sure that the training is  
14 matching the employer needs, like one of the panellists  
15 talked about as far as the gaps are concerned. So that's  
16 what we're doing right now in Kern County.

17 MS. WILSON: Just to touch on what Daniel and  
18 Strela touched on as well, I think that, you know, is the  
19 energy sector contributing? Yeah. I think the large  
20 organizations have the monetary, you know, resources to be  
21 able to do that. It's the smaller niche companies which  
22 really is up-and-coming technology. How are we getting

1 that information to really figure out, you know, what  
2 research and development is needed, you know, where are  
3 things going to be two to three years from now?

4 I think, you know, when you speak to people that  
5 have either taught these courses or owners of solar  
6 companies that are trying to recruit out of these  
7 organizations, to -- to touch on what Daniel and Strela  
8 talked about, there is an impression that they're really  
9 not that qualified. They've gone through these  
10 certification programs but it hasn't really met the need of  
11 what they need from a quality standpoint.

12 So I think, you know, it's really setting clear  
13 expectations of what these certification programs can get  
14 you. I think today you're probably looking at 80 percent  
15 of the need being in the degree category versus just the  
16 certification for installation and assembly.

17 I think that, you know, if there, you know, is a  
18 variety of different focuses from research and development,  
19 but also, what do we do with folks that are either seasoned  
20 folks that need retraining now or folks that are in high  
21 school that we want to position for the proper degree? How  
22 are we doing the recruiting advertising? Because I think

1 that's a big miss.

2           If somebody, you know, graduated high school and  
3 they're going through a certification and that's it, I  
4 think that to your point they are all dressed up with  
5 nowhere to go because they're not qualified enough.  
6 They've got the certification, they've got sort of  
7 introductory information, but it's not enough to really get  
8 them a family transforming career. I think that if there  
9 is more focus on that high school age to really inform  
10 them, here are the career opportunities that are out there,  
11 if that's part of college orientation so people know what  
12 their options are, then you can catch them early enough  
13 where they go and they get that four-year education to be  
14 able to get them where they need to then get the  
15 specialized certification. But I think if they're only  
16 looking at, you know, a 9 to 12 month course it's only  
17 going to get them so far, and they're going to be competing  
18 against everyone else at that level.

19           So I think the -- the problem is larger. And we  
20 have to think now, but we also have to think long term and  
21 how to mitigate this moving forward.

22           MS. NEIDICH: We're going to go ahead and go to



1 question two. Significant investments are being made to  
2 develop a clean energy workforce. What can EPIC workforce  
3 development investments build upon these efforts? And some  
4 of these efforts are, I have ARRA investments, clean energy  
5 workforce training, and the train-the-trainers programs.

6 So how can we build on these? Daniel?

7 MR. VILLAO: Sure. Well, whenever we're talking  
8 about workforce development we really need to marry that  
9 conversation with demand generation and really talk about  
10 program, in this case construction program investment. As  
11 you invest in programming that's actually going to be  
12 deployed, whether there are buildings that are going to get  
13 retrofitted, or solar arrays that are going to get  
14 attached, or wind farms that are going to be invested in  
15 and brought online, that's what really generates the demand  
16 for the training, the demand for the workers. When you  
17 have an existing workforce that, in some cases, is up to 40  
18 percent unemployed, that's already fully trained in a lot  
19 of these trades, you know, the HVAC and the sheet metal  
20 workers, and the electricians, and the plumbers, and the  
21 like are sitting at home waiting for work too.

22 And so we're talking about, first of all,

1 employing workers who are waiting for work projects, and  
2 then training the next generation. And this happens to be  
3 a workforce that, I think according to the last check, is  
4 the -- the second oldest workforce in the country, right,  
5 construction workers. And so they're -- they're ready to  
6 move out. They just haven't been able to because of the  
7 slow down in the -- in the work process.

8           And so -- so when we're thinking about what  
9 investments EPIC could be making, I think that supporting  
10 the efforts -- there's a couple of ways to do that.  
11 Supporting the efforts that utilities are making in terms  
12 of helping to facilitate projects, large-scale projects to  
13 move, right, so as they deploy programming, not just in  
14 terms of creating refund programming but in terms of  
15 facilitating large square foot ownership to revamp and --  
16 and move into energy efficiency and all of the other things  
17 that we're interested in, that -- those types of support  
18 investments are going to be really helpful.

19           Also, understanding what needs to be done; right?

20           We asked the question earlier in the year, what -- how  
21 much will it cost to figure out, you know, what  
22 certification standards would cost and what some of these

1 other programmings would cost. Well, we need to really do  
2 scalable pilot programming in order to figure these things  
3 out and to address the, you know, the play-space needs that  
4 some of the folks around the table have mentioned already  
5 in terms of access and deployment priorities.

6           So -- so as you're about to spend a dollar, the  
7 real value, whenever that dollar can touch programming that  
8 actually deploys work, that is what stimulates the demand  
9 for the workers and stimulates the demand for the training  
10 component. And that's enough.

11           MS. CERVAS: So I, you know, just to add to that,  
12 I think this speaks again to what I was talking about  
13 earlier in terms of the various community members that we  
14 work with. I was at an energy -- conducted a whole series  
15 of trainings with community members, because we actually  
16 lack a lot of curriculum around, you know, ways that need  
17 to be -- what does a green economy mean and what does  
18 renewable energy mean. And so we had to go in and create  
19 our own curriculum. I think that would be, you know, a  
20 huge, you know, big investment, at least for the community  
21 members that are most impacted to really understand --  
22 understand and see what's available out there.

1           But in this training there was a representative  
2 from the MAAC -- MAAC Project in San Diego that came and  
3 spoke with us. And he said that he -- they have a whole  
4 partnership with green jobs. They have a whole green jobs  
5 training program, work with CVOs, and then partner. And  
6 have really advocated to fight for some of the -- the green  
7 jobs training monies. And they had four different  
8 contracts. They had trained about 91 people in a span of  
9 time; 70 -- of those 91 people 70 percent were working, but  
10 only 10 percent were actually in a green job. And so,  
11 again, this speaks to the -- the -- the first question.

12           I think that there's a disconnect. I think, you  
13 know, the -- in terms of, you know, where the -- the  
14 funding should be going, in terms of the -- the training  
15 programs, there's just a disconnect on the need of what  
16 community members actually need and the actual particular  
17 types of training programs that they -- that they would  
18 need.

19           And then, again, speaking to Daniel's point, I  
20 think that we are really looking for long-term sustainable  
21 jobs here. We're not looking for, you know, minimum wage  
22 jobs. What we're really trying to fight for are long-term

1 sustainable jobs and looking at not just the installation  
2 of solar, because that's a question that we get asked a lot  
3 in terms of our policy advocacies, you know, why are you  
4 fighting for this? You're just going to install the solar  
5 and that will be that. But we are looking at it, you know,  
6 there's many job opportunities out there that we could  
7 really conceptualize and create and we, you know, we need  
8 to look at that.

9 MR. ELLIS: As far as the funding, I think they  
10 ought to -- EPIC ought to take a regional approach to this,  
11 especially in Kern. Regionally in the Central Valley we  
12 have partners with our local WIBs in the Central Valley  
13 where we apply for grants to make sure that common themes  
14 in the Central Valley are being met. And I think the  
15 disconnect as far as the timing of all this, especially  
16 when you're -- when you're -- you know, you want to train  
17 people in the green technologies, solar and so forth, but  
18 the jobs aren't there yet, they're coming, and so forth.

19 So I think there has to be some type of regional  
20 approach where, you know, employers have to buy in, the  
21 local workforce investment boards have to buy in, the  
22 training vendors, the -- the community colleges --

1 community colleges also have to buy in, and do it  
2 regionally. And I think that might be more effective than  
3 just doing it statewide.

4 MS. WILSON: I would agree. I think that doing  
5 it regionally does make better sense than just sort of a  
6 generic program that blankets everything, I think, from my  
7 perspective in what I do every day, you know, whether it's,  
8 you know, by, you know, trying to find work for employees  
9 or speaking to industry and education about the -- the gaps  
10 that exist. I think identifying the proper segments and  
11 what is relevant -- we can't just have training to have  
12 training, to say that we're trying to meet the need if it's  
13 really not meeting the need, if the graduates are not  
14 really getting green jobs.

15 So we've got to figure out really what is  
16 relevant today, and what's going to be relevant in the  
17 future; right? Where is the research and development at  
18 today? And -- and what do we anticipate that need being,  
19 so that that course work is being created today, you know?

20 So if there's funding specifically for that, with that in  
21 mind I think that that would be very helpful.

22 I think that as employees are being -- or

1 candidates are being identified for these training  
2 programs, that the -- the criteria is not so low that it,  
3 you know, it becomes very generic. I think that, you know,  
4 whether it's a four-year degree or a certification program  
5 the standards of who is enrolled in those programs still  
6 has to be somewhat high so that you are getting the quality  
7 workers. So I think some development of what that criteria  
8 should be. What is the metrics? What are the standards?  
9 You know, should they have, you know, this grade point  
10 average in math or science or whatever it is that shows  
11 some ability to digest this type of -- of industry.

12 I think beyond that, also, with trying to meet  
13 the -- the candidates that exist in areas that are  
14 underprivileged and often don't have access to this  
15 information, I think that something needs to go into some  
16 recruitment campaigns and some education of what the  
17 opportunities are and what that looks like. You know, what  
18 is the timeline? If I want to be this, what does that I  
19 mean I have to do today, so they know what that mapping  
20 looks like and they can think long term, as opposed to just  
21 not knowing what their options are.

22 So I think that's -- there's probably not enough

1 focused on just educating people about the process versus  
2 just, you know, putting all of the money in the actual  
3 training.

4 MS. NEIDICH: We're going to go ahead and go to  
5 question three. Should EPIC fund the collection, storage  
6 and dissemination of a clean energy workforce information  
7 center? Would a clean energy workforce center connect the  
8 workforce to the employer? Also, I'm going to expand on  
9 this a little bit. Are there specific areas throughout the  
10 state that deserve special attention in developing an  
11 information center? And is there a clean energy labor data  
12 that the clean energy sector needs that is unavailable from  
13 the EDD?

14 And also I want to add from last week's workshop,  
15 some of our panellists were saying that a center, you know,  
16 could help if executed effectively, but that employers may  
17 not use such a center or find it effective. Obviously, we  
18 need to conduct research through social media, internet,  
19 and other web-based technologies. And that WIBs had  
20 already completed some of the work towards the center, and  
21 if we could just leverage or improve upon that, that would  
22 be beneficial. So I know I just kind of went over that,



1 but if you would respond.

2 MR. VILLAO: Yeah. That was a long list.

3 MS. NEIDICH: Sorry. And that's all I have to  
4 say.

5 MR. VILLAO: Yeah. That's all I have to say  
6 about that.

7 MS. NEIDICH: Yeah.

8 MR. VILLAO: So should you fund a clean energy  
9 hub, or whatever it is that you want to call it --

10 MS. NEIDICH: Information center.

11 MR. VILLAO: -- information center? Absolutely.

12 And the reason I say that is because we need, as I'll  
13 piggyback on what Genine was saying, we need to educate,  
14 not only participants on the workforce side, but also  
15 property owners, people who lease property, people who rent  
16 homes, people who -- you know, they need to be educated on  
17 what this. What is the -- the green economy? There's a  
18 lack of information, and therefore a slow trickle in the  
19 demand generation; right? So we have to educate the  
20 marketplace. Have to educate purchasers. We have to  
21 educate participants who could potentially benefit from the  
22 training programs that are -- that are out there.

1           Full disclosure? I sit as the chair of the  
2 advisory committee on apprenticeship for the secretary of  
3 labor. And so I have a pension for registered  
4 apprenticeship. But it's a model that really has, over the  
5 last 100 years, displayed how to do demand-based training  
6 programming. They don't take apprentices until work  
7 projects are online and projected over a certain amount of  
8 time, and -- and that's how they take the influx. And --  
9 and people outside of the -- of that system don't -- don't  
10 understand it because they -- they just need to get bodies  
11 into the apprenticeship system. But it's always based on  
12 what work is coming, what work is available, and that's how  
13 people are moved into that program.

14           And now we're -- we're, on the national level,  
15 working on articulation agreements with the Department of  
16 Ed modeling, you know, pre-apprenticeship programming with  
17 -- with national nonprofits like YouthBuild, etcetera, in  
18 order to create this systemic career track between pre-  
19 apprenticeship, apprenticeship, university programming.  
20 The -- the technology is moving so fast.

21           And Genine hits on something that's really  
22 critical. The technology is being adapted rapidly.

1 Employers, people who are out there in the field trying to  
2 get -- capture projects are trying to offer the state of  
3 the art technology, and we're going to make your building  
4 so smart it will not cost you anything to run and make you  
5 money at the same time; right? And so they're -- they're  
6 trying to figure out the right mix of technologies. So you  
7 can't allow that process as it evolves to create the  
8 standards around a workforce. You're going to go crazy.  
9 You're going to have all this patchwork of training and  
10 certifications and things.

11           So, yes, I agree, regionalized deployment is the  
12 right model. But there has to be an umbrella in terms of  
13 certification and ensuring that these programs are  
14 beginning to get standardized and that we're -- we're  
15 displaying for the rest of the country an effective  
16 methodology in terms of training high-quality workers that  
17 can interact with these sensitive systems on a regular  
18 basis.

19           And so -- so when -- the final point that I'll  
20 make, that I'll get back to is when we're taking pieces,  
21 components of these trades and peeling them off and calling  
22 them, quote unquote, green jobs and saying that we're now

1 going to create this technician, you're going to create an  
2 army of workers for jobs that don't exist. And I would  
3 just caution you to really begin to look at the much  
4 broader market. As -- as Genine pointed out, a small  
5 percentage -- or I'm sorry, maybe it was Strela -- a small  
6 percentage of workers are actually being deployed in the  
7 green space, and other workers are filling up the -- the  
8 regular construction ranks.

9           So why don't we train very smart, very well  
10 equipped technicians that can interact with these systems,  
11 that can expand what registered apprenticeship is, expand  
12 what the university programming criteria is, and really  
13 capture what employers need to have available to them so  
14 that they can interact with these systems and provide work  
15 for their clients. And that's all I got to say about that.

16           MS. CERVAS: I think the only thing that I would,  
17 you know, say on this is that I think, yes, I definitely  
18 think that EPIC should fund, you know, workforce  
19 information centers for sure. I think that there should  
20 also be focus on, you know, strong partnerships with CVOs,  
21 especially environmental justice organizations that, you  
22 know, I spoke about that lack that type of partnership

1 currently.

2           We do have a couple of organizations within our  
3 alliance that, you know, have some partnerships. So, for  
4 example, the MAAC Center, MAAC project that I mentioned  
5 earlier is not part of our coalition. But again our Mental  
6 Health Coalition (phonetic) in San Diego has a strong  
7 partnership with them.

8           I think the reason that I say that there should  
9 be strong partnership and there should be actually  
10 resources dedicated towards, you know, also transferring  
11 that information over to community-based organizations is  
12 because these organizations actually have long-term  
13 relationships with the communities and actually will see  
14 them, you know, again and again.

15           We were looking for stories of community members  
16 that had gone through a training -- gone through green jobs  
17 training programs and that are having difficulty finding  
18 work. And we know that there are many countless stories  
19 out there. You know, the problem was that we were having  
20 difficulty tracking down these -- these graduates.  
21 Because, for example, in these -- some of the workforce  
22 centers -- worksource centers they, you know, graduate and

1 then they go on their way. After they can't find a job  
2 anywhere, then they go on their way, whereas, you know,  
3 community-based organizations might have a longer term kind  
4 of relationship and -- and keep track with them.

5 So that's the only thing that I'll add to that.

6 MR. ELLIS: Well, I definitely agree with funding  
7 the workforce information centers. And as a local WIB in  
8 Kern County, we already have those relationships  
9 established with the employer community, with the community  
10 college district, with local training providers.

11 I do agree with Strela as far as having some of  
12 the community-based organizations more involved. Because  
13 through the Workforce Investment Act we have performance  
14 standards that we have to meet to make sure folks get  
15 employed, stay on the job, and so forth. But she's right,  
16 a lot of times customers come through our program and they  
17 kind of hit a wall when they can't find a job. And we're  
18 constantly talking to them about, you know, sending them  
19 out on referrals and constantly getting -- keeping in touch  
20 with them, but they tend to fall off. But I definitely  
21 like that point.

22 Now as far as looking at other local WIBs,

1 especially here in L.A. County, the relationships are  
2 already there with employers, with the local WIBs, with the  
3 community college districts, with the unions. So if  
4 funding is going to be available I think that's a good  
5 resource to do that. And also looking at it, like I said  
6 before, on a regional approach and making sure there's a  
7 tie-in with the employer.

8           If the employer -- in Kern County our job  
9 development staff talk with employers constantly. That  
10 relationship, if you do one thing wrong as far as sending  
11 them the wrong candidate that doesn't have the skills that  
12 they need, they won't use you again. You just have to do  
13 it one time. I mean, I'm sure Genine can tell you that, as  
14 well, too. So I think that needs to happen regionally and  
15 the funding definitely needs to go in these type of  
16 information centers.

17           MS. WILSON: And, yes, I absolutely understand  
18 that. You're -- you're exactly right. And I think that,  
19 you know, the obvious answer becomes yes. I think it's  
20 how. I think, you know, we certainly don't need another  
21 brick and mortar. You know, I think that if, you know, if  
22 it's virtual, how do people know about it versus if we have

1 the funding there's so many of these organizations that  
2 could do more if they had more funding. Why not go enhance  
3 those standing programs? Have some sort of criteria to  
4 figure out which programs you want to enhance, but I think  
5 by pushing what's already there, as opposed to just adding  
6 to the list, is going to be key.

7           You know, I think that, you know, just some  
8 notes, you know, around it, again, from my perspective,  
9 because I have to be knowledgeable about so many things.  
10 It's like, you know, you know about everything, expert of  
11 little; right? You know, but it's how do you get this --  
12 this information?

13           And I think that, you know, from -- from my  
14 standpoint, I'll continue to harp on, you know, how are we  
15 campaigning and advertising the help that's out there? And  
16 you know, that's part of what's considered throughout EPIC.  
17 I think that that, again, is going to be very useful. How  
18 do these community organizations assist? How do we, you  
19 know, set up programs with the WIBs? If these folks were  
20 once in their database and they've lost touch, if we're  
21 tracking that information properly in the database that's  
22 another advertisement that can be pushed to those folks



1 through whatever contact information we have. Maybe we get  
2 75 percent that still have the same contact information.

3 But I think as technology changes, as program  
4 opportunities change that's the key, is ensuring that we're  
5 getting that information out. And I think that that's  
6 where the -- the funds would be best used.

7 MS. NEIDICH: Okay. We're going to go to  
8 question four. Distributed PV and wind have industry  
9 recognized certifications of the NABCEP. What technologies  
10 would benefit from similar certification programs?

11 MR. ELLIS: Pick one.

12 MS. NEIDICH: Well, it was also mentioned in this  
13 last workshop on PV certification.

14 MR. VILLAO: Yeah, well, again, I would --  
15 we're -- I don't feel, and this is my personal opinion, and  
16 in the work that I've been doing, I don't see that we need  
17 to reinvent the wheel here; right?

18 We have a body of work that's been created over  
19 an extended period of time that has the technical capacity  
20 that is tied to this type of work, whether it's air  
21 conditioning control, energy efficiency, solar deployment,  
22 you know, the mechanical components, whatever it is,

1 speeding elevators, right, that are programmable and you  
2 can just touch the floor number on the outside of the wall  
3 and you don't see anything on the inside of the wall, you  
4 just end up on the floor you're supposed to be on. There's  
5 so many different technologies that if you begin to create  
6 certifications for every single new thing that pops up  
7 we're going to create a lot of time creating certification  
8 and no time creating work.

9           So my caution or my -- my hesitation in saying,  
10 yeah, create, you know, a gazillion different technology-  
11 based certifications is because I think that there's  
12 already players in this area that have created  
13 certifications that you could just recognize, you know?  
14 The IBEW has lighting control systems certifications. The  
15 -- the UA has, you know, the UA and Sheet Metal Workers,  
16 they -- they all have HVAC certifications. They -- they  
17 enhance the certifications that you've already set in play.

18           But often times we really need to look at what --  
19 what are we getting for the certifications that we have out  
20 there; right? I mean, if you can -- if any -- any  
21 contractor, any guy with a pickup truck and a ladder can  
22 walk in and be qualified simply because he has a pickup

1 truck and a ladder, again, these systems are becoming so  
2 intricate that I'm just afraid of the quality of the output  
3 of work that we're going to be getting.

4           And so the push-back has been, well, you're going  
5 to just block out everybody, you know, a bunch of small  
6 contractors. You're going to block out people that don't  
7 have access to, you know, historical whatever, programming.  
8 And the reality is that we -- that that's where your dollar  
9 becomes valuable. If we can then partner with these  
10 systems, the WIBs, the -- the community colleges, the  
11 apprenticeship programs that are out there and enhance  
12 training models that allow contractors to get the  
13 certifications that you are requiring to deploy in the  
14 utilities, that then makes it a manageable process. And  
15 you're controlling the quality of the workforce.

16           And so we have there -- you know, we -- I could  
17 go through a whole list of technology certifications, but I  
18 think that that's not really -- that's not really where our  
19 focus should be. Our focus should be on the quality of  
20 the -- of the workforce that we want carrying around your  
21 badges, right, and -- and interacting on your behalf, and  
22 the contractors that we're giving access to -- you know,

1 one of the things that we discovered in some of our work  
2 is, you know, that contractors cheat. Surprise, right,  
3 that -- that they use, you know, refund programs to, you  
4 know, to manipulate the system and drive other business to  
5 their companies.

6 Well, how do we control that? You can't control  
7 it just by issuing more refunds or a different variety of  
8 refunds. You have to do it by setting standards that make  
9 them accountable. There has to be accountability in the  
10 system. And that -- and that's what I'm really focused on,  
11 you know?

12 And we -- and we'd like to see -- I mean, there's  
13 stuff that we'd like to see funded. We've been, you know,  
14 very interested in creating an electronic resource around  
15 apprenticeship and all the different criterias and things  
16 like that, so we could create these libraries that people  
17 can have access to, to get an understanding of that, that  
18 they know who the partners are that are really -- the --  
19 the Utility Commission, the CEC and others are really  
20 partnered with and can -- can provide the appropriate  
21 certifications and have the right standards that these IOUs  
22 can interact with and partner with to develop regionalized

1 criteria that is specific to building types and  
2 environments in their -- in their local areas, and create  
3 access for the disenfranchised communities that we're all  
4 interested in serving. So I think that's going on enough.

5 MR. ELLIS: I'll say something short.

6 MR. VILLAO: Sorry. So sorry.

7 MR. ELLIS: That's okay, Dan.

8 MS. NEIDICH: That's okay.

9 MR. ELLIS: As far as the certifications, since  
10 we partnered with the community college district and  
11 training schools we've had some issues where some employers  
12 would tell us, especially for the SolarTech, one of my  
13 staff sent me an email about electrical training and ET  
14 card, that one employer wanted some of our students that we  
15 sent from a solar class to have.

16 And so, again, the communication from the  
17 employer community to find out what their needs are, if  
18 they have certain certifications that they must have for  
19 their contracts and so forth, that communication has to be  
20 there. So I think we still need to look at that to make  
21 sure that the employer needs are met with the type of  
22 certifications that they need. So any type of industry

1 certification specifics that may not be in our current  
2 training programs, we have to make sure that communication  
3 is there.

4 MS. WILSON: Not a lot to add, I think just a few  
5 points. Daniel is right. How many certifications can we  
6 have; right? How many specialists can we have? The point  
7 is if you're specialized in one thing what happens when the  
8 job is not available?

9 So, you know, maybe it's not that we need more  
10 certifications, but we need to broaden the certifications  
11 that are in place so that people can do a variety of  
12 things. It's at least foundational as opposed to so laser  
13 focused from the start. If you get this certification you,  
14 you know, can do this or that or you're, you know, more  
15 easily to pass another certification or take on another  
16 specialty.

17 You know, the -- the feedback that I get from  
18 some of our employees that come through is, well, you know,  
19 I went to school for this, this is what I can do, and now  
20 there is nothing there for that and I have to start all  
21 over again. We have to stop the -- the all-over-again  
22 process.

1           I think also with certifications, you know,  
2 taking a look at what's there today, and then taking a look  
3 at what is up and coming, I think you really can't create  
4 sound, very high-standard quality certifications until the  
5 new technology has -- has reached a certain, you know,  
6 maturation. Otherwise, again, you're -- you're constantly  
7 adding to it, you're patch-working, you're going back. So,  
8 you know, I think that there needs to be criteria around  
9 when you certify and for what.

10           MS. NEIDICH: And we'll move to question five.  
11 How should EPIC measure ratepayer benefits for workforce  
12 development?

13           Do you want to go with this one?

14           MR. VILLAO: I'll let her go first.

15           MS. NEIDICH: Oh, okay.

16           MR. VILLAO: I spoke too much already.

17           MS. NEIDICH: That's fine.

18           MS. CERVAS: Yeah. I want to hear it. I think  
19 this is an interesting question. You know, right now we  
20 are, you know, pushing for a goal to -- to create local  
21 renewable energy in low-income communities and communities  
22 of color. And the question that we get the most is, you

1 know, what's -- what's the ratepayer impact or what -- you  
2 know, how -- how are ratepayers going to benefit from this,  
3 or, you know, there's going to be a ratepayer revolt some  
4 day soon if this bill passes, or something like that.

5           And I think that, you know, often what's --  
6 what's overlooked in terms of I think that there is this  
7 concept of, you know, who the ratepayers are and what  
8 ratepayers will -- will do and are willing to do if, you  
9 know, renewable energy -- renewable energy infrastructure  
10 actually develops and -- you know, fully develops in  
11 California. And that will be, you know, we'll all be angry  
12 and we'll all take -- you know, be up in arms about our --  
13 our bills increasing by a few cents per month.

14           But what's often overlooked is that, you know,  
15 low-income communities are also -- are ratepayers too. And  
16 it's interesting how policy makers really view -- segment  
17 out the communities that have been most impacted by -- by -  
18 - by dirty energy. And -- and it's -- it's really a shame  
19 that, you know, that often times they think, well, it's,  
20 you know, it's the ratepayers that we need to benefit, and  
21 low-income communities are just kind of a segment and  
22 aren't kind of paying into this.



1           But the -- the fact is, is that, you know,  
2 we're -- we, again, have been going through lots and lots  
3 of training with our community members. We look at our  
4 energy bills. A lot of community members have been looking  
5 at their energy bills and have been realizing that they  
6 actually pay into public purpose programs that are supposed  
7 to build renewable energy in low-income communities. But  
8 they often never see that renewable energy or green jobs  
9 coming out of those programs, even though they pay into  
10 them every single month.

11           And so, you know, I guess my main message is that  
12 low-income communities are ratepayers, as well, and they  
13 should really be -- benefit somehow, someway, if not be  
14 prioritized in this green economy.

15           The -- the other point I think is in terms of  
16 ratepayer benefits, I think it's -- it's -- it's very  
17 highly focused on what is the financial incentive to  
18 ratepayers, and not look at, you know, what's the health  
19 impact or what are the economic investments into these most  
20 impacted communities. You know, we -- again, I can't -- I  
21 can't express enough, you know, the -- the extreme health  
22 issues that -- that the communities face.

1           And bringing up again the things that happened in  
2 Richmond and Chevron, I mean, that fire was just a recent  
3 incident that, you know, brought media attention to that  
4 particular -- that particular oil refinery. But the truth  
5 is, is that Chevron has been spewing a lot of, you know,  
6 pollution day in and day out, and that doesn't get covered.

7           And so our community members have been suffering  
8 the health, you know, impacts of that. And we should  
9 really think about the green clean technologies that need  
10 to be built in these communities first and that have been  
11 impacted the worst.

12           And then -- and then -- and again, we really want  
13 to promote local distributed generation. That's, you know,  
14 what we're trying to do.

15           MR. VILLAO: You know, I think I would like to  
16 make just a brief comment. One -- one of the things that  
17 kind of sticks with me is that if we were to respect the  
18 stacking order that, you know, everybody really worked hard  
19 to create, this idea of energy efficiency, before with  
20 figure out what -- what new technology is going to be  
21 adopted is really what generates the savings that create --  
22 that won't impact the ratepayer in the negative way, even

1 if you do create these funding mechanisms that allows for  
2 new dollars to be put into the system because they're  
3 capturing savings first; right?

4           So -- so just -- I think that measurement has to  
5 start with auditing. I think people forget that we have to  
6 figure out what these facilities actually -- wherever  
7 you're deploying, whatever technology or energy efficiency,  
8 what do you actually need there? You know, sometimes we do  
9 these cursory audits and just want to come in and get the  
10 low hanging fruit and change the light bulbs. But if we do  
11 a whole system evaluation where we're doing a place-based  
12 audit that really sees what a facility needs, what a campus  
13 needs, what an organization needs, then you're capturing  
14 the savings. And -- and that ratepayer issue becomes much  
15 less of an impact if you're generating savings and  
16 educating people about how that savings is really  
17 translating in their day-to-day engagement with your  
18 organizations; right?

19           So that, I mean, you know, that's what I think.

20           MS. NEIDICH: Thank you.

21           MR. VILLO: Back in order.

22           MS. NEIDICH: Anything?

1 MR. ELLIS: No.

2 MS. NEIDICH: We're done with our questions. Is  
3 there anything any of you want to add before we open up to  
4 comments? No? Okay.

5 Whoever wants to come up who is in the building  
6 here who would like to make a comment, if you do so come on  
7 up and just let us know your name before you speak.

8 Cody, anyone? Oh.

9 MR. SERRATO: I'm curious about --

10 MS. NEIDICH: State your name.

11 MR. SERRATO: My name is --

12 MS. NEIDICH: Yes. Yes.

13 MR. SERRATO: -- Erick Serrato with Pacific  
14 Gateway Workforce Investment Board. I'm curious about the  
15 idea of a workforce information center for green jobs and  
16 how that then doesn't become the redundant with all of the  
17 work that the WIBs are already doing and how we don't  
18 simply siphon off resources to do something that's  
19 completely independent and how we make sure that that  
20 system is efficient and effective, particularly now that we  
21 know that, quote unquote, green jobs can be labelled many  
22 other things.

1

2

3

4

5

6

So who is decide what becomes a green job, how it becomes part of this information center, and how we make sure the folks that are outside of that who may not know that they have access to those green jobs are left out of that process?

7

MR. VILLAO: Well --

8

MS. NEIDICH: You want to get that?

9

10

11

12

13

14

15

16

17

18

19

20

21

22

MR. VILLAO: Yes. In my mind the idea of an information center means that we're aggregating information, making it available; right? So I don't -- I don't see the threat to WIBs programming in terms of, you know, pulling resources out of the WIBs. I see it more as creating a communication structure, not only in the WIB system but in all of the other programming that exists that's -- there's all this disparate information out there that's -- it's really good stuff, and if you Google the right term you can find it, but there's no place where this stuff is housed. And that's one of the concerns that we've been raising for the last several years and trying to figure out how to fund it really.

But -- but this information center could

1 potentially be an umbrella that -- that is created that  
2 really aggregates all of this information, all of these  
3 resources, and begins to help people communicate with each  
4 other, including the WIBs. That's the way I view it.

5 MR. ELLIS: And just to add on to that, making  
6 sure that if this does happen to include all the partners  
7 involved in this information center and do it, like I said  
8 before, on a regional approach. So the WIBs are there, the  
9 community colleges are there, the local labor unions are  
10 there, community-based organizations have an input, to know  
11 the design of it and so forth. But it's got to be  
12 partnership level that way. So like the gentleman said  
13 from Pacific Gateway, you have to have that, so people  
14 don't  
15 want -- feel left out. And then all the information that  
16 every -- all the partners have are included in this.

17 Because I know in Kern County our community  
18 college district partner, they're a clean energy center.  
19 That's the first source of information that anyone in Kern  
20 County can get. We go to them. They -- they provide that  
21 on their website, and so forth, so --

22 MS. NEIDICH: Any other comments?

1           MR. COLBURN: Yes. Mike Colburn from San Diego  
2 Gas and Electric. Listening to the conversations here have  
3 been near and dear to my heart -- my heart. I've been  
4 involved with the apprenticeship night school at local  
5 junior college for electrical workers. And you're probably  
6 aware, Daniel, the state minimum is two years for  
7 apprenticeship. Our program at SDG&E is actually three  
8 years.

9           I'd like to step back and take a lesson from the  
10 cellular industry. Some of you may have seen a PBS  
11 documentary, Cell Tower Deaths, fellows or ladies, I think  
12 it's mostly fellows, delivering pizzas one week are  
13 climbing 200-hundred-foot towers the next week with  
14 predictable results. Very tragic. It's very important to  
15 keep the eye on safety, as well as competency.

16           What we're looking for is -- are people that are  
17 high-voltage qualified, and also have a background in  
18 controls and communications and digital technology.  
19 There's not a lot of clean technology that's going to get  
20 on the -- on the grid without smart grid features. This is  
21 -- this is the kind of technology we're looking for. It's  
22 -- it's going to be close to, I think, a four-year degree

1 without the general ed by the time you're done with it, and  
2 a healthy dose of practical training.

3           There's -- there's a need to combine what were  
4 previously separate, largely union classifications; in our  
5 case IBEW. And I would ask the question of the panel, what  
6 role do you see for the unions in this regard?

7           MR. VILLAO: Sure. Well, I think that organized  
8 labor has clearly laid out a pattern of how work  
9 classifications in the -- in the construction industry can  
10 be separated by expertise. I think that they're building  
11 on this -- this program and we're seeing technology advance  
12 really rapidly. And it's being introduced to registered  
13 apprenticeship programming by the manufacturers directly in  
14 these labor management apprenticeship programs, really  
15 rapidly. I mean, all over the country they're creating  
16 pilot programs with new advanced technology, and the  
17 systems are already in place.

18           And so I think that articulation agreements are  
19 probably the right mechanism at the moment. The question  
20 then becomes, and this is a conversation we've been having  
21 with the Department of Ed, is how do you -- how do you  
22 incentivize community college programs to -- to partner



1 with registered apprenticeship programs that are labor  
2 management unionized programs; right? And that's what  
3 we're talking about. How do you -- how do you create that  
4 collaborative effort so you don't disincentivize the  
5 community college by taking resources away, but you create  
6 a partnership that -- that allows for the technical  
7 educational component to be managed by the community  
8 college, and the practical on-the-job training to be  
9 managed by registered apprenticeship, and create this new  
10 hybrid partnership.

11           So those are some of the conversations that we're  
12 actively involved in. And I think that there is an  
13 opportunity to do that. Obviously, labor has been very  
14 concerned about melding job classifications. I think that  
15 technology is moving beyond that and that -- that they are  
16 recognizing that some of the work is beginning to cross  
17 over. And I think you've seen what that's created in some  
18 cases. So we'll -- we'll see how to manage that process.

19           MS. CERVAS: For us, for CEJA and the  
20 environmental justice community, I think that the  
21 relationship with the environmental justice community and  
22 labor has -- you know, we've had a history of not always

1 agreeing necessarily. I think one of the big opportunities  
2 and challenges that we face right now is that, you know, as  
3 I was mentioning earlier, the -- the green economy is  
4 looking at building large-scale renewables or solar and  
5 wind farms in the desert, which we agree that we need.

6           And then -- but we also think that what's really  
7 going to put people to work and really make health impacts  
8 in our communities is the local distributed generation.  
9 And so I know that there's been some critiques on the part  
10 of labor of DG, local DG, because they can be smaller,  
11 quote unquote, mom-and-pop shops that are non-unionized.  
12 So -- but the opportunities for us is it means -- we are  
13 trying to, right now, really work with labor and figure  
14 out, you know, a partnership where we want the union jobs  
15 as well. We don't want you know, small minimum wage jobs  
16 that are not sustaining. We want union jobs as well.

17           MS. NEIDICH: Okay. Is there any other questions  
18 or comments?

19           MR. MCLAUGHLIN: Thank you. My name is Larry  
20 McLaughlin, College of the Desert. And I just had a  
21 comment. I believe it's beyond the step of the EPIC  
22 program to address the big issues of the workforce. And it

1 really shouldn't set out to do that. I don't think there  
2 will be resources enough to -- to take on that -- that task  
3 and accomplish it. It's focus is the -- the development,  
4 deployment, commercialization of new clean energy  
5 technologies. So I think the focus of the education and  
6 training, its support should be to support, facilitate the  
7 deployment and commercialization of clean energy  
8 technologies.

9           So I think that implies that the -- the effort  
10 should be focused, you know, that -- that it should be a  
11 matter of putting out there the -- the training, the  
12 information that's needed to support, say a new innovation,  
13 something that has just been developed, something that  
14 has -- has been -- has done demonstration and have taken  
15 the steps towards commercialization that requires training  
16 to take that next step.

17           I believe it's important that -- well, let me  
18 give you an example, and I think this relates to something  
19 you were saying, Daniel.

20           Electric vehicles. They're coming. The electric  
21 charging infrastructure is coming. And we need to have  
22 technicians that know how to service those vehicles, that

1 know how to install the charging systems that are being  
2 developed and put out there. The technology is improving  
3 all the time. So you don't start by training an automotive  
4 technician under the program. You start by taking  
5 automotive technicians who have skills to build on and add  
6 what they need to know about EVs to service them or to --  
7 to work around them safely, or first responders who have to  
8 -- to -- to respond to an accident, or something to that  
9 affect. That puts infrastructure in place in an  
10 incremental fashion, you know? It's the next step.

11           With respect to charging stations and that  
12 infrastructure, electricians will probably be the people  
13 who do that installation work, you know, and then they are  
14 doing that work. So what do they need to know about the  
15 systems that are out there now? What do they need to know  
16 about the next generation, and so on, as they get smarter?

17       What do they need to know after that, you know, to deal  
18 with the smart systems?

19       So I think it has to be a little more focused.

20           Another example: Distributed generation. You've  
21 got a lot of great new technologies being developed and  
22 deployed out there, some great models that need to be

1 adopted. Who needs to know what? Really, the  
2 stakeholders. I think this -- you know, in some instances  
3 you're going to have infield people and their needs, and  
4 you have outfield people and their needs.

5           With distributed generation, I think someone  
6 said, well, you know, the landowners need to know something  
7 about this. The developers need to know something about  
8 it. Planners, as we heard from our last panel, they need  
9 to know something about this because they're going to be  
10 involved in taking that step of implementation of the  
11 technology. Infield, the people who are generating or  
12 developing  
13 these -- these new distributed generation systems, well, as  
14 new technologies get deployed even as they're working in  
15 the field they need to learn a little bit something more.  
16 I dare say that not even the best educated engineers  
17 working in the field would say that they know everything  
18 there is to know. You can't learn it all.

19           So there's -- there's, I think a variety of steps  
20 that need to be put into place that are more focused and  
21 targeted to the technology as the EPIC program rolls them  
22 out. Thank you.

1 MS. NEIDICH: Thanks. Any more comments?

2 Anything from the panellists? Okay.

3 Well, I -- let me -- thanks -- thank our  
4 panellists again for your help with this discussion today.

5 The next -- go that next slide, Cody -- has information  
6 for the written comments. And we really encourage everyone  
7 to submit written comments. It's very important to us.  
8 Those are due on August 17th. And if there's nothing else,  
9 then --

10 MS. TEN HOPE: Can you just open it and see if  
11 there are any comments --

12 MS. NEIDICH: Oh.

13 MS. TEN HOPE: -- from the whole two-day session?

14 MS. NEIDICH: Sure. For the whole two-day  
15 session, would anyone online or anyone here like to make a  
16 comment, from yesterday's workshop to today's, anything?

17 MR. SCHINDLER: Do you want me to un-mute  
18 everyone?

19 MS. TEN HOPE: Tell them to raise their hand.

20 MS. NEIDICH: If you'll raise your hand, if  
21 you're on WebEx and you want to make a comment from  
22 yesterday.

1 MS. TEN HOPE: I'm Laurie ten Hope. I'm the  
2 Director of Research for -- at the Energy Commission. And  
3 for some of you have not participated for the last two  
4 days, we wanted to let people know what the next steps were  
5 in the development of the investment plan overall. So we -  
6 - we appreciate the panellists providing us input on some  
7 topic areas that may be included in the investment plan.  
8 The Energy Commission is now going to be developing an  
9 investment plan. And the three IOUs are also developing  
10 complimentary investment plans. These are due to the CPUC,  
11 California Public Utilities Commission, November 1st.

12 So we will be releasing our draft the end of  
13 August or early September, out for public comment. And --  
14 excuse me. And then we'll have a public workshop mid-  
15 September and take comments on the actual suggested  
16 elements of that investment plan. So this is all good  
17 input for that process. Then the CPUC opens their own  
18 proceedings -- excuse me -- to accept the plan or make  
19 modifications. And then funding is available for this  
20 program in July 2013. Thank you.

21 So are we -- any questions? If not, we are  
22 adjourned.

1 (The California Energy Commission, Staff Workshop on the  
2 Electric Program Investment Charge Program, Adjourned at  
3 2:43 P.M.)  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22



1

2

3

4

## CERTIFICATE OF REPORTER

I, MARTHA L. NELSON, an Electronic Reporter, do hereby certify that I am a disinterested person herein; that I recorded the foregoing California Energy Commission Status Conference; that it was thereafter transcribed into typewriting.

I further certify that I am not of counsel or attorney for any of the parties to said conference, nor in any way interested in outcome of said conference.

IN WITNESS WHEREOF, I have hereunto set my hand this 10th day of August, 2012.

---

—

MARTHA L. NELSON - CERT 00367

## CERTIFICATE OF TRANSCRIBER

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.

August 24, 2012

---

MARTHA L. NELSON - CERT 00367