



APPEARANCES

ENERGY COMMISSION STAFF

Laurie ten Hope, Director of Research

Pam Doughman

Jamie Patterson

David Hungerford

Eric Stokes

Rizaldo Aldas

PRESENTERS

Amanda Moore, Pacific Gas and Electric Company

John Minnicucci, Southern California Edison Company

Percy Harlson, Southern California Edison Company

Suna Taymaz, Pacific Gas and Electric Company

Frank Goodman, San Diego Gas and Electric Company

ALSO PRESENT

Doug Kim, Southern California Edison Company

Marilyn Keller, Southern California Edison Company

Bill Lyte, Burns and McDonnell

Krista Kamer, CSU COAST

In S. Kim, ADC Energy

Kelly L. Hull, Bright Footprint

P R O C E E D I N G S

10:02 a.m.

PROCEEDINGS BEGIN AT 10:02 A.M.

(The meeting was called to order at 10:02 A.M.)

WESTMINSTER, CALIFORNIA, FRIDAY, MARCH 21, 2014

MEETING BEGINS AT 10:02 A.M.

MR. KIM: So my name is Doug Kim. I'm the Director of Advanced Technology for Southern California Edison. So on behalf of Edison I would like to welcome all of you, and those that are listening in, to this EPIC Workshop today.

You know, I think all of the folks that are participating here, we all know that there are a lot of federal and state policies that we're all trying to achieve. And we think that there are some really interesting and promising technologies and solutions that are emerging. And I think this is what it's all about, is trying to leverage those things to help us achieve those objectives. And I think it certainly is going to take a strong participating by all of the stakeholders. So I think opportunity like this is great for -- for the state and for all the -- the ratepayers that we serve.

So again, I think we are looking forward to having a really great conversation today. And we have a lot on the agenda, so let's get going. And welcome again. Thanks.

1 MS. KELLER: Good morning, everyone. It's great  
2 to see you today. I'm Marilyn Keller. I'm your cruise  
3 director today. I'll be your meeting manager. If there's  
4 anything that you need, please let me know.

5 We do not have wi-fi in this room. Just so you're  
6 aware, there is no wi-fi available in this room.

7 The first, of course, safety first. I want to  
8 make sure that you know the evacuation plan in the event of  
9 an unlikely emergency. We haven't had one yet. But, you  
10 know, we always want to be prepared. You would -- in the  
11 event of an earthquake you would want to stay in the room  
12 and duck under the tables in the back or down near your  
13 chairs. Do not move. Do not leave the room unless we tell  
14 you it's safe to leave. In the event of any other fire,  
15 whatever, any kind of emergency, you'll be instructed to  
16 leave the room, exit through that door right there behind  
17 Ross. Even though it says "Stop," just keep right on going  
18 and head out the door into the parking lot. And you will  
19 see a number three on one of the trees at the far end of the  
20 parking lot.

21 Has everyone signed in today so we know that  
22 you're here? If not, we want to please make sure you stop  
23 by the front desk and put down your cell phone number,  
24 because we want to know you're here and find you in the  
25 event of an emergency.

1           Please put your cell phones on silent or vibrate  
2 so that they don't ring during the meeting. That would be  
3 appreciated.

4           Also, directly outside this room on the other side  
5 of this wall are the restrooms. They're -- they're small  
6 single restrooms, but they're right outside the room.

7           We ask that you don't wander off anywhere in the  
8 building. We need to -- everyone needs to be within this  
9 room or on the outside of the door. If you do need to go  
10 outside for any reason, to take a call or whatever, the  
11 guard will -- at the door will let you back in. That's what  
12 she's here for, to help you out.

13           If there's anything I can do for you to make this  
14 meeting more comfortable and productive for you, please let  
15 me know and I'll be happy to accommodate.

16           And so hope you enjoy your meeting. I'm going to  
17 turn it over to the CEC now.

18           MS. DOUGHMAN: Would the CEC staff please come to  
19 the front table? Thank you.

20           So the agenda for today, unfortunately, Damon  
21 Franz will not be able to join us from the CPUC, but his  
22 presentation is online. And Laurie ten Hope will go over  
23 some of the key points. And thank you to Doug Kim for the  
24 welcome. We will now go into a presentation from Laurie ten  
25 Hope and other staff from the Energy Commission. They will

1 provide an overview of the proposed initiatives for the  
2 Energy Commission's 2015-2017 Proposed Investment Plan for  
3 EPIC. Then we will have public comment. And then we will  
4 break for lunch. After lunch we will have a similar  
5 sequence from the investor-owned utilities. Thank you.

6 MS. TEN HOPE: Okay. I'm Laurie ten Hope. I'm  
7 the Director of Research at the California Energy  
8 Commission. And this is basically the same format and  
9 presentation that was provided in Sacramento on -- is there  
10 a way to not listen to everybody coming on? Anyway, this is  
11 basically the same presentation that was provided in  
12 Northern California on Monday. So it's providing another  
13 opportunity for our Southern California stakeholders to  
14 participate in person.

15 So I'm basically with Damon Franz not being here,  
16 I'm going to just read a couple of the points from the  
17 PowerPoint presentation that he provided on Monday. He's  
18 the -- the staff lead for the public -- the Electric Program  
19 Investment Charge with the California Public Utilities  
20 Commission.

21 So in his presentation he provided background that  
22 EPIC is designed to assist in the development of non-  
23 commercialized new and emerging clean energy technologies in  
24 California while providing assistance to commercially viable  
25 projects. The CPUC found that each of the first Triennial

1 Investment Plans offered a reasonable probability of  
2 providing electricity ratepayer benefits by providing  
3 greater reliability, lower costs, and increased safety. The  
4 projects selected for award for EPIC should be funded on a  
5 competitive basis, unless the administrators have  
6 specifically detailed and justified exceptions to this in  
7 their approved investment plan. And the EPIC administrators  
8 are required to report the use of non-competitive rewards in  
9 their annual reports to the Public Utilities Commission.

10           The CPUC approved the 2012-2104 Investment Plan in  
11 November of 2013. And it basically laid out a plan for \$162  
12 million a year over the three-year period with the Energy  
13 Commission administering \$127 million, and the three  
14 investor-owned utilities administering \$33 million. And the  
15 technology areas are diversified between the administrators.  
16 The Energy Commission is providing research in a broad  
17 portfolio across multiple topic areas that are designed to  
18 provide benefits to ratepayers in energy efficiency,  
19 generation, clean electric transportation, and smart grid  
20 technologies. The utilities are focused on -- on the  
21 technology demonstration portion of the portfolio.

22           The EPIC Program is now live. On November 1st,  
23 2012 each of the program administrators submitted their  
24 respective investment plans to the CPUC for consideration.  
25 The investment plans were modified and approved on November

1 14th. The administrators will now hold competitive  
2 solicitations and grant awards to successful bidders. And  
3 the CPUC will continue to oversee the implementation of the  
4 EPIC Program.

5 So additionally, each of the administrators is  
6 required to file annual reports to the CPUC on February  
7 28th. And they will -- the CPUC will hire an independent  
8 evaluator to review the program by 2016.

9 Each of the administrators have a public website.  
10 And Damon was kind enough to provide his contact  
11 information. If any of you have questions for the CPUC you  
12 can reach Damon at Damon, D-a-m-o-n, dot Franz, F-r-a-n-z,  
13 at cpuc.ca.gov. And his phone number is (415) 703-2165.  
14 And again, this presentation is on the web.

15 So now I will speak for myself and introduce  
16 the -- the Energy Commission's portfolio here. So basically  
17 that was principally the background on the development of  
18 the first investment plan. And we're here today to -- to  
19 develop the second investment plan for EPIC which is going  
20 to cover the periods of 2015, 2016 and 2017. And so we're  
21 very interested in your participation today in the workshop,  
22 as well as we'll provide opportunities for -- for public  
23 comment.

24 So in -- we're on slide two. In developing the  
25 initiatives you're going to hear today the Energy Commission

1 took -- took a step back to base the initiatives in this  
2 plan based on new statute. We have guidance from SB 96  
3 which provides some priority initiative areas that the  
4 program should focus on. And those include renewable  
5 integration, storage, electrification of transportation,  
6 energy efficiency, and renewables. Those are the topic  
7 areas specified in SB 96. And then we are encouraged to  
8 look at additional areas if significant barriers exist for  
9 the achievement of clean energy goals in California.

10           We've also received a lot of stakeholder comments,  
11 over 100 sets of comments so far from earlier workshops.  
12 We've done an assessment of the current state of the art of  
13 technologies and sort of where -- where we think we'll be at  
14 the conclusion of the first investment plan, and key factors  
15 that are driving clean energy development including policy  
16 goals like the new storage procurement goals,  
17 electrification goals, ZNE goals for 2020 and 2030.

18           The proposed initiatives incorporate the CPUC  
19 guidance. And a couple of things that are important in the  
20 CPUC's decision are guiding principles that the initiatives  
21 need to return value to the ratepayers that are supporting  
22 these funds. And that the initiatives basically need to tie  
23 back to the electricity system referred to in the decision  
24 as the electricity value chain. And, of course, we're  
25 looking for proposed projects that we think are going to

1 provide the highest value proposition for ratepayers.

2           So I just want to give a couple of examples of  
3 what's different in the second investment plan from the  
4 first investment plan. In applying these principles we --  
5 we've changed focus in some cases. For example, in the  
6 first investment plan we have a strong focus on energy  
7 efficiency and buildings, particularly earlier in looking  
8 for technology innovation that's more at the lab scale and  
9 the kinds of efficiency, demand response, storage, etcetera,  
10 technologies that will help us get to super energy efficient  
11 existing buildings, and also to near or total zero net  
12 energy buildings by 2020 for residential and 2030 for  
13 commercial.

14           By the second investment plan we want to take some  
15 of that research and focus on larger scale deployments where  
16 we're really looking at more the demonstration scale at  
17 either a developer scale, a subdivision scale on helping  
18 reduce some of the risk but do a larger deployment.

19           In the -- one of the new things in the energy  
20 efficiency area, as well, is that we're exploring concepts  
21 like golden carrot where we might give more of a prize  
22 for -- for achieving particular performance targets. And  
23 we're exploring this both in -- in the ZNE area, as well as  
24 the appliance area in perhaps consumer electronics set-top  
25 boxes.

1 Another example, in the industrial, ag and water  
2 our philosophy is a little bit reversed. In the EPIC  
3 Program and in the Energy Commission research programs that  
4 were administered prior to EPIC we have really focused on  
5 demonstrations in the industrial, ag and water. And we have  
6 done four -- four separate series of grants to -- to the  
7 industrial sector to improve processes. And these have  
8 been, you know, these have been really successful and have  
9 some, you know, really interesting projects. But this time  
10 we want to really step back and look for more enabling  
11 technology, more breakthrough type technologies that we  
12 could then bring back into the demonstration arena in a  
13 future cycle.

14 I, basically in the last slide, discussed both  
15 the -- the new strategy in the applied research, as well as  
16 the technology, demonstration and deployment area. So I'm  
17 going to move to slide five. And this is -- market  
18 facilitation is the area that we are proposing more  
19 significant changes in the second investment plan. The -- I  
20 probably didn't set this up properly. The EPIC  
21 investment -- the EPIC strategy really encourages the  
22 administrators to develop technologies from -- from early on  
23 in applied research, then in technology demonstrations, and  
24 then a small market facilitation program to -- to help bring  
25 selected technologies over the commercialization valley or

1 death.

2           And so this -- in the first investment plan we  
3 proposed and are implementing a couple of targeted areas in  
4 the clean energy workforce and permit assistance for local  
5 governments to help with the permitting, most prominently,  
6 renewables. They have jurisdiction for a lot to the  
7 renewable development and may not have the same expertise  
8 for -- for that task. This time we've taken a much more  
9 holistic approach to look at the types of strategies, a  
10 broader portfolio of strategies that would help accelerate  
11 emerging technologies get to market. And this -- this, I  
12 think, is really an exciting area, and also important to  
13 target because commercialization can be -- is -- is the most  
14 expensive part, so our assistance really needs to be  
15 strategic. And you'll hear from Eric and Pam later today  
16 about some of those ideas around procurement and testing  
17 protocols. And this area -- we're interested in your  
18 comments in all areas, particularly in this area that --  
19 that is -- that's new that you tell us whether you think  
20 these are -- are the areas that show the most promise.

21           We're also, in our draft at this point, keeping an  
22 option open for New Solar Homes Partnership funding.  
23 This -- this is an area that the Energy Commission is  
24 exploring various potential funding sources to continue the  
25 incentive payments for -- for solar -- for PV on -- on

1 homes.

2           With that, we're -- we're going to transition to  
3 hearing from our staff. And what we're -- what we're going  
4 to do for about the next hour is to really walk through, at  
5 a high level, our draft proposals at this point for  
6 initiatives in the -- in the next investment plan. These  
7 the -- the PowerPoints are online. They're in the back of  
8 the room. And by the end of today we'll have some backup  
9 materials for the workshop. We'll have descriptions of each  
10 of these initiatives on our website. Because we're -- we're  
11 opening up a comment period, we would ask for your comments  
12 on initiatives by the 28th, next Friday, the 28th of this  
13 month. And I'm going to just read the questions to you so  
14 as you're listening to each of our speakers, you know,  
15 your -- the questions will be keyed up in your mind.

16           So we're really interested in are we missing some  
17 key initiatives? Are there some key technology  
18 opportunities or -- or strategies to accelerate technology  
19 development that's missing? And on the other hand, we also  
20 want to be strategic. So if you see some of these things  
21 and say, oh, well, that's, you know, that's needed but  
22 it's -- it's probably a low priority given funding that  
23 other people are providing or its potential benefits are --  
24 are, you know, are relatively small. We also are interested  
25 in culling some of the initiatives. We're also looking at

1 potential flagship programs that may -- may -- we may  
2 dedicate more than the typical, you know, 1 to 2 million  
3 type award that, you know, really has the potential for  
4 significant cost reduction savings or other benefits. And  
5 are there initiatives that should be combined? So those are  
6 the questions.

7           We're going to start with applied research. There  
8 are 11 strategies in this area, basically two strategies in  
9 energy efficiency, three strategies in the clean generation  
10 area, followed by several in the smart grid area, and then  
11 two crosscutting areas. So I'm going to turn this to Dave  
12 Hungerford who is our lead for some of the building energy  
13 efficiency, especially demand response and behavioral  
14 research. And he'll walk us through the energy efficiency  
15 initiatives.

16           MR. HUNGERFORD: Thank you, Laurie. Have I got  
17 this close enough? Okay. Okay. Under the first -- under  
18 the first strategic objective our purpose is to build on our  
19 past investments and energy efficient technologies and  
20 identify promising new technologies with the potential to  
21 produce energy consumption in the building, agricultural,  
22 and water sectors. The first initiative under this is to --  
23 is to look at efficient solutions and lower energy  
24 consumption buildings. We're going to continue investing in  
25 advanced devices and systems to improve building performance

1 with consideration for reducing costs, facilitating consumer  
2 adoption, and informing future codes and standards efforts.

3           There will be five specific research areas that  
4 we'll be looking at, five technology areas. The first is  
5 lighting and lighting control technology, lighting systems.  
6 The second is heating, ventilation and air conditioning  
7 systems. The third is looking for improvements in building  
8 envelope. The fourth is to address the problems of the  
9 proliferation of small devices that we term plug load  
10 devices, things that are plugged into the wall, and we're  
11 going to look at improving efficiencies there. And we're  
12 also looking, in support of AB 758, improving retrofit  
13 strategies for energy efficiency in existing buildings, what  
14 are the best -- what is the most ripe areas for gaining  
15 additional savings?

16           The second initiative, the idea of getting to the  
17 level of efficiency necessary to achieve the zero net energy  
18 goals are going to require an integrated approach to  
19 building design, and they're going to have meet three  
20 critical criteria, builder support and cooperation, consumer  
21 acceptance, and cost -- costs that are really comparable to  
22 current construction practices, and that presents a  
23 challenge. So we're going to look at two research areas  
24 under this.

25           The first is to develop and test standardized

1 prescriptive design packages for zero net energy  
2 residential, multi-family, and commercial buildings to make  
3 it easier for builders to be able to -- to meet the zero net  
4 energy goals.

5           The second is to create a design optimization  
6 competition -- one of the golden carrots Laurie mentioned --  
7 for zero net energy residential, commercial, multi-family,  
8 and low-income buildings and communities.

9           The third initiative -- the third initiative, one  
10 of the major challenges to -- to achieving efficient  
11 outcomes is that people don't necessarily use devices the  
12 way engineers intend, nor do engineers necessarily consider  
13 how devices are used in the real world when pursuing more  
14 efficient designs. So this research area is to -- is to  
15 apply advanced social science research methods to improve  
16 energy efficiency technology development and to empirically  
17 determine such things as how people will respond to and  
18 engage with new building designs and systems, how people  
19 will adapt their lifestyles to new technologies and new  
20 kinds of buildings, and three, how people will best respond  
21 opportunities to retrofit existing buildings; how do you get  
22 people to cooperate, how do you get people to make those  
23 investments?

24           The three focused research areas, first is  
25 retrofitting buildings. We want to look at best practices

1 for contractors in a comparative analysis of emerging  
2 contractor business models to identify business models that  
3 will align with the fundamental policy goals of diagnosing  
4 building and efficiency and providing customers reasonable  
5 options for -- options for fixing those problems.

6           The second is consumer acceptance. We're going to  
7 address the fundamental issue of consumer acceptance at  
8 adoption of emerging technologies by exploring ways in which  
9 the technology research and development process can include  
10 social science research components that anticipate end-user  
11 needs, end-user expectations, and they're understandings and  
12 capabilities for using those technologies.

13           The third is focusing back on zero net energy  
14 buildings. We need to develop an empirically based  
15 understanding of both the development process and the real-  
16 world operations of new zero net energy buildings. That --  
17 that will necessarily involve, as we start building, as  
18 these buildings start -- start growing, getting built, we  
19 need to look at both how people live in those buildings. We  
20 need to collect data from building occupants. And we also  
21 need to look at the development process and the building  
22 process, looking at the people -- collecting data from the  
23 people involved in developing, designing, and building new  
24 buildings so that we can respond and make improvements to  
25 make the -- to get this to work and achieve those goals of

1 lower cost and consumer acceptance.

2           The fourth initiative has to do with indoor air  
3 quality. Necessarily, buildings are getting tighter and  
4 less -- less air exchange. And as they get tighter,  
5 previously minor sources of indoor pollution are of  
6 increasing concern. And so the first -- we have two  
7 research areas in this -- in this initiative. The first is  
8 developing and demonstrating metrics for tracking and  
9 comparing indoor air quality in buildings to account for new  
10 and more -- more diverse sources of indoor air pollution.  
11 The second is to develop approaches to improving indoor air  
12 quality by considering both technological solutions and  
13 occupant behavior.

14           The fifth initiative is to develop and validate  
15 and document energy savings technologies that are in the  
16 research and early development stages in industrial, ag, and  
17 water and wastewater plant settings. There are four large  
18 areas that we're going to be looking at under this  
19 initiative.

20           The first is with -- is for the industrial and  
21 agricultural sectors. We're going to focus on process  
22 improvements for energy efficient -- energy intensive  
23 industries, and development of technologies that substitute  
24 of materially change underlying processes.

25           The second area is in the water and wastewater

1 sectors. And there's going to be a substantial effort  
2 under -- you know, for those -- for that sector. The first  
3 will be to continue investments in membrane filtration  
4 technologies. The second is to follow some of these newer  
5 technologies as they're getting installed, collect new data  
6 from new and existing facilities to develop reliable  
7 estimates of savings potential and costs of alternative  
8 water -- water disinfection systems. The third is to  
9 evaluate existing installations of water reuse technologies  
10 to better understand the potential of water reuse to save  
11 water and energy. And the fourth area under water and  
12 wastewater sectors is to identify potential efficiencies in  
13 moving water around in water and wastewater facilities to  
14 try to squeeze some more efficiency out of the pumping and  
15 moving of water in those -- in those systems.

16           The third major area under this initiative is to  
17 identify opportunities to operate equipment or alter  
18 processes to provide load reduction on demand, basically  
19 demand response throughout these -- throughout these  
20 sectors.

21           The fourth major area is to identify research  
22 priorities, additional research priorities by engaging  
23 experts through workshops and technical advisory meetings.

24           Moving on to the next, the sixth initiative, here  
25 the -- here the goal is to promote water and energy

1 efficiency in residential and commercial buildings; three  
2 research areas compose this. The first is to increase  
3 efficiency of end-use devices. The second is to increase  
4 substitution of gray and stormwater for landscaping and  
5 other purposes. And the fourth is to identify leakage and  
6 waste through the use of smart meter -- smart meter  
7 technologies and controls.

8           The second strategic -- strategic objective I'm  
9 going to be talking about is looking at customer-side-of-  
10 the-meter energy choices. The second investment plan is  
11 going to focus on developing and testing and demonstrating  
12 demand response technology and operational capabilities in  
13 the following areas: First, constructing performance data  
14 sets needed for demand response to compete with generation  
15 as a resource; the second is providing technical and  
16 operational data to support new programs and market products  
17 that take advantage of DR capabilities; and the third is to  
18 improve the capability to forecast demand response  
19 performance so that system operators can -- can utilize the  
20 resource with confidence.

21           The focused initiative under this -- under this  
22 strategic objective is to increase the potential for DR to  
23 displace fossil generation while maintaining grid  
24 reliability and integrating intermittent and highly variable  
25 renewable resources. We have three focused research areas

1 under this. The first is to develop and test advanced  
2 demand response technologies. The second is to develop and  
3 evaluate control and monitoring hardware and software  
4 systems to provide enhanced, highly reliable DR and storage  
5 that -- and that will feed into the forecasting process.  
6 And the third is to assemble and evaluate performance data  
7 to build a data -- sufficient database of DR performance  
8 data to be able to make reliable estimates of performance  
9 from different end uses and customer types under different  
10 conditions.

11 And that covers what I'm going to talk about.

12 We're moving on to --

13 MS. TEN HOPE: Rizaldo.

14 MR. ALDAS: Hi. Good morning. My name is Rizaldo  
15 Aldas. I'm here for renewable energy and advanced  
16 generation. I will be presenting the clean generation  
17 clusters of strategic objectives and initiatives.

18 And starting with strategic objective number  
19 three, these objectives -- objective three is to help  
20 increase the market penetration of distributed renewable and  
21 advanced generation by helping develop innovative solutions.  
22 Everyone knows the benefits of distributed generation  
23 related with reductions and the need for transmission. For  
24 example, addressing the load requirement to meet the user  
25 side. And it is one of the goals that's specified under

1 the, for example, the Clean Energy Jobs Plan, as well as the  
2 RRPS. There are several forms of distributed generation.  
3 Some of the common barriers for these include the high  
4 overall cost, depending on the technology in terms of  
5 efficiency and reliability. Permitting interconnection also  
6 can be challenging for distributed generations. So we would  
7 like to continue addressing those issues.

8           And in this case we have five initiatives proposed  
9 under this. The first three are what I call addressing the  
10 core renewables. And the last two are addressing the needs  
11 for emerging and advanced generation.

12           For the first initiative under this objective  
13 number three, this is to help develop and demonstrate the  
14 early-stage innovative technologies and techniques and  
15 deployment associated with the biomass-to-energy systems  
16 with the aim of helping improve or lower the cost, making  
17 the systems more efficient and sustainable. California has  
18 an abundant source of biomass, and there are a lot of  
19 benefits and co-benefits, for instance, in the forest area,  
20 helping address the wildfire issues or helping addressing  
21 the current state target of using the materials that goes in  
22 the landfill.

23           And so we would like to address several areas  
24 here. For example, advancing biomass-to-energy conversion  
25 technologies, looking at several systems from high

1 temperature to anaerobic digestion. And we will emphasize  
2 establishing evaluating the performance of the system. So  
3 in the process we will set some performance goals and  
4 helping and conducting research that will help achieve those  
5 performance goals. We will look at applying these  
6 technologies in several areas where biomass resource are  
7 located with the aim of achieving cost parity with fossil  
8 fuel generation, for example, and looking at the areas of  
9 sustainable biomass harvesting, processing and handling  
10 systems.

11           The second initiative is on developing integrated  
12 and hybrid photovoltaic technologies and strategies to  
13 reduce cost in advanced zero net energy buildings. In the  
14 first EPIC Investment Plan we looked at distributed solar  
15 PV, addressing certain technologies, for instance, the smart  
16 inverters. In this second investment plan we are looking at  
17 other areas. And we will focus more on the technology  
18 development side with some specific focus on, for example,  
19 hybrid EV terminal technologies.

20           We will help -- we will support research that will  
21 develop distributed PV technologies and strategies to  
22 increase overall conversion efficiencies, facilitate the  
23 adoption of building integrated PV and hybrid PV terminal  
24 systems. We will support the development and evaluation of  
25 comprehensive approaches to reduce the cost of PV. And we

1 will look at investigating strategies and business models to  
2 ensure that commercial PV systems are readily available and  
3 provide the functionality needed for customers. There are  
4 some advantages made on these projects, but further cost  
5 reductions and opportunities exist that are essential for a  
6 long-term viability of distributed PV in California.

7           For the third initiatives under objective three we  
8 are supporting -- we will be conducting research related  
9 with in-conduit hydropower. In-conduit hydropower is where  
10 electricity is generated by using the force of moving water  
11 in open channels, canals, and can do this without the need  
12 for large dams or reservoirs. There are several studies  
13 supporting the potentials for this area. For example, the  
14 Energy Commission studies showed an estimated 215 megawatt  
15 for systems with 9 feet or more in terms of the channel  
16 drops. And there's larger potential or greater  
17 opportunities by replacing pressure valves in pressurized  
18 water or wastewater conveyance pipelines.

19           But there is -- you can see some barriers in this  
20 area. Some of those are associated with technology, as well  
21 as permitting requirements, and the lack of standard testing  
22 protocols. So in this initiative we would like to research  
23 the development of tools, strategies and technologies to  
24 advance the commercial development and demonstration of in-  
25 conduit hydropower, turbines and generators, and address the

1 development of testing protocols or procedures for  
2 evaluating this new technology.

3           The fourth initiative, as well as the fifth  
4 initiative, is related with the breakthrough technology and  
5 advanced generation. In the fourth initiative, in  
6 particular, we are supporting the advancement of  
7 breakthrough technologies by developing early-stage  
8 innovative electricity generation technologies and other  
9 applications with potential to dramatically increase, for  
10 example, efficiency, dramatically reduce the cost. We will  
11 target technology that can help expand the use of renewable  
12 and advanced generation.

13           There are several areas, several research areas  
14 that could be addressed under this initiative. Some of the  
15 examples would include novel technological solutions to  
16 enable and increase the deployment and advanced distributed  
17 generation, looking at designs, new materials or new systems  
18 that have potential to reduce the cost, improve the  
19 durability and increase the reliability of renewable and  
20 advanced generation. We can look at system design, for  
21 example, for turbines or PV cell that will enable the better  
22 integration of this system and address some user examples,  
23 for example, better response to load changes and ramping  
24 requirements.

25           The initiative will support further bench-scale to

1 pilot-scale verification of new and advanced generation  
2 technologies such as integration of multiple existing  
3 materials in a single high efficient renewable system or  
4 high efficient waste heat conversion technologies to augment  
5 electricity augmentation. Those are just some of the areas  
6 that can be addressed under the breakthrough initiative.

7           The fifth initiative is more focused on a  
8 particular new and advanced technology, which is on the  
9 piezoelectric materials. Piezoelectric materials are those  
10 that can generate electricity with the application of  
11 stress. It's somewhat analogous to photovoltaic  
12 semiconductor in that it convert electricity with the  
13 application applied, or the thermoelectric, for example,  
14 that generate electricity with application of heat.

15           The Energy Commission supported a study  
16 evaluating, assessing the potentials of piezoelectric  
17 material. The results showed low level cost of electricity  
18 ranging from 8 cents to 80 cents, for example, but recommend  
19 further -- further effort to verify, for example, the  
20 quality of power, address durability, as well as the  
21 operational requirement. So that particular area will be  
22 supported under this initiative. We will take advantage of  
23 that development and availability of existing wasted  
24 mechanical energy to expand the generation. We are looking  
25 at potentials from our roadway surfaces, for example, train

1 tracks, building materials and other underutilized  
2 applications.

3           Next slide please. For strategic objective number  
4 four, this is focused on -- in the area of existing and  
5 emerging utility scale renewable energy generation. And the  
6 aim here is to help further improve the power plant  
7 performance, reduce the cost, and help accelerate the market  
8 acceptance of that particular technology. Utility scale  
9 clean energy generation is defined as a stand-alone  
10 generation facility that is directly connected to the grid.  
11 It could come in different sizes. We look at 20 megawatt as  
12 one of the benchmarks. It is important in terms of  
13 achieving some of the state goals such as the governor's  
14 Clean Energy Job Plan, the RRPS. There are several forms of  
15 utility scale systems. There are existing needs or  
16 challenges right now. For example, the need to improve the  
17 costs, improve the performance of existing systems possibly  
18 by developing new cost effective enabling technologies and  
19 strategies.

20           We have four proposed initiatives under objective  
21 four addressing the needs for solar energy, forecasting  
22 geothermal and wind energy. For the first initiative, this  
23 is helping with the concentrated solar power, looking at the  
24 ways to reduce the cost and increase the performance. The  
25 concentrating solar power was addressed in the first

1 investment plan. In the first plan we looked at the area of  
2 heat transfer fluids and thermal energy storage. In the  
3 second one we would like to look more on the other areas,  
4 other important areas, primarily the reflectors and  
5 receivers.

6           We know that CSP technologies, they come in  
7 different system configurations. They use different designs  
8 of mirrors or reflectors and receivers or absorbers to  
9 concentrate sunlight to heat the fluid and produce steam  
10 that drives a turbine. So we would like to address that  
11 particular part of the system.

12           So some of the potential projects here may be  
13 looking at improving the solar transmissivity of the  
14 mirrors, again, to reduce the levelized cost, maybe  
15 developing lighter weight reflective surface to reduce the  
16 manufacturing cost, or developing a reflective coating to  
17 reduce maintenance costs, and improving reflectivity  
18 assessments to improve, again, looking at improving  
19 performance, maintenance, as well as a reduction in cost.

20           For the second initiative under objective four,  
21 this is focused on increasing the productivity and  
22 reliability of wind and solar generation. The initiative  
23 will support research solutions to improving renewable  
24 energy integration into the state's electrical grid through  
25 developing forecasting and modeling tools for wind and solar

1 generation. Under this research initiative we will develop  
2 and evaluate improved forecasting techniques and tools to  
3 inform the grid operators of expected wind and solar power  
4 plant performance, say on a minutes-ahead, hours-ahead, and  
5 days-ahead size scale series.

6           We have several -- we have a few research that we  
7 have started under the previous program, as well as we have  
8 addressed this -- some research associated with forecasting  
9 in the first investment plan. And we would like -- in the  
10 second -- in the second investment plan we will leverage  
11 those efforts. We will use some of the results to further  
12 advance the accuracy of solar and wind generation forecasts.

13           For the third initiative under objective four,  
14 this is geared at improving the cost effectiveness of  
15 geothermal energy production by developing advanced  
16 technologies and strategies associated with that. In the  
17 first EPIC Investment Plan we looked at researching a wide  
18 scope of geothermal development from reservoir exploration  
19 and characterization to the power plants.

20           For the second initiative our emphasis is on  
21 helping our existing facilities, for example, by improving  
22 the performance of existing plants and addressing the topics  
23 from improved reservoir management, plant operation, to  
24 assess the value of the -- to the grid of geothermal  
25 generation, including possible support to ancillary

1 services. So maintaining reservoir productivity is a  
2 priority here. We will research on the refinements to the  
3 technologies and modeling tools. We will look at improving  
4 power plant efficiency, possibly looking at materials and  
5 component designs, as well as grid support and looking at  
6 possibility of integrating thermal energy storage, all  
7 geared at, again, helping the existing facilities.

8           For the fourth initiative under objective four,  
9 this is looking at helping our aging wind resources in  
10 California, so developing and design cost and development  
11 improvements that would help that. So the initiative will  
12 support anything that we did not include in the first  
13 investment plan. But we will address the technology  
14 associated with the current -- most of the current wind  
15 facilities. Much of our best wind resource (inaudible)  
16 agedly. Wind turbines are past their designed economic life  
17 of 20 years. But at the same time we now have modern  
18 turbines that are more efficient at converting wind energy  
19 to electricity, that can provide incentives such as  
20 producing more revenue from electricity and other ancillary  
21 benefits.

22           So for this strategy we would like to help improve  
23 the system performance of that -- in that resource area,  
24 while addressing some of the potential barriers, regulatory  
25 as well as technology and possibly social adverse

1 environmental barriers associated with the wind repowering.

2 I am moving on to strategic objective number five.

3 This objective is under the Energy Related Environmental  
4 Research Program. And the aim here is to help reduce the  
5 environmental and public health impacts of electricity  
6 generation and make the system less vulnerable to climate  
7 change. The emphasis of the program is to support  
8 developing science and innovation, which is also the overall  
9 primary focus of that program.

10 There are several studies, developments that are  
11 driving the research to -- on this one. For instance, the  
12 deployment of new technologies can have new impacts that are  
13 not well studied. There is an insufficient range of  
14 comprehensive assessments of impacts of clean generation  
15 technology. There are also results that shows that our  
16 current electricity system will become highly vulnerable to  
17 climate change and extreme events, while at the same time  
18 proving that electricity system can offer the opportunity to  
19 address or reduce that vulnerability.

20 So under this objective five we will have five  
21 initiatives. The first one will implement the roadmap to  
22 address the public health effects on energy technologies.  
23 So under EPIC 1 we are developing a detailed roadmap of  
24 research on potential public health implications of the new  
25 energy technologies. So it is envisioned that under the

1 second investment plan we will be able to implement the key  
2 topics identified in that roadmap. We will be able to  
3 implement some of the issues, unresolved issues such as  
4 exploring -- issues explored in prior studies under the  
5 first EPIC investment period will be analyzed. An example  
6 is that the atmospheric transformation and fate of extremely  
7 small particulars that are emitted from a power plant, as an  
8 example.

9           The second initiative under objective five will be  
10 developing environmental tools and information for future  
11 renewable energy conservation plans. One of the primary  
12 drivers here is the air scoping plan, for example, for  
13 future determination of post-2020 greenhouse gas reduction  
14 targets. The generation of electricity from renewable  
15 sources of energy with zero or close to zero greenhouse gas  
16 emissions are needed, both for the 2020 and potential post-  
17 2020 greenhouse gas targets.

18           So under this initiatives we plan to develop some  
19 of the environmental tools and information that will be  
20 needed for future renewable energy conversation plans.  
21 Example for this is the DRECP or Desert Renewable Energy  
22 Conservation Plan.

23           The third initiative in objective five will help  
24 improve the science for water management in power  
25 generation, particularly hydropower forecasting and hybrid

1 cooling towers. This initiative involves research that will  
2 assist with improvements in the way that we manage water for  
3 electricity generation. For example, hydrologic forecasts  
4 can be off by up to 40 percent because little is known about  
5 the actual amount of water, say contained in the snow pack  
6 in the high elevations in the Sierra Nevada. But we now  
7 have tools available. We have sensors that can be deployed  
8 that can be used to measure the snow pack in remote areas.  
9 And using that information, it can help substantially  
10 improve the forecast, allowing electric utilities then to  
11 increase their revenue in the end following their -- from  
12 their hydropower units.

13           We know that with increasing temperatures due to  
14 climate change the demand for water for cooling will  
15 increase, and the performance of dry-cooling units will also  
16 decrease. So this particular issue will address that issue.  
17 It will investigate the use of hybrid units. It will  
18 investigate other alternatives for the water requirement for  
19 cooling towers and look at the environmental, as well as  
20 emission issues associated with that.

21           For the fourth initiative, this will be for  
22 providing tools and information for regional climate change  
23 adaptation measures for the electricity sector. And the  
24 initiative will leverage several climate change status and  
25 statewide adaptation recommendations. But the primary focus

1 here will be on the local-regional level, to provide the  
2 tools and information that are needed to implement  
3 adaptation measures for the electricity sector. The  
4 initiative will examine the potential effects of a changing  
5 climate on wind and solar availability and other parameters  
6 to determine the potential impacts on renewable sources of  
7 electricity.

8           And lastly, for initiative number five under this  
9 objective, objective number five, we would like to provide  
10 seed funding for innovative energy related environmental  
11 research. And as we found in the past, we find that  
12 programs designed this way are excellent opportunities to  
13 discover unconventional ideas that can revolutionize a given  
14 area of work. And that's for the objective five. Thank  
15 you.

16           MS. TEN HOPE: Thanks, Rizaldo. So we'll turn to  
17 Jamie.

18           MR. PATTERSON: Hello. I'm Jamie Patterson. I'm  
19 a Senior Electrical Engineer in Research and Development.

20           Now we're on slide 13, strategic objective number  
21 six. And our objective here is to advance the use of smart  
22 inverter for grid support in California, our initiative. To  
23 achieve that objective is to develop smart inverter  
24 capability that will improve grid operations. Advanced  
25 smart inverters offer the solution to the challenges of high

1 penetrations of renewables. They can increase the  
2 penetration of photovoltaics and provide grid benefits.

3           This initiative will move inverter capability  
4 beyond California's Rule 21 and IEEE 1547(a) regs to those  
5 of IEEE 1547.8, to provide benefit for long feeder lines  
6 with voltage and reactive power problems, as well as helping  
7 neighborhoods with high penetrations of solar, or features  
8 that allow inverters to ride through voltage sags and  
9 surges, while also going offline for anti-islanding purposes  
10 will be most beneficial. Research for expanding the  
11 communication capabilities of smart inverters is also  
12 included in this initiative.

13           Okay, let's move on to slide 14. We have  
14 strategic objective number seven. Our objective here, to  
15 develop advanced distribution modeling tools for the future  
16 of the smart grid. And our initiative to achieve that  
17 objective is to develop open-source electricity system  
18 modeling tools to visualize California's modern distribution  
19 systems. The purpose of this initiative is to develop  
20 modules for existing open-source modeling tools for use by  
21 the utilities and the California Independent System  
22 Operator. These modules are needed to visualize the dynamic  
23 operation of the distribution system. Current tools can  
24 only provide a snapshot of the grid, while the new tools  
25 will allow utilities and the California Independent System

1 Operator to analyze the interactions of smart grid  
2 equipments in a more real-time manner. These tools will  
3 include smart grid elements and be capable of simulating the  
4 operation of California's future smart distribution system.

5           Okay, slide 15 please. Here we are. We are on  
6 strategic objective number eight. Our objective here is to  
7 advance customer systems to coordinate with utility  
8 communications. Our initiative to achieving that objective  
9 is to develop customer systems to manage demand response,  
10 renewables, and electric vehicles and integrate these tools  
11 with the grid.

12           On the customer side of the meter the networks of  
13 customer equipments for demand response, electric vehicles,  
14 and smart inverters in renewable generation equipment lacks  
15 a central energy management system. This makes them unable  
16 to coordinate with each other to provide a single customer  
17 premise response to the utility and to maximize their  
18 combined benefit to the customer. This initiative will  
19 develop customer energy management systems to coordinate the  
20 various energy devices in a customer's premises network and  
21 communicate a system response to the utility grid side to  
22 help with distribution operations. These management systems  
23 will also enable coordination of generation and load to  
24 maximize their benefits to the customer. Thank you.

25           MS. TEN HOPE: Thanks, Jamie. We'll return to

1 Rizaldo.

2 MR. ALDAS: Thank you. The next strategic  
3 objective, objective number nine, is under the  
4 transportation research area. And it's emphasis is on plug-  
5 in electric vehicles and its efficient integration to the  
6 electricity system. Plug-in electric vehicles, or PEVs, and  
7 combining electric transportation technologies offer a  
8 promising and potentially revolutionary alternative for  
9 meeting the state's transportation needs. PEVs can provide  
10 a number of benefits to the electricity grid when integrated  
11 with smart charging technologies and other strategies. But  
12 research is needed to determine how PEVs can effectively be  
13 integrated into the electricity grid to minimize the carbon  
14 footprint, and which technologies continue to advance the  
15 capabilities of PEVs.

16 The strategic objective nine is supporting two key  
17 planning documents. It supports the strategies identified  
18 in the 2013 Zero Emission Vehicle Action Plan. That action  
19 plan was released as a result of the governor's executive  
20 order in 2012 establishing a goal of 1.5 zero-emission  
21 vehicles by 2025. The other planning document is on the  
22 Vehicle Grid Integration Roadmap. This roadmap maps a way  
23 to develop solutions that enable electric vehicles to  
24 provide grid services while still meeting consumer driving  
25 needs. And that Vehicle Grid Integration Roadmap also

1 supports the ZEV Action Plan.

2           For this particular objective we have three  
3 initiatives that are proposed. The topics are on PEV,  
4 vehicle grid integration, and battery recycle. The -- with  
5 the exception of the battery recycle the two initiatives  
6 were not included in the first EPIC Investment Plan. It's  
7 new for the second investment. However, we have studies  
8 supporting the prior program, and we are going to leverage  
9 the results of that finding into this second investment  
10 plan.

11           The first initiative under objective number nine  
12 is to advance the electric vehicle charging and grid  
13 services to maximize renewable resources and improve grid  
14 flexibility. This initiative will develop advanced methods  
15 of smart and efficient charging for plug-in electric  
16 vehicles. It will look at opportunities to utilize the  
17 distributed battery capacity of an electric vehicle fleet as  
18 grid-to-storage and create opportunities for rapid response  
19 and operational flexibility to provide regulation and load  
20 following capabilities, and help mitigate some of the  
21 intermittent issues associated with renewable generation and  
22 allow for higher mix of renewable resources such as wind and  
23 solar into the grid.

24           The second initiative is on advancing the  
25 development of vehicle grid integration technologies and

1 methods into residential and private or public fleet  
2 applications. This initiative is building on the previous  
3 VGI or vehicle grid integration projects that is developing  
4 the communication and protocols to enable bidirectional  
5 power flow, to perform vehicle-to-grid and vehicle-to-  
6 building strategies.

7           The initiative will further advance the  
8 development of these technologies and methods by going  
9 beyond the military bases and government fleets and  
10 expanding to the residential and private or public fleet  
11 applications. It will leverage some of the findings or  
12 results from ongoing Department of Defense military  
13 installations, VGI projects, including continuing to  
14 determine cost benefits of VGI through demand response or  
15 load shifting, determining impacts that VGI may have on the  
16 PEV batteries.

17           And some of the examples of the topics that may be  
18 supported under this initiative include understanding  
19 vehicle use profiles, electric vehicle cost benefits,  
20 battery life challenges with VGI under residential and  
21 private or public fleet applications, assessing VGI gridding  
22 packs for different applications and technologies, and  
23 developing VGI business models for residential and private  
24 and public fleet applications.

25           The third initiative under objective nine is to

1 further develop and evaluate advanced technologies and  
2 methods for safe and efficient recycling of PEV batteries.  
3 As the number of electric vehicles in California  
4 transportation grows it is essential that efficient, safe,  
5 environmental sound, and cost effective recycling systems be  
6 developed for recycling a large form of lithium batteries.  
7 It is known that lithium batteries can be recycled.  
8 However, the cost of doing that is too expensive. So we  
9 were looking at the ways of addressing that issue.

10           The initiative will develop existing battery  
11 recycling strategies, pursue projects that can fill research  
12 gaps, as well as advance existing merits for battery  
13 production and recycling. We will research battery disposal  
14 impacts, advance tools and methods necessary for larger  
15 scale battery pack recycling and recycling efficiency.

16 Thank you.

17           MS. TEN HOPE: Thanks Rizaldo. Eric?

18           MR. STOKES: So this is Eric Stokes. I'll be  
19 presenting the crosscutting -- get this closer -- the  
20 crosscutting elements for the applied research and  
21 development section. We have two strategies under  
22 crosscutting. The first strategy aims to advance the early  
23 development of breakthrough energy concepts. And under this  
24 strategy we have two proposed initiative.

25           The first will provide seed-stage funding for

1 disruptive energy technologies. One of the challenges with  
2 technologies, it's often hard to predict what those next  
3 generation of ideas are going to be. And this initiative  
4 really aims to address that space and fill a gap where a  
5 researcher, they have a concept that shows some potential  
6 promise but they need a little bit of funding to be able to  
7 prove it out and determine whether that concept is feasible  
8 so they can go market to potential investors, as well as  
9 apply for follow-up funding to scale up their innovation.

10           The next initiative under this strategy will  
11 conduct incentive-based competitions to foster breakthrough  
12 ideas for clean energy solutions, particularly in those  
13 markets where we haven't seen the technical or market  
14 advancements that we had hoped for in moving these -- some  
15 of these concepts forward. These types of competitions  
16 offer a lot of benefits. One of those is they offer up some  
17 of the challenges the industry is facing to a broader set of  
18 innovators and encourages not only greater competition, but  
19 also collaboration and integration of ideas in a manner that  
20 really results in possibly some more comprehensive  
21 solutions. I think most people's familiarity with these  
22 types of prizes is the X Prize Foundation. But even DARPA  
23 is using these as a tool to really try and foster some  
24 breakthrough ideas in moving some of their technologies  
25 forward.

1           Okay, next slide. The next slide under this  
2 strategy, it's pretty straight forward, one of the benefits  
3 with EPIC is possibly using funding from the program to  
4 leverage large amounts of federal dollars. And under this  
5 initiative, we had a similar one in the first plan,  
6 potential applicants to federal awards could apply for EPIC  
7 funding. And if they receive the federal award EPIC funds  
8 would be used as part of the cost share. Most typical  
9 federal awards require a minimum amount of cost share.

10           MS. TEN HOPE: Okay. Now we've -- we've covered  
11 the staff proposals in the applied research area. These  
12 initiatives are really all designed to continue to provide a  
13 stream of technological solutions that provide customers  
14 cleaner, cheaper, more reliable, and environmental benign  
15 technology solutions. In the applied research, this is  
16 the -- the building blocks for the next area we're going to  
17 hear from, which is the technology demonstration area. And  
18 in technology demonstration and deployment we have six  
19 objectives. And they'll, again, span the range that you  
20 just heard in terms of energy efficiency, generation, smart  
21 grid, clean transportation, and crosscutting.

22           So we'll first start with energy efficiency. And  
23 back to Dave to present the efficiency and demand response  
24 initiatives.

25           MR. HUNGERFORD: All right. Under the first

1 objective the -- for this new investment plan the focus is  
2 going to be primarily on demonstrations in the building  
3 sector with an emphasis on technologies that were  
4 investigated in the first investment plan, on a large scale,  
5 deployment.

6           The first initiative under this objective, the  
7 purpose is to produce independent technical and economic  
8 performance data on promising efficiency and demand response  
9 technologies to document savings and performance. The --  
10 further, this initiative is going to build on previous work  
11 in the State Partnership for Energy Efficiency  
12 Demonstrations, the SPEED program, which focused on  
13 technology demonstrations and deployments in the University  
14 of California and other governmental buildings. This time  
15 this initiative is going to expand on -- expand that work to  
16 additional sectors.

17           The second initiative under this objective will  
18 focus on demonstrations and large scale deployment of  
19 emerging integrated demand-side managements and other smart  
20 technologies. There are three focused research areas under  
21 this.

22           The first is to demonstrate and deploy an  
23 integrated suite of emerging demand-side management  
24 technologies including energy efficiency, demand response,  
25 and other smart technologies such as energy management

1 systems. The second is to demonstrate and deploy integrated  
2 zero net energy turnkey package designs in multiple -- in  
3 multiple residential, multi-family, and commercial  
4 developments. The third is to integrate social science  
5 behavioral research, as we discussed earlier, into the  
6 development and implementation phases of the demonstrations  
7 to make sure that the demonstration designs consider the  
8 fact that people will have to live in and operate the  
9 buildings.

10 MS. TEN HOPE: Thank you. Rizaldo?

11 MR. ALDAS: Thank you. The strategic objective  
12 number 13 is focused on field demonstration, deployment, and  
13 evaluation of biomass-to-energy conversion systems, tools  
14 and strategies that will help accelerate the deployment of  
15 such system. So for this strategic objective we will  
16 support the further advancement of early deployment of that  
17 bioenergy technology to help realize the full benefits from  
18 our abundant biomass and organic waste resources. The  
19 strategic objective is aligned with a number of goals called  
20 for in some of the policy documents. For instance, the  
21 Integrated Energy Policy Report and the Bioenergy Action  
22 Plan, as well as the SB 1122 being developed at the CPUC,  
23 these -- SB 1122 requires an incremental of 250 megawatt of  
24 renewable (inaudible) procurement from small-scale bioenergy  
25 projects.

1           The strategic objective is designed to leverage  
2 some of the previous efforts, as well as the results from  
3 previous projects. For example, in the first EPIC  
4 Investment Plan we are -- under the applied R&D we are  
5 developing innovative biomass-to-energy enabling  
6 technologies. And examples of this method are methods and  
7 strategies to convert biomass in a forest or urban interface  
8 or develop digestion and emission control strategies. We  
9 are expecting that some of these results, our early  
10 conclusions and recommendations will be ready to move  
11 forward for the second investment plan.

12           We are proposing two initiatives under objective  
13 13. And these two initiatives are aligned with two  
14 practical routes for converting biomass to electricity. The  
15 high temperature route for a fast rate process; many of you  
16 are familiar with gasification. Those are really -- that's  
17 an example of high temperature route, and the low  
18 temperature or biological route, primarily anaerobic  
19 digestion. These two pathways has a distinct set of  
20 deployment barriers and challenges. They are in different  
21 stages of pre-commercial and commercial readiness, and both  
22 warrant a unique set of solutions.

23           For the first initiative under objective 13, this  
24 is to demonstrate the technical and economic performance of  
25 emerging high temperature conversion systems and focused on

1 some of our woody and other high solids or organic waste or  
2 biomass. The focus is on field demonstration or early-stage  
3 deployment of thermochemical biomass-to-energy conversion  
4 technologies, systems, and market strategies. The emphasis  
5 is that these technologies should be -- have been proven  
6 successfully at the lower pilot-scale level.

7           The intent is to improve the technical and  
8 economic feasibility of system, for instance, improve the  
9 conversion efficiency and reduce the waste products coming  
10 out of it, including the emissions, while addressing the  
11 capital and operating and maintenance costs, and prepare  
12 basically that technology for further commercial deployment.

13           Examples of projects may include those that will  
14 help achieve the SB 1122 50 megawatt target for forest  
15 biomass and other related projects such as demonstration and  
16 deployment of proven technologies and strategies to expand  
17 the efficient and sustainable use of biomass to align with  
18 the fire prevention activities, demonstration of integrated  
19 thermochemical conversion systems with advanced pollution  
20 controls to meet local and state air quality standards, or  
21 demonstration of advanced biomass fuel management including  
22 handling, delivery systems, possibly densification systems  
23 to reduce transportation costs and expand the fuel markets.

24

25           The second initiative under that is to facilitate

1 the demonstration and early deployment of emerging bio-  
2 digester and integrated clean generation technology. This  
3 one is catering on the waste or biomass coming out of our  
4 agricultural sector, municipal, and other food processing  
5 industry. The focus of the initiative is on field  
6 demonstration, again, early-stage deployment of anaerobic  
7 digestion and enabling technologies, system, and strategies  
8 that have been successfully demonstrated, again, at the  
9 lower scale, pilot scale. The intent is to improve the  
10 overall performance of the system.

11           And example projects here may include biogas from  
12 wastewater treatment, municipal organic waste, diversion,  
13 food processing, and co-digestion, and in support of the SB  
14 1122's target of 110 megawatts from these facilities.  
15 Another area is on dairy and other agricultural bioenergy  
16 that will support the SB 1122's target of 90 megawatts from  
17 those facilities. Thank you.

18           MS. TEN HOPE: Thank you, Rizaldo. Jamie?

19           MR. PATTERSON: Thank you. We're on slide 22 on  
20 objective 14. And our objective here is to take microgrid  
21 to the next level and maximize their value to customers.  
22 Our initiative for achieving that is to use microgrids to  
23 evaluate a combination of emerging technologies to determine  
24 the best integrated performance and least cost configuration  
25 to meet the customer's energy needs.

1           This initiative, we use microgrids as a  
2 demonstration tool for evaluating systems of integrated  
3 energy technologies and the benefits they can provide to  
4 customers and the grid. These microgrids will demonstrate  
5 the technical and economic feasibility of operating high  
6 penetrations of renewable energy sources with demand  
7 response, CHP using biomass, energy storage and energy  
8 efficiency measures. These demonstrations will also  
9 evaluate a full range of state-of-the-art clean energy  
10 technologies that include advanced vehicle charging, demand-  
11 side management strategies, and advanced microgrid controls.

12           In our first investment plan we demonstrated how  
13 these integrated energy systems in a microgrid can enhance  
14 reliability. The goal for this plan is to demonstrate a  
15 variety of applications and produce technical and economic  
16 performance data, such as cost and benefits, to identify the  
17 best configurations at the lowest cost for these integrated  
18 microgrid systems.

19           Okay, slide 23, objective 15. Our objective here  
20 is demonstrating advanced energy storage systems to lower  
21 cost and improve grid reliability. Our initiative to  
22 achieve that objective is demonstrations of advanced energy  
23 storage technologies in transmission, distribution, and  
24 customer-side applications to transition to the commercial  
25 market.

1           The California Independent System Operator has  
2 identified energy storage as an important resource to enable  
3 integration of renewable energy at increasing penetration  
4 levels. Under AB 2514 the California Public Utilities  
5 Commission has set energy storage procurement target  
6 decisions that requires 1,325 megawatts by 2020 starting in  
7 2014 and made fully operational by 2024. This initiative  
8 will build upon the 12 American Recovery and Reinvestment  
9 Act funded storage projects in California that have proved  
10 the feasibility of energy storage to provide grid benefits.  
11 Information from these demonstrations will help develop an  
12 evaluation protocol for the CPUC that the public --  
13 California Public Utilities Commission for benchmarking and  
14 reporting purposes.

15           Meeting California's energy storage targets will  
16 require demonstration to advanced energy storage from an  
17 emerging technology to commercially available, viable, and  
18 cost effective technologies that can compete in the AB 2514  
19 procurement market.

20           Next slide, slide 24, strategic objective 16. Our  
21 objective here is to expand smart charging and vehicle-to-  
22 grid power transfer for electric vehicles. And our  
23 initiative to achieve that is to demonstrate the ability of  
24 distributed electric vehicles to provide grid services.

25           Through an executive order in 2012, Governor Jerry

1 Brown set a target of 1.5 million zero-emission vehicles on  
2 California roads by 2025. Many of these vehicles will be  
3 owned by individuals across California. While the first  
4 investment plan focused on demonstrations with vehicle fleet  
5 owners, this second plan will expand market participation to  
6 geographically distributed individual vehicle owners,  
7 vehicle owners, in other words, that are not all located and  
8 parked in one spot. The goal is to enable individual  
9 participation of electric vehicles in the market by having  
10 them aggregated by utilities or third parties into resources  
11 that are large enough to participate in either utility or  
12 independent system operator markets. Thank you.

13 MS. TEN HOPE: Thank you, Jamie. And finally,  
14 Eric.

15 MR. STOKES: Okay. So this next -- this next  
16 initiative is for federal cost share, and it's similar to  
17 the initiative in the applied research and development  
18 section. The only difference is for this one we provide  
19 cost share for technologies that are a little further in the  
20 innovation pipeline process and are more at that  
21 demonstration, early deployment stage.

22 MS. TEN HOPE: So that concludes the technology  
23 demonstration portion of the presentation. The technology  
24 demonstration projects are all designed for customers to be  
25 able to kick the tires. You know, you've taken something

1 out of the lab and, you know, do field-scale demonstrations  
2 of projects, collect information that would allow other  
3 customers to see how these -- how these technologies work,  
4 and then deploy them on a wider scale. But even after lab  
5 testing and kicking the tires sometimes we're -- we -- you  
6 need a little bit more to move technologies into the market  
7 or to accelerate market adoption.

8           So this next area is market facilitation. We have  
9 four proposed objectives in this area. And Pam Doughman  
10 will present this -- these strategic initiatives.

11           MS. DOUGHMAN: Next slide, please. Initiatives  
12 for strategic objective 18 will address challenges facing  
13 clean energy entrepreneurs and startup companies, including  
14 a need for greater business expertise, market assessment,  
15 and access to testing equipment. Overcoming these  
16 challenges can help entrepreneurs develop a viable path to  
17 commercialization and attract capital to scale up  
18 production.

19           There is an initiative to provide mentoring,  
20 tools, and services to help clean energy entrepreneurs. A  
21 second initiative will facilitate feedback for entrepreneurs  
22 on specific market opportunities and customer needs. A  
23 third initiative will provide public support for third-party  
24 testing and validation of new technologies.

25           Next slide please. Initiatives for strategic

1 objective 19 address challenges emerging clean energy  
2 technologies encounter when seeking to ramp up deployment  
3 and build economies of scale. Large procurers of energy  
4 technologies such as military bases, government facilities,  
5 ports, and intermodal transportation gateways, hospitals,  
6 and building developers can help create early market pool  
7 for clean energy.

8           However, before investing in large quantities of  
9 energy related equipment these groups need greater certainty  
10 that the product is clearly cost effective from a life cycle  
11 perspective that takes into account all independently  
12 verified costs and benefits. They also need greater  
13 certainty that the product can be incorporated into existing  
14 systems or construction processes. They also need greater  
15 certainty that there are no impacts on the training and  
16 availability of skilled labor to install and maintain  
17 equipment, and the extent to which the new product or system  
18 affects land use or environmental permitting requirements.

19           Another challenge is the long lead time for large-  
20 scale procurement and construction which tends to slow the  
21 pace of adoption of clean energy innovations. To help  
22 overcome these challenges, initiatives for strategic  
23 objective 19 includes support for strategies to streamline  
24 purchasing decisions, reduce purchasing costs, and test  
25 drive clean energy equipment before embarking on large-scale

1 enterprise-wide procurement.

2           Next slide please. Initiatives for strategic  
3 objective 20 focus on challenges posed by uncertainty,  
4 costs, and delays related to regional and local planning and  
5 permitting. Improved planning at the regional and local  
6 levels can help accelerate the deployment of new clean  
7 energy technologies and strategies to increase energy,  
8 environmental, and societal benefits; these are benefits for  
9 ratepayers and local communities. However, many local  
10 governments currently lack advanced tools, information, and  
11 process innovations to deploy these technologies, leading to  
12 delays in assessing and mitigating environmental impacts and  
13 addressing other permitting concerns.

14           Initiatives in this strategic objective provide  
15 assistance to better integrate utility and local government  
16 planning for clean energy and improve energy reliability  
17 during emergency situations. There is also an initiative to  
18 reduce costs and reduce delay for bioenergy through  
19 development of a programmatic environmental impact report,  
20 and an initiative to streamline permitting of zero net  
21 energy home developments.

22           Next slide please. For those of you online, we're  
23 still here, having a little technical difficulty, and be  
24 right back with you.

25           MS. KELLER: It just froze for a moment.

1 MS. DOUGHMAN: Uh-huh.

2 (Pause)

3 MS. DOUGHMAN: So strategic objective 21 includes  
4 an initiative to identify clean energy options and business  
5 models that provide win-win outcomes under a range of  
6 scenarios. Other initiatives will develop a clearinghouse  
7 for clean energy project results, conduct gap analysis to  
8 update research roadmaps, and perform measurements,  
9 evaluation, and verification of EPIC projects. These  
10 initiatives address the need to assist the clean energy  
11 market to develop products and strategies that are robust  
12 under a wide range of plausible potential futures, taking  
13 into account the impact of climate change on energy  
14 infrastructure and other factors that introduce uncertainty.  
15 These initiatives also address the need to track program  
16 progress and benefits.

17 Next slide please. Staff plans to include a  
18 chapter discussing the possible use of EPIC funding for the  
19 New Solar Homes Partnership. The New Solar Homes  
20 Partnership provides and upfront incentive to help transform  
21 the use of rooftop solar in the new housing market and make  
22 solar energy systems affordable for more IOU ratepayers.  
23 Staff plans to propose the option of using EPIC to help fund  
24 the New Solar Homes Partnership if other funding sources are  
25 not available. At this time Staff is interested in keeping

1 all options for NSHP funding open including combining  
2 different funding sources, provided that total funding does  
3 not exceed the \$400 million cap for the New Solar Homes  
4 Partnership under Senate Bill 1 in 2006.

5 MS. TEN HOPE: Thank you, Pam. So that concludes  
6 the staff -- Energy Commission staff presentation on our  
7 proposed initiatives. Now it's time to hear from you. And  
8 we've posted some questions here. We're interested in  
9 whether something is missing, whether you want to underscore  
10 the importance of an initiative, or tell us you think an  
11 initiative is not needed. We're going to first take  
12 comments in the room. And then we will take comments  
13 online.

14 So we have a microphone. If you would announce  
15 your name and your affiliation and your question. Thank  
16 you.

17 MR. LYTE: Yes. My name is Bill Lyte. I'm with  
18 Burns and McDonnell. We manage large infrastructure  
19 programs for the electric utilities, and also microgrid  
20 programs for the U.S. Department of Defense.

21 I'd like to suggest an enhancement to strategic  
22 objective 19, which I think is a very important objective,  
23 and that is to involve California's engineering industry to  
24 a larger level. I represent 1,200 engineering firms on a  
25 port maritime board. And I know that frequently

1 technologies that would be very applicable to an emerging  
2 sector, like the maritime industry, simply aren't used  
3 because the engineering firms and their busy staff are very  
4 conservative, they're very busy, and they're at risk  
5 adverse, and they don't have time to learn about these new  
6 technologies. So there should be a formalized program under  
7 EPIC to educate these firms, their project managers, and the  
8 young engineers about the technologies and their overall  
9 benefits.

10 MS. TEN HOPE: Thank you. Could I also ask that  
11 after you speak if you would give a card to the court  
12 reporter. Thank you.

13 Anybody else? Oh.

14 MS. KAMER: Hi. I'm Krista Kamer. I'm from the  
15 California State University Council on Ocean Affairs,  
16 Science and Technology. And I want to thank you for holding  
17 this workshop today and allowing for public comments.

18 So SCU COAST is the umbrella organization for  
19 marine and coastal research and education in the CSU, which  
20 is the largest public and most diverse university system in  
21 the country. We have 23 campuses spanning the state from  
22 San Diego State in the south to Humboldt State in the north.  
23 And the group that I run, COAST, is now six years old, and  
24 we've built -- we've built a substantial membership of about  
25 400 faculty members and research scientists from throughout

1 the entire CSU. We represent every single campus, which  
2 there are 23, and a broad array of disciplines and research  
3 interests.

4           And I'm primarily interested in renewable --  
5 marine renewable technology, which I didn't actually hear  
6 mention of, though I felt that there were several places in  
7 the different investment areas that it could fit, especially  
8 applied research development and market facilitation. So I  
9 hope it's something that will be considered and included,  
10 either in the second Triennial Plan, or the third as you  
11 move forward.

12           But I wanted to talk about the ways in which we're  
13 interested in marine renewable technologies. Specifically,  
14 there are areas that will require study as we move toward  
15 the development and deployment of wave and tidal energy  
16 conversion devices, and those are impacts to benthic  
17 habitats and organisms, impacts to pelagic species including  
18 fish, birds, mammals and turtles, and impacts to coastal  
19 dynamics and geomorphology. And so understanding these  
20 impacts will require significant study and modeling. But  
21 the results will facilitate smarter deployment and upfront  
22 mitigation to alleviate any negative effects, which I think  
23 is very critical.

24           I'm referring specifically to siting technologies  
25 to minimize impacts and to incorporating design elements

1 into the technology itself to minimize impacts.

2 MS. TEN HOPE: Could you hold the microphone  
3 closer? The people online are having trouble hearing.

4 MS. KAMER: Okay. So investing in these research  
5 efforts up front and incorporating the results into planning  
6 with smooth public acceptance, I believe, of marine  
7 renewables, because we'll be demonstrating a responsible  
8 approach -- a responsible approach to sustainable use of our  
9 coastal zone from the outset.

10 So I'm delivering these comments now in the  
11 morning to the CEC portion of this. But I also wanted to  
12 say that I think these comments could pertain to the  
13 investor-owned utility investment plans. So if marine  
14 renewables are something that they'll be pursuing, as well,  
15 we'd like to help them do it in a way that ensures  
16 responsible sustainable technology development and  
17 deployment. Thank you.

18 MS. TEN HOPE: Thank you for your comments.

19 MR. KIM: Hello. My name is In Kim. I'm ADC  
20 Energy USA, Incorporated. We have -- we are a new startup  
21 company. We have a new patented technology which can help  
22 lighting or future electronics. We can generate A/C and D/C  
23 at the same time. We're not converting any energy so it's a  
24 zero-percent conversion.

25 And how do I implement our technology, prove to

1 you guys and start up implementing to the system? I feel  
2 like, you know, we can help this initiative a lot. And we  
3 have a demonstration about ten minutes away. Our company  
4 changed all the 500 bulbs to LED, D/C. And we already had a  
5 significant electric -- I mean drastic reduction and we are  
6 paying much less than before. And I'd like to, you know,  
7 show you and implement and get help for state or anybody.

8 MS. TEN HOPE: I would encourage you at this point  
9 to, you know, to look at the initiatives when they're posted  
10 and provide comments. If you think you have a breakthrough  
11 technology not reflected, then tell us why not.

12 MR. KIM: Thank you.

13 MS. HULL: Hello. I'm Kelly Hull with Bright  
14 Footprint. And my question is for Eric Stokes about  
15 Initiative S-11. And you mention leveraging federal awards.  
16 Are you inferring Prop 39 money, or what do you mean by  
17 federal awards?

18 MR. STOKES: Typically the U.S. Department of  
19 Energy issues what's called -- can you hear  
20 me -- they issue what's called federal opportunity  
21 announcements, and it's a similar process to ours.  
22 Potential applicants apply to -- in to those awards, and  
23 they receive the awards. Typically with FOAs they require  
24 some form of cost share. So what we would do is applicants  
25 that would apply to the federal solicitation could also

1 apply through a process we would implement. And if we  
2 deemed them to be eligible we would provide a letter of  
3 support or commitment saying if you received the federal  
4 award then EPIC funds could be used as potential cost share  
5 for that.

6 MS. HULL: Can we also use the Prop 39 funding in  
7 that initiative?

8 MR. STOKES: No, I don't believe so.

9 MS. TEN HOPE: Are there any other questions at  
10 this time? Do we have questions online? Are we doing --  
11 how should people identify themselves?

12 MS. DOUGHMAN: So for those who are participating  
13 through WebEx, please type your questions into the chat  
14 window and I will read them to the audience and this panel  
15 here. Are there any questions from people on the WebEx?

16 MS. TEN HOPE: No? Okay. No further comments in  
17 the room?

18 So let me ask our utility colleagues if you want  
19 to break early for lunch or if you would like to start your  
20 presentation?

21 (Colloquy Between Commissioners and Attendees)

22 MS. TEN HOPE: And how long do you recommend for a  
23 lunch break?

24 MS. KELLER: I'm going to announce all that.

25 MS. TEN HOPE: All right.

1 MS. KELLER: Okay.

2 MS. TEN HOPE: Thank you.

3 MS. KELLER: We're going to break until 1:15. A  
4 couple of things. There is a list of local restaurants I've  
5 placed up on that high table on the back. They're true and  
6 tested by all of us, reasonably priced, and excellent food.  
7 You will need your badge, visitor badge on to come back in.  
8 When you come back you won't have to go through the front  
9 door, you can go to the guard at the side here and she will  
10 let you in, but you must have your badge. If you've lost it  
11 for some reason at lunch or whatever, please go back through  
12 the front and sign in again and she'll provide you with  
13 another badge.

14 So we are going to start promptly at 1:15, so  
15 you've got a little bit extra time to enjoy a nice leisurely  
16 lunch. And again, we're all happy to see you.

17 (Off the record at 11:32 a.m.)

18 (On the record at 1:17 p.m.)

19 MS. KELLER: Okay, everybody, we're going to get  
20 started, if you could please have a seat.

21 Do we have any new faces here that weren't here  
22 this morning when I did the safety briefing? Oh, you  
23 weren't here. Okay. I'm going to start. I'm going to do  
24 it real, real quick.

25 In the event of an earthquake you want to duck and

1 cover under chairs, under tables. Do not leave the room.  
2 In the event of a fire or other emergency you're going to  
3 leave through that exit door right there. Just ignore the  
4 stop, just keep on going, and go out to area three in the  
5 parking lot where you'll be joined by the rest of the group.  
6 We want to make sure you're all signed in at the front desk  
7 with your cell numbers. We want to know where you are in  
8 case of an emergency.

9           The restrooms are just outside the door, sharp  
10 right, on the other side of this wall. We have coffee --  
11 I'm hoping that it's still hot, I think it is -- and water  
12 for your enjoyment. If it gets too cold or too hot, please  
13 come and tell me because I can adjust it in here. And I  
14 think that pretty much covers everything. Oh, please  
15 silence your cell phones. Thank you very much, and we're  
16 happy to see you.

17           MS. MOORE: Good afternoon. Welcome to the second  
18 half of our Joint Workshop for the Electric Program  
19 Investment Charge Program. The purpose of today's workshop  
20 is to solicit stakeholder and public input on draft funding  
21 initiatives for the 2015-2017 EPIC Triennial Investment  
22 Plans. This morning's segment focused on the CEC's draft  
23 initiatives. And this afternoon's segment will focus on the  
24 investor-owned utilities or IOUs draft initiatives. The IOU  
25 administrators of the EPIC Program are Pacific Gas and

1 Electric Company, Southern California Edison Company, and  
2 San Diego Gas and Electric Company.

3 My name is Amanda Moore, Regulatory Case Manager  
4 for Pacific Gas and Electric Company. And on behalf of all  
5 of the IOU EPIC administrators, I'd like to welcome you to  
6 today's workshop.

7 Please note that this meeting is being recorded.  
8 A recording and transcript will be posted on the Energy  
9 Commission's web page. This afternoon's discussion will --  
10 will begin with John Minnicucci of Southern California  
11 Edison who will provide an overview of the EPIC investment  
12 framework from the IOU perspective. Next we will have a  
13 segment where we will discuss each of the utilities' EPIC  
14 Investment Plans for the 2015-2017 cycle. We will begin  
15 with Percy Harlson of SCE. That will be followed by Suna  
16 Taymaz of PG&E, Frank Goodman of SCG&E.

17 Next we will have a discussion of EPIC  
18 intellectual property issues, and that will be covered by  
19 John Minnicucci of SCE. We will also have a discussion of  
20 the EPIC research development and deployment journey, and  
21 that will be a joint IOU discussion lead by Suna Taymaz of  
22 PG&E. Finally, we will have the opportunity for public  
23 comments here in the room, as well as on the phone.

24 So without further ado, let's get started with our  
25 presentation with John Minnicucci.

1 MR. MINNICUCCI: Well, thank you. I'm supposed to  
2 talk into this thing.

3 So the next couple of slides, we've presented  
4 these a number of times over the past, actually, couple of  
5 years. And the reason we present these slides at almost  
6 every workshop or webinar is to provide the context that  
7 we -- we're working within -- in the state of California.

8 So what you see -- next slide please. What you  
9 see behind me is just a survey of some of California's  
10 energy goals. I'm not going to go into detail on all of  
11 these. But, you know, just to provide a little background,  
12 the -- one of the -- one of the goals that California has  
13 set forth is with respect to once-through cooling. So a lot  
14 of the generating plants along the coast of California will  
15 no longer be able to operate in the manner in which they had  
16 operated, basically taking ocean water in to cool and  
17 putting the ocean water back out.

18 So over the next couple of years the policy will  
19 apply to 19 power plants, and they will either have to  
20 retrofit or shut down. What this does is this causes issues  
21 with the grid or has the potential to cause issues with the  
22 grid because the -- the rotating mass that we rely on in  
23 order to maintain stability will be changing and evolving.  
24 When you couple that with the renewables portfolio standard  
25 which is going to put different types of generation onto the

1 system, types of generation that are not as predictable as  
2 the older more traditional forms of generation, again, that  
3 exacerbates a potential problem for maintaining grid  
4 stability and reliability.

5           One of the other notables, the governor's 12,000  
6 megawatt localized energy resource goal, in -- at Southern  
7 California Edison our grid, the distribution system was not  
8 designed for the two-way power flows, the intermittency that  
9 we would expect with this large number of distributed energy  
10 resources. And there are things that we're going to have to  
11 do to figure out how to deal with it. One of the key items  
12 would be to model and understand what it is, as well as  
13 demonstrating different solutions.

14           And the last one I wanted to talk about is one  
15 that's very recent, and that's the energy storage  
16 procurement target. That has just come out. And the three  
17 utilities will have to procure 1,325 megawatts of storage  
18 capacity, and I think that's through 2020. So that is --  
19 it's a fairly aggressive target and with a fairly nascent  
20 technology set. Here at Southern California Edison we've  
21 got batteries across the street. We have a home energy  
22 battery in the labs behind us. And we're -- we're working  
23 very diligently to figure out how to move forward, as are  
24 the other utilities.

25           So next slide please. So, you know, how does --

1 how does all this translate? So we're -- we're moving from  
2 reliability through grid inertia to a generation mix that's  
3 not as predictable as what we once had? How do you deal  
4 with that? Is storage going to be -- is that going to be  
5 the solution? I don't know if it's going to be the  
6 solution. It may be a solution.

7           Dispatchable generation. You know, currently and  
8 in the past you could call upon a generator to react in a  
9 certain way. But the wind blows when the wind blows and the  
10 sun shines when it shines. And as you've seen out here in  
11 beautiful sunny California, there are clouds in the sky.  
12 And all of these things impact the solar resources that we  
13 would expect to have on our distribution system. Again,  
14 this is -- is basically managing reliability on a circuit-  
15 by-circuit level.

16           Passive and predictable loads. As we transition  
17 into a new environment with smart meters, you know,  
18 transactive loads may be something that's doable. Demand  
19 response would be something you could consider a transactive  
20 load.

21           Human-in-the-loop grid management is -- you know,  
22 those of us in the electric industry or those in the  
23 periphery of the industry, we have historically managed the  
24 system in a centralized manner and controlled the system in  
25 the same manner. But what -- what you're going to see in

1 the future with a lot of distributed resources is really the  
2 need for distributed intelligence. As these resources come  
3 on and come off in a less predictable manner you're going to  
4 need to address that on the spot or you're going to face  
5 reliability issues. And it's no longer big blocks of power  
6 that you move around the grid. It's going to be on a  
7 distribution-circuit-by-distribution-circuit basis as -- as  
8 we move further into the future.

9           And then, you know, as I had discussed before,  
10 rigid centralized system control, well, that's really not  
11 the paradigm we're looking at with all of the -- the  
12 policies that I had discussed previously.

13           Next slide please. So a little bit about the  
14 Electric Program Investment Charge and what it is and what  
15 it isn't with respect to the utilities. Overall the EPIC  
16 Program is a \$162 million program. The CEC will be  
17 administering 80 percent of the program, and the utilities  
18 will administer 20 percent. The portion with which we're  
19 allowed to administer is only on the technology  
20 demonstrations and deployments. So in a nutshell, things  
21 that we're basically going to either be modeling for the  
22 attachment to the grid or -- or in bigger senses what you  
23 would typically consider a pilot, those are the types of  
24 things that the utilities will be doing. And we will not be  
25 doing any of the applied research or market facilitation.

1 Those are two sections that are applicable to the CEC and  
2 the CEC only.

3           And then the electric system value chain, the  
4 utilities are generally responsible for grid operations. We  
5 work in market design and tariff design, the distribution  
6 system, and the transmission system. We are precluded from  
7 using the funding we receive in EPIC to do generation or  
8 demand-side management, or also we're not allowed to do  
9 energy efficiency with these funds.

10           Next slide please. This is -- this is a slide  
11 I'm, frankly, very proud of. And honestly, there's a lot of  
12 credit to be given to my colleagues PG&E and my colleagues  
13 from San Diego Gas and Electric. We worked for months to  
14 figure out what a common framework would look like for all  
15 three utilities. We all generally face the same issues.  
16 But how do we communicate those issues? How do we  
17 coordinate our programs? How do you provide an apples-to-  
18 apples comparison? And that's what we think this framework  
19 does.

20           So the items or the areas in which we'll be  
21 focusing are renewables and distributed energy resource  
22 integration, grid modernization and optimization, customer-  
23 focused products and services enablement, and crosscutting  
24 foundational strategies and technologies. So the first  
25 three seem fairly easy to understand. You know, you're

1 going to modernize the grid. There are things that are  
2 going to make operations more efficient, allow us to do deal  
3 with some of the changing grid requirements. Renewables and  
4 DER integration, as I had talked about before, there are  
5 upgrades that we're going to need to make to address those  
6 issues.

7           You know, the customer participating in the grid,  
8 we've all deployed smart meters, and customer participation  
9 is something that we would expect would continue or advance  
10 because of the deployments that we've made. But the  
11 crosscutting and foundational piece, that's the thing that  
12 wraps it all together. What is the right grid architecture?  
13 What is the right cyber security architecture? What's the  
14 right communication strategy?

15           All three utilities, even subsets within the  
16 utility have different voltages on their distribution  
17 system, different strategies for communicating, because as  
18 these companies evolved it wasn't just this one plan that  
19 built everything. We evolved because as we took on greater  
20 responsibility for greater territory there were already  
21 electric systems that we -- I don't know what the right word  
22 is, but that we, I guess, subsumed or incorporated into our  
23 broader system. And in doing that the -- the original  
24 reasons for doing that were, one, it was more effective to  
25 operate the system that way. And it's much more reliable

1 when you link things together. If one generation -- or  
2 generator were to go down you could rely on backups or other  
3 generators to supply the load.

4 So as we evolved what we evolved into or may be  
5 different than what we need to evolve into in the future.  
6 And you need to take a holistic look at what that future  
7 might be. And that's kind of what this crosscutting and  
8 foundational strategies and technologies section is about.

9 So with that I think I'm done, and it's back to  
10 Amanda.

11 MS. MOORE: Thank you, John, for providing that  
12 overview of SCE -- of the utility framework for the second  
13 investment plan.

14 So up next we have Percy Harlson of SCE who will  
15 provide an overview of SCE's 2015-2017 EPIC Investment Plan.

16 MR. HARLSON: Thank you, Amanda. Next slide.  
17 There. Okay.

18 As John had indicated, the framework that the  
19 potential projects fit into is consistent with one -- with  
20 the one that was used for the first EPIC filing. The  
21 framework consists of the four categories which includes  
22 renewable and distributed energy resource integration, grid  
23 modernization and optimization, customer-focused products  
24 and services, and finally, crosscutting and foundational  
25 strategies.

1           We currently have 21 potential projects that cross  
2 these four categories slated for our EPIC 2 Program. I know  
3 we don't have the time to cover all of them, so I'm just  
4 going to kind of give you a taste of SCE's likely EPIC 2  
5 portfolio. I'll take five examples, and we'll go into these  
6 in a little bit more detail for each of them.

7           Next slide. Okay, our first one is the optimized  
8 control of multiple storage systems. And this is in the  
9 area of renewables and distributed energy resource  
10 integration. In response to the CPUC's storage OIR, SEC is  
11 mandated to procure or deploy 580 megawatts or storage into  
12 our grid. Storage is a new technology to the grid and it  
13 comes with a number of challenges. This project is focused  
14 on mitigating those challenges associated with implementing  
15 a flexible control scheme over many storage units.

16           Issues of communication standards, protocols,  
17 control strategies, interoperability, will all need to be  
18 addressed. Every manufacturer has their own interpretation  
19 of those standards and the different features that they're  
20 going to bring to their products. Now, I can remember many  
21 years ago the pain that we went through with different  
22 manufacturers of capacitor banks, capacitor controls, trying  
23 to get them to all work together. Even the ones that met  
24 the same communications standard, which at the time was  
25 DNP3, they didn't necessarily all interpret the standard the

1 same way. So I'm expecting to see the same type of problem  
2 with the storage units.

3           The other problems that we had, too, were getting  
4 those devices to work with our radio network for the  
5 communications. And then, finally, getting them interfaced  
6 to our back office systems and control systems and getting  
7 all that to work together finally. It's not an easy task.

8           Storage is a very versatile technology that can be  
9 used for a number of different grid needs like energy  
10 smoothing, demand response, voltage, VAR support, and many  
11 others that I can't even think of. They can operate in  
12 stand-alone automatic modes, or some may be able to support  
13 peer-to-peer communications and work together with each  
14 other, while other control schemes will include a central  
15 control system instead forward in communicating with these  
16 devices. The important point is that they need to function  
17 as a team and they have to optimize their support in the  
18 changing needs of the grid, and that's what this project is  
19 about.

20           Next slide. Okay, the next project is the --

21           MS. MOORE: For everyone on WebEx, we're having a  
22 bit of technical difficulties. We'll resume in just a  
23 moment.

24           MR. HARLSON: Okay.

25           MS. MOORE: All right, Percy, you're on.

1 MR. HARLSON: Okay. The next project is the  
2 Versatile Plug-in Auxiliary Power System, or VAPS. And this  
3 is in the grid modernization and optimization section. When  
4 work is being done in the field our trucks spend a lot of  
5 time idling. And small generators are used in combination  
6 to power essential equipment and tools to get the work done.  
7 This all results in fuel consumption, emissions, noise, and  
8 that's both for the crew and for the customers, and more  
9 wear and tear on the equipment and the trucks.

10 This project will focus on demonstration how a  
11 mobile storage system can provide the energy for all the  
12 loads and reduce or eliminate the need for the engines to  
13 run while out at the job site. The project will leverage  
14 the battery technology being used in electric vehicles like  
15 the Chevy Volt and the Ford Focus EV. It will be used -- it  
16 will be using lithium ion battery technology, which is also  
17 being used in SCE's Tehachapi Wind Storage Project.

18 The program will demonstrate a system that uses  
19 the batteries to supply D/C power to both an A/C inverter  
20 and a D/C-to-D/C converter to provide both A/C and D/C power  
21 to meet all the needs of all the -- of all the tools and  
22 equipment at the job site. The system will also incorporate  
23 a battery and energy management system to monitor and  
24 control the charge and discharge of the battery and provide  
25 system diagnostics under all operating different -- or under

1 different operating conditions.

2           Additionally, the project will investigate taking  
3 advantage of secondary use of EV batteries. Now, just  
4 because the batteries have kind of come to the end of their  
5 life for transportation uses, it may actually fit this use  
6 well. And this may give us a method to get more out of  
7 those used EV batteries before they're disposed of or  
8 recycled. Okay.

9           The next project -- our next project is the cyber  
10 autoresponse and policy management system. This is a  
11 crosscutting and foundational strategy and technology item.  
12 Cyber security is essential to our grid and the focus. And  
13 the focus of the security systems has been to keep attackers  
14 out and to recognize when the systems have been compromised  
15 so that operators can take action to mitigate the intrusion,  
16 you know, much like a home with locks and intrusion  
17 detection being monitored by a security company. Sometimes  
18 intrusions happen quickly though, and damage can be done  
19 faster than people can figure it out and take action to stop  
20 it.

21           But wouldn't it be great if someone breaking into  
22 your home could be recognized by the security system and the  
23 security system could basically throw the person out and  
24 rekey the locks, right, seal up the point of entry and do  
25 that all by itself, without waiting for someone to come to

1 its rescue? Well, that's exactly the concept of this  
2 demonstration.

3           This project will demonstrate the ability of SCE's  
4 common cyber security services to support auto-intrusion  
5 response technology. The CCS, Common Cyber Security  
6 Services, is leveraged from technology that was developed  
7 for the Department of Defense and the NSA, and it's  
8 transferring that technology to support grid security. The  
9 CCS will recognize and attack, take automatic action to  
10 protect the electric system through the use of advanced  
11 cyber security policies on devices. The demonstration will  
12 deploy these security policies on utility equipment such as  
13 digital fault recorders, smart inverters, and protective  
14 relays.

15           And the next slide. Okay. Okay. The next one is  
16 the -- the California ISO operations and utility grid  
17 coordination. This is a crosscutting and foundational  
18 strategy and technology item. The California ISO is tasked  
19 with balancing generation with load while managing the  
20 dispatch of ancillary services and operating the wholesale  
21 markets. But they have very little visibility and access to  
22 the growing small scale preferred resources on the  
23 distribution system. Additionally, there's no mechanism for  
24 the coordination of these resources between the distribution  
25 system operator, like SCE, and the wholesale market

1 operator, California ISO.

2           This project will demonstrate how these issues can  
3 be mitigated through the use of communications and  
4 establishing a standardized grid needs signal that is  
5 separate from wholesale price. Wholesale price just has no  
6 meaning to retail customers. This project is technology and  
7 communications focused and is not a demand response project.  
8 The whole concept is to use customer-owned resources such as  
9 load controlling devices, storage devices, and distributed  
10 generation that can be called upon to support grid  
11 reliability.

12           Next slide. Okay. The next project is the  
13 microgrid for enhanced grid reliability and security. And  
14 this is a crosscutting and foundational strategy and  
15 technologies item. Now, there's no question that here in  
16 California we're blessed with good weather. And we all know  
17 the brutal winter that most of the country has just  
18 experienced. And who can forget the wrath of Super Storm  
19 Sandy and the devastation and the utility outages that it  
20 brought on the East Coast. As good as life is here in  
21 California, we and our electric grid are not immune to the  
22 effects of disasters, disasters like earthquakes, windstorms  
23 and fires.

24           One thing that came out of the study of Super  
25 Storm Sandy was that establishing microgrids may help the

1 grid to be more resilient to these kind of disasters.  
2 Unfortunately, there's no accepted standards to implement  
3 and control microgrids and the integration with the utility  
4 grid. This project will demonstrate the use of advanced  
5 microgrid controllers that will manage and control the  
6 microgrid resources, even during disaster conditions, to  
7 further the goal of energy resilience. The project will  
8 also demonstrate how these microgrid resources can be called  
9 upon to support the grid in times of need.

10           Since microgrids are going to come in all  
11 different shapes and sizes and capabilities for the future  
12 the project will demonstrate how microgrids, and even mini-  
13 microgrids, something you'd have maybe on a very small  
14 campus, may be able to participate in further strengthening  
15 the grid.

16           And with that, I think that's my last one.

17           MS. MOORE: Yes, it is.

18           MR. HARLSON: Okay.

19           MS. MOORE: Thank you, Percy.

20           MR. HARLSON: Thank you.

21           MS. MOORE: Thank you for providing the overview  
22 of SCE's plan.

23           Up next we have Suna Taymaz of PG&E. She will  
24 provide an overview of PG&E's EPIC Investment Plan.

25           MS. TAYMAZ: Thanks, Amanda. Hello, everyone. So

1 what you're seeing here is our investment plan framework.  
2 As Frank [sic] and Percy mentioned, we all follow the same  
3 investment framework. These are our potential demonstration  
4 projects proposed for the 2015-2017 period.

5           Just a little bit of background, for the last two-  
6 and-a-half months, say from January, PG&E, as well as, I'm  
7 sure, my other utility colleagues have been engaged in this  
8 ideation process to establish what is our proposed portfolio  
9 of demonstration projects starting next year. And as part  
10 of this process we held internal workshops with planners,  
11 distribution operators, our IT folks, our architecture  
12 folks, really a wide and varied list, emergency response  
13 folks, field crew representatives, our customer programs,  
14 energy procurement. And really the point of this is because  
15 when -- when we talk about these projects they're not kind  
16 of coming up in a bubble. They're based on real challenges  
17 that our folks are seeing, either right now on the grid or  
18 they expect to see not -- in the not too distant future.

19           As part of this process we also engage with  
20 various external bodies. So we have our industry  
21 associations, utility benchmarking, various commissions,  
22 NREL, EPRI, academia, members of just the business  
23 community. And so what we put forth is what we believe,  
24 based on the feedback, as well, we believe it will provide  
25 benefits to our customers, as well as to our operations. We

1 also believe they will help identify and respond and address  
2 the emergent grid challenges, and help us to continue to  
3 provide safe, reliable and affordable services into this  
4 century, and advance key policy objectives such as the  
5 energy procurement -- energy storage procurement mandates,  
6 the 33 percent renewable portfolio standards, and SB 17  
7 smart grid goals.

8           So with that I'm going to highlight some of the  
9 technology demonstration and deployment projects mentioned  
10 here. And then the items in blue I'll go into in more  
11 detail on the next slides.

12           So the first category is renewable and distributed  
13 energy resources integration, DER integration, DER. Percy  
14 described the main challenges here. Our proposed projects  
15 really focus on demonstrating the technologies available to  
16 integrate DER, give us visibility of DG onto the system, as  
17 well as a visibility of storage, be that utility side or  
18 customer side or community side, and help us integrate,  
19 essentially, these new parameters into our processes. And  
20 so when I talk about integration that covers the planning  
21 for these -- these assets, planning for reliability, and  
22 actual grid integration that -- that considers the effects  
23 of all these new sources on our system. It also entails a  
24 real-time coordination and control of such systems so that  
25 they can meet utility operating needs or be called for

1 market needs or for the customers needs.

2           Going down the slide you'll see the various types  
3 of demonstrations, so I won't read them all but I will  
4 highlight a few. Storage on the grid, John has mentioned  
5 it, Percy's mentioned. I'm sure Frank is going to mention  
6 it as well. We, like the other utilities, have some  
7 demonstration storage projects out there. We have about six  
8 megawatts of storage right now. The storage procurement  
9 calls for 1,325 megawatts of storage procured between the  
10 three utilities. So we have, I'd say, lots of work to do  
11 there to make sure that we integrate that safely, reliably  
12 and cost affordably. I'm not including our pumped hydro  
13 storage which is -- which is separate.

14           So our demonstration in this area would seek to  
15 facilitate that cost effective procurement of storage, also  
16 the deployment and operationalization of the rather large  
17 amount of distributed storage. Part of the demonstration  
18 would look at the range of placements on the grids, is there  
19 a better or worse placements, what types of storage are  
20 optimal, control and coordination of the storage resources,  
21 and be that whether operating on the grid side or being  
22 called into market, so slightly different types of  
23 operations there. It could be for load peak reduction  
24 needs, or smoothing renewable resources, or operating, as I  
25 mentioned, on the market side or on the grid side.

1           Next I'll go to the grid modernization and  
2 optimization category. So I would characterize the projects  
3 in this section as really demonstrating the various types of  
4 new smart sensing technologies that have -- that have come  
5 onto the market, really in the last couple of years. And so  
6 this would be piloting some of these real-time sensing  
7 technologies, these real-time asset monitoring technologies,  
8 and piloting innovative mobile apps that can take that  
9 information real-time and enable our field crews and  
10 emergency responders to use that information real-time, in  
11 the moment. The catch word there is closer to the trouble.

12           So we can't get around the fact that we have an  
13 infrastructure built over the past 100 years. Our average  
14 asset age is between 40 and 50 years. And so just to give  
15 you a sense of the PG&E territory, we have 18,500 miles of  
16 transmission lines. We have a 70,000 square mile service  
17 territory, and 884 substations. So anything that we can do  
18 to extend safely the life of these assets or be alert to  
19 real-time conditions in the field or that assets operating  
20 condition, or provide a path, an affordable path to update  
21 those assets to new technologies along a, you know, rational  
22 cost effective path would really help lower our investments,  
23 lower our operating costs, and in turn pass those savings on  
24 to our customers.

25           So in this section essentially smart -- smart

1 monitoring and analysis tools for real-time asset  
2 management, as I mentioned, is a focus area. Many devices  
3 have come onto the scene that control and coordinate the  
4 assets, and we'd like to demonstrate some of these.

5           The second item on the list is demonstrating the  
6 substation of the future. And so you might also be familiar  
7 with the term digital substation. There's lots of various  
8 readings and information, really rich information that comes  
9 out at the substation, things like voltage, temperature,  
10 capacity, operating conditions. And so newer technologies  
11 combine this information to give you really rich information  
12 for planning and coordination and operation.

13           And I'll jump to, let me see here, the mobile  
14 technology. So we have a pretty large focus here on new  
15 mobile technology and visualization techniques for the  
16 field. So field technology has quite evolved over the last  
17 100 years. We've gone from paper and pencil to ruggedized  
18 laptops to some of these newer innovative very flexible  
19 mobile apps and hands-free devices that combine with  
20 technologies such as social media, GIS, other routing  
21 technologies, combining with different software and  
22 hardware, devices and senses, really helps our field force  
23 perhaps literally free up their hands, all the various  
24 equipment that they're carrying, and provides them with the  
25 knowledge they need at the source of the trouble to respond

1 and react, communicate with other field crew, with the  
2 public, with first responders, and allow customers to also  
3 communicate with the field crew in a more real-time manner,  
4 provide diagnostics, alert folks to hazards, guide them out  
5 of the way of that hazard, and update records all in real-  
6 time. So lots of exciting things in that area.

7           The third area is customer-focused products and  
8 services. Several items to highlight here include,  
9 essentially, providing better real-time information to our  
10 customers. And so we have that capability now with -- with  
11 real-time data and we want to extend that to our customers,  
12 and so extending existing pilots such as the Home Area  
13 Network from residential to commercial customers, a deeper  
14 level of innovative data analytics and technology to  
15 integrate customer-side strategies into grid operations. A  
16 way to look at this is, you know, we've moved from  
17 traditional generation at one end and then customer at the  
18 other end to the customer at the middle of the -- the value  
19 chain across the markets, the grid, etcetera.

20           And so, you know, there's really a role to be  
21 played using these various technologies and information to  
22 put the customer at the center, play an imbedded role in our  
23 operations, an imbedded role in the markets. And so we are  
24 getting closer with our demand response programs, demand-  
25 side management programs, energy efficiency programs, but

1 this really focuses on the grid integration aspect of that  
2 to make that meaningful circuit-by-circuit connection.

3           And so the last area is crosscutting foundational  
4 strategies and technologies. The themes that we brought out  
5 throughout the presentation and the grid challenges is  
6 really interoperability, automation, integration standards.  
7 And so you simply need to invest in crosscutting  
8 foundational technologies to make all this work in a  
9 seamless manner. And so that includes the standards, the  
10 information architecture, the networks, the cyber security,  
11 etcetera.

12           We have a significant focus on advanced metering  
13 infrastructure, the AMI network. It's a big priority for us  
14 to provide a path for our customers and vendors to connect  
15 and communicate across various different devices, different  
16 standards, different applications, that can be EV, that  
17 could be smart appliances. And so we need to be sure ensure  
18 that we have a network that allows for this open  
19 architecture or open seamless integration of various  
20 devices, both that we know of and that we don't simply yet  
21 know of. And so that's really the focus of -- of the  
22 crosscutting section.

23           So next I'll dive into detail on a couple of -- a  
24 couple of projects. Thanks, Amanda.

25           So first one is on distributed storage on -- on

1 the distribution grid. So we've talked about the storage  
2 one in a little bit of detail. But really this is about  
3 integrating increasing amounts of storage on the grid. We,  
4 you know, we know it's happening so, you know, we need to  
5 enable this in a way that has a standard consistent  
6 methodology, a standard process to do so, and we're simply  
7 not there yet. We do know that there are likely better and  
8 worse places for storage on the grid.

9           We -- from a safety perspective, a reliability  
10 perspective, as well as a cost effectiveness point of view,  
11 this demonstration would seek to develop the right  
12 methodology and tools to integrate storage based on this  
13 understanding of better locations, modeling of the benefits,  
14 the risks and the costs to the various locations, types of  
15 storage, etcetera. So conceptually this could be a tool or  
16 feeds into a tool that scores storage alternative sites,  
17 alternative types of storage, and provides kind of a  
18 standardized method to evaluate the different types of  
19 storage and how they would interact with grid operations.  
20 So this would inform the roadmap for future storage  
21 deployments, as well, and provide a way to simplify the grid  
22 interconnection process as well.

23           For primary benefits of this project, I mentioned  
24 policy attainment. But clearly what we are trying to do is  
25 assess storage as a method to also improve or maintain

1 reliability on the grid with the growing amounts of  
2 renewable DER on the grid as well.

3           And so I'll go to the next one. So from the grid  
4 modernization and optimization category, this is about  
5 demonstrating emergency preparedness modeling and emergency  
6 management mobile applications. So as Percy mentioned, and  
7 as I'm sure you see in the news all the time, especially in  
8 the recent months and years, various examples in the U.S.,  
9 as well as around the world, of how power systems were  
10 disrupted based on storms, tsunamis, other events, folks who  
11 are simply caught off guard for restoration activities, or  
12 they took a long time, longer than planned because of more  
13 severe storms than expected or simply not having the  
14 capabilities to ramp up quickly enough.

15           Other natural hazards, they're going to happen.  
16 And the ability to respond rapidly really is based on your  
17 ability to proactively understand and define and predict  
18 those events. And then you can -- you can create scenario-  
19 based planning to really respond in time and based on those  
20 various scenarios and how they play out.

21           So this demonstration would seek to pilot a  
22 holistic natural hazard damage model. There are options out  
23 there today. And so proof of concept would integrate the  
24 models with utility assets to estimate the impacts of a  
25 natural hazard on our utility facilities. The proof of

1 concept could model the impact to the transmission or  
2 distribution grid, the impact to customers, and quantify  
3 those potential outages. Knowing this information will  
4 allow our responders to respond timely and with the adequate  
5 resources based on that specific event, and so that we can  
6 avoid long periods of -- periods of outages for our  
7 customers.

8           So PG&E has developed basic models for outage and  
9 restoration activities. And we would seek to extend this --  
10 seek to extend this in a broader manner, leverage more  
11 advanced technologies, leverage virtualization, a developed  
12 risk ranking and impact analysis methodology to calculate a  
13 holistic look at the system, potential losses and outages,  
14 and really use that in a tactive (phonetic), proactive  
15 manner to restore power.

16           In addition, we would pair this with improved  
17 mobile technology for the better in the field response. In  
18 a simple example, a customer calls and reports a wire down  
19 in a storm, and we will send a truck out to assess that  
20 wire. Well, in many of those cases that wire down might be  
21 a telephone wire. So instead, if that customer could take a  
22 picture and send that picture in with the phone call we  
23 could quickly assess what kind of wire it is, not send --  
24 roll the emergency crew out there, perhaps direct that to  
25 the telephone company instead. So in that way we've saved

1 the emergency responders to really respond to the -- to the  
2 emergencies, avoid a truck roll an the GHG emissions that  
3 come along with that, and really improve our services and  
4 our operational efficiencies.

5 Next slide please.

6 MS. MOORE: We're having a bit of technical  
7 difficulties. We will resume in just one moment.

8 (Colloquy Between Presenters)

9 MS. TAYMAZ: That's it? All right. So now we're  
10 on to the proposed demonstration under customer-focused  
11 products and services. So as I mentioned before, we do have  
12 strong energy efficiency and demand response programs. But  
13 really optimizing our demand-side management programs is  
14 really important. And the evidence suggests that more can  
15 be done for the effectiveness of those programs, leveraging  
16 new technology, and really getting, as I mentioned before,  
17 kind of focused circuit-by-circuit improved -- improved  
18 efficiency.

19 So as mentioned previously, the customer has moved  
20 to the center of utility and market operations. To get  
21 there and to really have customers participate in this  
22 system requires new strategies, tools, and incentives to  
23 get -- to have this happen. And so we would seek to  
24 demonstrate those technologies. The availability and use of  
25 real-time data is one such demonstration area. So how can

1 we use real-time grid data, market data, etcetera, to help  
2 incent increased demand-side participation?

3           So one are we're -- we're proposing to look at is  
4 the concept of gamification, which is a significant trend in  
5 recent years. So using it in a non-gaming context, we could  
6 potentially employ tools to help change behaviors, how we  
7 interact with customers, also how we engage our own  
8 employees to drive innovation. So while gamification in the  
9 enterprise sense is new, I'm sure you might have all played  
10 a video game or two.

11           And so traditional games use points, reward  
12 badges, levels, status broadcasts. So you combine this with  
13 social media and real-time data and we potentially have an  
14 opportunity to really advance our EE and DR programs in a  
15 significant manner, maybe a fun manner as well, to help meet  
16 policy goals, achieve grid integration, really enhance  
17 collaborative strategies that incent both the customer and  
18 the markets, you know, to participate on the grid.

19           So my last slide is on the crosscutting  
20 demonstration area. So as I had mentioned, the next  
21 generation AMI network is an area for us for demonstrations.  
22 In this one we focus on a licensed spectrum demonstration  
23 for the network. So both licensed and unlicensed spectrum  
24 exists. USAMI tends to be dominated by unlicensed spectrum  
25 which has many benefits carried over the mesh network, but

1 it's not the only option. As this is a T&D program we would  
2 like to demonstrate potential benefits from additional  
3 licensed spectrum to help with smart grid communications, be  
4 that customer-side applications and their communications,  
5 distributed -- distribution automation, customer enablement,  
6 so different options there.

7           This demonstration would explore the new licensed  
8 vendor technologies, the use cases and benefits as it  
9 relates to these different applications. For example, the  
10 things we would look at is the benefits of -- with licensed  
11 spectrum and the range of communications, bandwidth  
12 interference, communication reliability, and  
13 interoperability of devices on the communication system.  
14 These options are important, not just to understand our AMI  
15 system and its kind of limitations or the next generation of  
16 AMI systems, but also so that we're not just -- you know,  
17 we're evolving the network from -- from where it started,  
18 which is automated meter reading, to more interoperability,  
19 more devices on the network and, frankly, other smart grid  
20 communication not yet -- that we don't yet know of.

21           And I think with that I'll turn it over to Amanda.

22           MS. MOORE: Thank you very much, Suna, for  
23 providing that overview of PG&E's second investment plan.

24           Up next we have Frank Goodman who will provide an  
25 overview of SDG&E's EPIC Investment Plan.

1 MR. GOODMAN: Thank you, Amanda. I will pretty  
2 much follow the same pattern you saw with the other two  
3 IOUs. I'll start with this overview slide of the framework  
4 and how we are aligning our work with the different  
5 initiatives in the framework.

6 I'll just mention, organizationally we have our  
7 R&D placed in what's called the Technology Innovation and  
8 Development section at SDG&E. So if you've got -- yeah,  
9 we've got the right slide there. You see here the same  
10 framework, that the other IOUs have teamed together with us  
11 and we are all trying to use this as a coordination vehicle.  
12 In the first cycle for EPIC we had all of our projects  
13 placed in the middle column. And this time around we've  
14 actually spread them around. We are following through on a  
15 few things in Tri 2 that were started in Tri 1. But most of  
16 what we're doing is new material.

17 And we have one project in the left most column  
18 dealing with distributed resource generation. It actually  
19 straddles into the grid modernization center column as well.  
20 So that project on the left-hand side really straddles two  
21 areas, but we decided that the primary placement is in the  
22 DER integration. And then the three in the middle deal with  
23 grid modernization primarily. And the one on the right is  
24 customer related. We do have the bottom some crosscutting  
25 stuff dealing with participation in collaboratives where we

1 get a lot of leverage for our money by becoming aware of and  
2 getting information from demonstration activities going on  
3 worldwide and avoid reinventing the wheel, among other  
4 things. But also better informing what we do in our own  
5 programs by being aware of what's going on elsewhere.

6           So I'm going to walk through the five projects in  
7 the upper three columns. It's five out of six projects that  
8 will be in our program. And I'll just mention that this is  
9 vetted and arrived at through an extremely laborious  
10 project -- project -- process, such as was described by the  
11 other IOUs, involving interaction with a wide variety of  
12 stakeholders, including each other, and including internal  
13 vetting with our own organization, and then the outside  
14 interaction with organizations such like -- such as EPRI  
15 which was mentioned earlier.

16           So this is where we're at right now. It goes  
17 through a governance process at SDG&E. And ultimately the  
18 approval of the content comes from -- from the governance  
19 team, which is a group of directors at SDG&E. And then it  
20 goes in the plan and goes onto the PUC for ultimate process  
21 of decision making.

22           Moving now to the first project area, this one is  
23 modernization of distribution system and integration of DG  
24 and DS, and the two go hand in hand. If you think of this  
25 as a DG-DS integration project only you very quickly realize

1 you're ignoring and not considering the integration and  
2 interaction of DG and DS with other smart devices coming  
3 into the system, such as there was a gentleman, Greg from  
4 One-Cycle Control here, there are power-electronic only  
5 components that could do some of the functionality you might  
6 do with the back end of a distributed generation or storage  
7 device. And things like volt/VAR management and other  
8 nontraditional functions of DER could also be done by a  
9 power-electronic only solution. And then there are other  
10 smart devices coming of age. To use that word smart, we  
11 mean power-electronic controlled or actively microprocessor  
12 controlled devices.

13           So you can't just in isolation solve the DG  
14 integration problem. You must consider the interaction with  
15 other controllable electronic devices as a total package and  
16 arrive at a smart circuit solution. That's the approach  
17 we're taking in this project. And it will follow through to  
18 try one work where the focus was on valuation of the grid  
19 support functions of DER. That's what we had as a project  
20 in Tri 1. It's being launched right now. So the focus  
21 there was on valuation of grid support functions.

22           We move to the next step in Tri 2 and start  
23 looking at once you've decided which functions have  
24 sufficient value to pursue on a widespread commercialization  
25 process, how do you do the integration into a blend of

1 complex controllable devices in your circuits?

2           And a couple of examples of what we might do in  
3 this area, one is taking a look at power factor control  
4 versus volt/VAR control as a way of solving voltage --  
5 voltage fluctuation problems. Or a second one is looking at  
6 stacking storage functions in a circuit application where  
7 you've installed storage at considerable cost, let's say it  
8 was batteries, and it has a primary function of peak load  
9 shaving or renewable smoothing, and is there a way you can  
10 take these storage devices with the major capital investment  
11 associated with them and use them for multiple functions at  
12 different times of the day, for example. So looking at  
13 multi-use of storage infrastructure is another example.

14           In all of our projects the implementation plan  
15 once the project is approved we'll flesh out the detailed  
16 tests that will be done and the -- and the metrics that are  
17 associated with those tests will be flushed out. So at this  
18 stage we are -- we are giving an overview. And we drilled  
19 down into an actual test plan as the first phase of any  
20 project.

21           The next project -- oh, let me -- let me stop for  
22 a minute and introduce Kelvin Ellis who is on our team. I  
23 caught him tying his shoe. He's actually the principle  
24 authority and project manager assigned to work in that area.

25           Okay, the next project is the data analytics in

1 support of advanced planning and system operations. And  
2 here we have a situation where all the new devices going out  
3 there from AMI to synchrophasors, new sensors, any power-  
4 electronic device you put out there has to monitor system  
5 voltage and current to operate itself, and therefore it can  
6 be used as a sensor, as well. So you're going to have this  
7 tsunami of data coming at you from all these devices put out  
8 in the system and you have to manage the data. And that's  
9 what this project is about, is trying to optimize that  
10 process and consider what data is coming, where it's coming  
11 from, and how it might be used.

12           And then you try to develop an optimum strategy  
13 around filtering and discarding data you don't need at the  
14 lowest level in your hierarchy that you can, applying the  
15 data to a task at whatever level it is useful, and then only  
16 sending up to a higher level what you need to for tasks  
17 upstream.

18           So this project will do that. It will consider  
19 standards and communication infrastructure that go with --  
20 and protocols that go with moving the data from wherever you  
21 need to move it to wherever you need to move it. And this  
22 project will also benefit customers. Because if you have  
23 all this data what you want to do is be applying it in a  
24 strategic way that operates the system more efficiently to  
25 the benefit of the ratepayers.

1           Next project please. Now, this one is -- takes  
2 you to the next step. Once you've got handling the data  
3 under control, then you move to the step of doing something  
4 useful with it. And that's what the monitoring and control  
5 and communication project is about. It is a way of taking  
6 our advanced automation to a new level and trying to benefit  
7 the ratepayers by making sure we are strategically using all  
8 this smart infrastructure to the maximum value, and don't  
9 have smart devices that are working against each other but  
10 are actually complimenting each other in a way that provides  
11 the greatest value to the ratepayer by way of enhanced  
12 system operations.

13           So we will pilot alternative solutions to build up  
14 this system of systems concept to do this optimized  
15 operation. And this will support our deployment programs.  
16 It will help in making choices on what systems to use for  
17 various functions.

18           Next slide please. This one is on system  
19 operations development and advancement. And we have done a  
20 lot of brainstorming internally about this and we know from  
21 our participation in various workshops externally that it's  
22 a big issue. And that is you have to have your -- your  
23 workforce, your training, and your skill sets continually  
24 evolving to match the new infrastructure that you're  
25 deploying. And it needs to be an ongoing process because

1 the modernization process probably never ends. There will  
2 always be new devices to assimilate or to reject. Make your  
3 choice as to which ones you want to use, what you don't want  
4 to use and then assimilate the ones you do, but always with  
5 an upgrade to the operations resources, meaning the skill  
6 sets and the personnel and other things that would go with  
7 operations, like equipment.

8           So that's what this project is about is to come up  
9 with a way of gauging what we need for the foreseeable  
10 modernization in the system. And then having in place a  
11 progress where we can incrementally step forward with  
12 training and skills from whatever foundation we establish in  
13 this project. So we try to establish a foundation around  
14 what we need for the -- the infrastructure now evolving, and  
15 a methodology of incrementally stepping forward every time  
16 there's some major change in the system.

17           And one of the things that I might point to as an  
18 example is what we're doing right now on volt/VAR management  
19 systems where we're taking a look at what we do now for  
20 voltage regulation and saying how can we do it better if you  
21 make no infrastructure changes at all, just take -- take  
22 what's there now and say is it really being done optimally,  
23 are there capacitors that are -- have a thrown switch and  
24 are not turned back on soon enough, or whatever it is that  
25 is the operating issue, and improve that. We call that

1 Generation Zero.

2           And then move on to upgrading to use of new  
3 technologies like trying to use the static VAR compensators  
4 or the back-end inverters on distributed generation storage  
5 as a part of your toolkit for volt/VAR solutions, and that's  
6 step -- that's Gen 1. And then Gen 2 is GEN 1 plus network  
7 operation as you bring online your more advanced distributed  
8 management system, how would you further enhance what you  
9 did in GEN 1 and, for example, monitor when something has  
10 failed and go out and fix it, or just automate the process  
11 of coordinating the operation of capacitor banks, inverters,  
12 and other voltage regulation equipment.

13           Then my last project here is the one in the right  
14 most column, and it deals with this area of customer-focused  
15 products and services. And here we are looking at the  
16 interoperability of the customer systems with the evolving  
17 distribution system infrastructure and transmission  
18 infrastructure. So it's integrating the customer system  
19 operations and impacts into the overall operation of the  
20 power system, both at the distribution and transmission  
21 level, and having a gateway, for example, where you can  
22 support the necessary information exchange between customer  
23 and utility. And the initial thing may be to use AMI for  
24 some of the basic functions.

25           But the feeling is beyond -- when you really get

1 to where you're doing everything you could in the way of  
2 cooperation between utility and customer to the benefit of  
3 rates that the customer sees and services the customer is  
4 offered, that you're probably going to need a more  
5 complicated or more capable gateway, is the right word, than  
6 you can get with AMI. So you'll need more bandwidth and  
7 ability to handle more data than you can through AMI. And  
8 just what is needed is what we're trying to address in this  
9 project and how you would implement what is needed, those  
10 are the aspects we're trying to get at here.

11 So that is what I have. And with that I'm going  
12 to give it back to Amanda who is going to introduce the next  
13 speaker.

14 MS. MOORE: Thank you very much, Frank, for  
15 providing that overview of SDG&E's second investment plan.

16 Next we will have an intellectual property  
17 discussion as it relates to EPIC. And that will be led by  
18 John Minnicucci of SCE.

19 MR. MINNICUCCI: Hi. So SCE has recently issued  
20 an RFI, a request for information, to a number of existing  
21 and potential suppliers for engineering and technical  
22 services. The decision was not entirely clear on how some  
23 of these intellectual property or aspects of intellectual  
24 property would be, I guess, dealt with or fully understood.  
25 So the respondents included 16 businesses and 5

1 universities, and there were three general areas of concern.

2           The first was, you know, what is the treatment for  
3 preexisting intellectual property? If you're working with a  
4 vendor who manufactures relays or something of that nature,  
5 they weren't entirely sure how their preexisting  
6 intellectual property would be treated. It would make sense  
7 that, you know, they developed that on their own dime and  
8 they've worked through all the issues in their own ways to  
9 develop the property, it would make sense that that property  
10 would remain with them. But they had questions of the --  
11 you know, regarding the decision about intellectual property  
12 and the preexisting.

13           The second item that they were concerned about is,  
14 you know, retaining the ability to use the developed  
15 intellectual property. So as you go through this process,  
16 and if something was to be developed as a result of one of  
17 the utility demonstrations, you know, how would they either  
18 license -- or what would be the -- what would be the ability  
19 for them to use that which was developed as part of this  
20 process? Again, these are things that these respondents had  
21 taken away from the decision and were not, in their opinion,  
22 were not abundantly clear.

23           And then the last one is indemnity for the state  
24 of California. That's -- indemnity is one of those clauses  
25 that is very difficult to negotiate because of the, you

1 know, sometimes severe impacts of indemnifying another  
2 entity. And something as broad as the state of California  
3 is -- is challenging, to say the least.

4           The -- the main question they had there is, you  
5 know, as we go through a demonstration and we're working  
6 through, you know, some of the issues, if the data from the  
7 demonstration was used, you know, in the same manner in  
8 which it was developed, well, there probably wouldn't be too  
9 much of an issue. But if you were to use that information,  
10 work towards some other means, and then have a failure of  
11 some sort by changing the intellectual property in any way,  
12 it would not make sense to indemnify for an alteration of  
13 intellectual property.

14           So the intent is not to raise these as -- these  
15 are issues that were brought forth and things that we'd like  
16 to either get clarification on or work through as we go  
17 through not just EPIC 2, which is the main point of the  
18 discussion today, but the first EPIC proceeding as well.

19           The next item is something that's really  
20 important. I'm sure that my colleagues at San Diego and  
21 PG&E are working toward the same ends. And it's very  
22 important that we try to leverage our limited funds to the  
23 benefit of ratepayers. The Department of Energy will from  
24 time to time issue opportunities where we can double and, at  
25 times, even triple the money that is available for these

1 projects. But one of the difficulties in doing that is the  
2 intellectual property rights that the federal government  
3 requires and the intellectual property rights that are  
4 required under EPIC, there appear to be issues about how  
5 those two conflict, which one overrides, and really what is  
6 going to be to the greater good for -- for the ratepayers.

7           So a couple of items that were brought forth as  
8 examples because of SCE's American Recovery and Reinvestment  
9 Act projects relate to the DOE, of course, would need to  
10 receive all copies of reports and data and anything that  
11 comes out of the projects. The CPUC would need to agree to  
12 allow DOE to have unlimited rights in the data generated  
13 under the project because they're bringing funding toward  
14 that as well.

15           Patent rights; DOE typically has a nonexclusive  
16 irrevocable license in any of its inventions. ARRA was  
17 different in that there was a patent waiver issued for the  
18 ARRA projects. But, you know, your typical DOE project  
19 would include that. I don't know how palatable that would  
20 be for the CPUC or others that are involved, but it's  
21 something we should think about.

22           And then with respect to equipment, the federal  
23 government would have an ownership right in any equipment  
24 that was purchased for one of these projects if they were  
25 paying for it.

1           So that goes a little bit beyond the intellectual  
2 property. But these were items that we just thought it  
3 would be good to have a discussion on. And if you have any  
4 ideas or concerns it would be great to get those in written  
5 comments. Thank you.

6           MS. MOORE: Thank you very much, John, for  
7 providing that discussion on intellectual property matters.

8           Next we will have a discussion regarding research  
9 development and deployment journey. And that will be led by  
10 Suna Taymaz of PG&E.

11          MS. TAYMAZ: Great. Thanks, Amanda.

12          So this is the fourth public forum that the IOUs  
13 have engaged in in the past four months. And apart from  
14 that, we're utilizing other forums, as well, EPRI, talking  
15 to various other research labs, organizations, academia,  
16 etcetera. The feedback tells us we're focused on the right  
17 areas, which is -- which is good to hear. There are more  
18 areas to pursue activities than we, you know, frankly have  
19 the resources to do. So we really are focused on the near  
20 term, the non -- non-abstract, what's going to really help  
21 us integrate renewables, extend the life of our grids, and  
22 provide services, better services to our customers.

23          We do have a couple of learnings along the way  
24 that we want to leave you with. And there's a quote from  
25 Thomas Edison on the screen. And so he said, "I have not

1 failed. I've just found 10,000 ways that won't work." So  
2 we're all swinging for success here. But frankly, you know,  
3 innovation doesn't mean you hit it out of the ballpark every  
4 time. You know, best practices from other R&D groups or  
5 innovative groups tells us that in a couple of years you  
6 might hit a couple of singles, a couple of doubles, but you  
7 don't really hit out of the ballpark.

8           The whole process of R&D means you build upon  
9 learning, successes and failures, to get to, you know, what  
10 it is that is unique and new and cost effective. So in some  
11 cases demonstrating that a particular technology is not  
12 suitable for deployment is a success because you're avoiding  
13 rolling out something that's -- that's expensive or avoiding  
14 a larger scale investment. So we want to just emphasize, I  
15 guess, expectations here.

16           Building on that theme you'll see that we all  
17 presented our various potential demonstration projects. And  
18 we're aligned as far as the areas. You know, we all have  
19 common needs in common areas. And that's really by design,  
20 to build on each other's work. You know, modern innovations  
21 today weren't built based on one organization focused in a  
22 bubble in one area and then another organization, you know,  
23 carving up and looking at another area. The emphasis here  
24 is really on collaboration. The filing talks about  
25 duplication, but really I think the word really to focus on

1 is collaboration and making sure we build on each other's  
2 demonstrations, learn from them, and kind of take them to  
3 the next level.

4           What else do I have up there? So I'll also  
5 mention just on the last bullet areas, so we are building  
6 this program as of the decision which approved EPIC 1, the  
7 first EPIC Triennial Investment Program, November 14th of  
8 last year. And so what we're tasked to do is to support  
9 this innovation within the utilities, reach out to the  
10 community, support successful execution of projects, and  
11 also support strong regulatory and compliance requirements.

12           So innovation, flexibility, you know, utility,  
13 strong regulatory requirements, these things don't always go  
14 together very, very naturally. So each of the utilities are  
15 focused on making these things happen and be successful.  
16 And so we've come up with some -- some learnings along the  
17 way on that as well. Our role has really been to make sure  
18 we, you know, talk about our flexibility. So are portfolios  
19 designed with flexibility to be able to execute our TD&D  
20 needs? We're finding internally we play an important role  
21 in facilitating our expediting processes. So as John  
22 mentioned around the IP discussion, you know, we're really  
23 helping facilitate procurements, contracts, IP language  
24 discussions, the types of things that are really required to  
25 make this program successful.

1           And finally, I just want to leave you with, you  
2 know, EPIC and even the EPIC output is really the beginning  
3 of the journey. The implementation here, you know, at a  
4 larger scale is really the key goal. And so demonstrations  
5 are good. But really the objective is long-term sustainable  
6 deployments. And that comes along with its own change  
7 management needs, its own regulatory needs, its own  
8 workforce strategy and change management needs. And so  
9 that's what we're kind of looking to build, that foundation  
10 from which to advance to full-scale deployment.

11           I don't know if my other colleagues have anything  
12 to say on that.

13           MR. MINNICUCCI: Sure. I mean, the fact that you  
14 have all three utility logos on the same slide is something  
15 that's rare. And I say that at most of the workshops that  
16 we work together with on the EPIC program. And it's because  
17 we are spending a great deal of time together collaborating  
18 and working through these issues.

19           If you look at the American Recovery and  
20 Reinvestment Act the federal government spent, I believe it  
21 was \$4.5 billion on smart grid research, deployments,  
22 etcetera, and it's not done yet. I mean, when you look at  
23 the magnitude of that number it's -- what we do here is just  
24 another piece to that bigger picture. And Suna had  
25 mentioned that, you know, there -- there are successes in

1 the failures. And as you test new products, as you test new  
2 approaches to doing what we do in delivering safe, reliable  
3 and affordable power, there are going to be stumblings. But  
4 what you learn from those could be the next breakthrough for  
5 either the next generation or the next technology. And  
6 that's -- that's something to keep in mind that's really  
7 important.

8 I'll touch just on, you know, our two ARRA  
9 projects, the Irvine Smart Grid, which is going very, very  
10 well. We're making significant progress there. We've just  
11 taken one of our storage container batteries, and that will  
12 be deployed on the Irvine Smart Grid. I mean, that was just  
13 moved out last week. So as these things move forward  
14 there's many learnings. But this will build upon that base  
15 which has already been established and it will go on into  
16 the future as there are new policies, new requirements, new  
17 customer demands on the electric grid. And it's -- it's  
18 incumbent upon us to make sure that we do this well.

19 MR. GOODMAN: Yeah, I'd like to just supplement  
20 it. What I tell my colleagues at SDG&E is the primary  
21 product of R&D is knowledge, that is it. No matter what the  
22 subject area of the R&D project the primary product is  
23 always knowledge. And there's only two ways an R&D project  
24 can fail. One is if you don't generate any knowledge. And  
25 two, if you don't document the knowledge. So that's the

1 bottom line on what you want to have and see in an R&D  
2 project description is what are you trying to do and learn  
3 and what is your documentation plan?

4 MR. MINNICUCCI: You know, one of the things I'd  
5 also like to note is that we meet weekly on -- as a result  
6 of this -- this program. And we've been doing almost since  
7 the inception of the program. There are some weeks that we  
8 make it every two weeks. The California Energy Commission  
9 has joined us in our weekly meetings, as well. It is very  
10 difficult to coordinate and collaborate 100 percent  
11 effectively. But the fact that we are getting together and  
12 we are working through these issues is really important and  
13 it demonstrates the desire to get this right. Again, you  
14 know, as Suna had brought up, we're not going to be perfect.  
15 But what we learn from this I think we can build upon into  
16 the -- into the future.

17 MS. MOORE: Thank you very much, Suna and  
18 everyone, for that insightful discussion about RD&D as it  
19 relates to EPIC.

20 So finally we will give the public the opportunity  
21 to make comments. So we'll start with -- if we have any  
22 comments here in the room, please let me know. Okay. It  
23 looks like we don't have any comments here in the room.  
24 We're going to check to see if we have any comments over the  
25 phone. If you have any questions or comments and you're



## CERTIFICATE OF REPORTER

I, MARTHA L. NELSON, an Electronic Reporter, do hereby certify that I am a disinterested person herein; that I recorded the foregoing California Energy Commission Joint Workshops on the Proposed 2015-2017 Triennial Investment Plans for the Electric Program Investment Charge Program; that it was thereafter transcribed.

I further certify that I am not of counsel or attorney for any of the parties to said conference, or in any way interested in the outcome of said conference.

IN WITNESS WHEREOF, I have hereunto set my hand this 21st day of March, 2014.

/s/ Martha L. Nelson\_  
MARTHA L. NELSON

## CERTIFICATE OF TRANSCRIBER

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.

/s/ Martha L. Nelson  
MARTHA L. NELSON, CERT\*\*367

March 21, 2014