

DATA RESPONSE WORKSHOP
BEFORE THE
CALIFORNIA ENERGY RESOURCES CONSERVATION
AND DEVELOPMENT COMMISSION

In the Matter of:)
Carrizo Energy Solar Farm) Docket No.
Responses to Data Requests) 07-AFC-8
URS Project 22239472.018000)
_____)

DOCKET	
07-AFC-8	
DATE	MAR 12 2008
RECD.	APR 02 2008

CARRISA PLAINS HERITAGE ASSOCIATION
COMMUNITY CENTER
10750 CARRISA HIGHWAY
SANTA MARGARITA, CALIFORNIA 93453

WEDNESDAY, MARCH 12, 2008

5:10 p.m.

Reported by:
Troy Ray
Contract No. 150-07-001

PETERS SHORTHAND REPORTING CORPORATION (916) 362-2345

**PROOF OF SERVICE / REVISED 2/5/08 FILED WITH
ORIGINAL MAILED FROM SACRAMENTO ON 4/2/08**

CF

STAFF AND CONSULTANTS PRESENT

Mary Dyas, Project Manager

Caryn Holmes, Staff Counsel

Eric Knight, Siting Office Supervisor

Michael Doughton, Staff Counsel

Suzanne Phinney

Negar Vahidi

Beverly Bastian

Jason Ricks

Mark Lindley

Rick York

Brian McCollough

Casey Weaver

Paul Marshall

APPLICANT

Jane Luckhardt, Attorney
Downey, Brand Attorneys, LLC
Carrizo Energy, LLC
Ausra CA II, LLC

Perry Fontana
Robert Morgan
Sam McIntosh
George Dore
Pete Johnson
Carrizo Energy, LLC
Ausra CA II, LLC

Angela Lieba
Sarah Temple
Kristin Walker
Emily Sullivan
Jeremy Hollins
URS Corporation

APPLICANT

Theresa Miller
Matt Moore
Robert Scott
Mark Storm
Amy Gramlich
Brian Glenn
URS Corporation

Joe Patch
Ken Horn
Patch Services

INTERVENOR

Tanya A. Gulesserian, Attorney
Adams, Broadwell, Joseph & Cardozo
California Unions for Reliable Energy

ALSO PRESENT

Jim Patterson, Supervisor
San Luis Obispo County

Ellen Carroll
John McKenzie
San Luis Obispo County

James Kilmer
Caltrans
California Department of Transportation

Deborah Hillyard
Dave Hacker
California Department of Fish and Game

Bob Nolen

Patty Nolen

Gordon Hayes

Tim Strobridge

Mike Strobridge

ALSO PRESENT

Robin Bell

Jim Bell

Louise French

John Ruskavitch

Susan Harvey
North County Watch

Fred Young

Kelly Hayes

Ryan Cooper

Kenneth Tab

Roberta Peterson

I N D E X

	Page
Proceedings	1
Opening Remarks	1
M. Dyas, CEC	1
Background and Overview	1
Introductions	5,9
Jim Patterson, San Luis Obispo County Supervisor	8
Discussion Topics - Data Responses and Issues	11
Alternatives	11
Land Use	15,113
Cultural Resources	18
Biological Resources	21,130
Traffic and Transportation	41
Soils and Water Resources	67
Other Technical Areas	114
Noise	114
Visual Resources	131
Socioeconomics	159
Waste Management	164
General Questions	172
Supervisor Patterson	172
Public Comment	175
Closing Remarks	182
Adjournment	187
Reporter's Certificate	188

1 P R O C E E D I N G S

2 5:10 p.m.

3 MS. DYAS: Good afternoon. I'm Mary
4 Dyas; I'm the Siting Project Manager from the
5 California Energy Commission over this Carrizo
6 project. I'd like to thank everyone for being
7 here this evening, or this afternoon.

8 The purpose of this workshop, data
9 response workshop, is to discuss responses to
10 staff's data requests, and to continue discussions
11 on the issues that have arisen, or have been
12 identified. And to receive input again from
13 agencies and the public.

14 On the table just inside the doors over
15 there, there are blue cards for when we have our
16 open public comment period. If you can just put
17 your name on it so I can call you up when we do
18 have our open public comment period.

19 And then there are also a number of
20 different handouts from our Public Adviser's
21 Office. I think that's a handout on frequently
22 asked questions with the Public Adviser's contact
23 information. As well as an Energy Commission
24 permitting process timeline.

25 And then Ausra also has a number of

1 handouts regarding the project that you can pick
2 up there. And there are also copies, I believe
3 there may still be some there, or not, of them,
4 the data responses that we're going to be
5 discussing here.

6 And there's also a sign-in sheet; so if
7 you could please, when you get a chance, and we
8 will be having a break for something to eat. I'm
9 planning it probably about a quarter after six,
10 depending on where we are in the agenda.

11 There's also copies of the agenda back
12 on that same table.

13 And as far as the timing on this, we're
14 going to try and not keep you here too late. So
15 hopefully we'll be able to get through things.

16 As far as the Energy Commission's
17 process, what we've covered so far, there are
18 three major phases in our licensing process.
19 There's the data adequacy phase where staff
20 reviews the application that was filed by Ausra to
21 determine if it meets all the minimum requirements
22 for the siting regulations.

23 And once it does meet all the
24 requirements, the project is deemed adequate, or
25 complete. And that actually happened on December

1 19, 2007.

2 And then after the data adequacy phase,
3 there's the data analysis and discovery phase.

4 And during this phase is where staff and the
5 agencies and the intervenors gather data in order
6 to do their analysis.

7 Staff conducts independent engineering
8 and environmental analyses of this project. And
9 that includes identifying any issues and evaluate
10 an reasonable range of alternatives in comparison
11 with the environmental effects of the proposed
12 project.

13 Also identifying measures that can
14 mitigate or reduce any potentially significant
15 impacts. Staff also recommends the conditions of
16 certification that would govern the operation of
17 this plant.

18 The preliminary staff assessment and
19 final staff assessment are the two documents that
20 staff will produce. And any comments that we have
21 received so far have been distributed to staff.
22 And staff will consider those comments and they
23 will be addressed in their individual analyses.

24 To date, under this particular phase in
25 the process, we issued an issues identification

1 report on January 23rd. On January 28th staff
2 filed data requests. And on January 29th, as most
3 of you were probably here, we had the
4 informational hearing and site visit in which
5 questions were also asked.

6 Following the preliminary and final
7 staff assessments, once the final staff assessment
8 is released, we will go into the evidentiary
9 hearing phase. And that's where the Committee
10 will consider all of the -- staff makes a
11 recommendation to the Committee. And then the
12 Committee will consider things and then make their
13 decision as to whether or not to approve the
14 license. And that's just a quick overview.

15 As I mentioned, the comments that have
16 been received have been distributed. And Ausra
17 has also answered a number of the questions, and
18 is prepared to also file other answers to other
19 questions that have yet to be filed. And they
20 will also be making some introductory remarks.

21 To start off I would like to have each
22 group, the applicant and the intervenor, and
23 ourself, we will go through introductions. And
24 then we'll have any agencies that are in the
25 audience introduce themselves. And then we will

1 proceed into the discussions on the data responses
2 that the applicant filed.

3 So, first off, on the Energy Commission
4 team there's Eric Knight, who is the Supervisor
5 over the project managers in the siting office.

6 We have Caryn Holmes and Mike Doughton
7 who are Staff Counsel. And we have a number of
8 staff members here with us tonight. We have
9 Beverly Bastian who is our cultural staff.
10 Suzanne Phinney who is covering alternatives and
11 waste management. Brian McCollough is biology.
12 And Rick York is supervisor over one of the
13 environmental units.

14 We have Negar Vahidi who is land use.
15 Jason Ricks who is traffic and transportation.
16 And then Casey Weaver who is also on the water
17 staff. And I believe we have a number of others
18 scattered in the audience. Paul Marshall who is
19 the supervisor over the water unit. And Mark
20 Lindley who is also a water analyst.

21 And then I will have Perry take over and
22 introduce his team.

23 MR. FONTANA: Actually have Jane take
24 over.

25 MS. DYAS: Or Jane, okay. Jane.

1 MS. LUCKHARDT: Hi. My name is Jane
2 Luckhardt and I'm Project Counsel for Carrizo.
3 And up here at the table with me are Rob Morgan
4 and Perry Fontana from Carrizo. And then we have
5 a variety of other folks, and I'll try and
6 introduce them. Hopefully I won't miss anybody.
7 I have a list.

8 So, I see Sam McIntosh in the front,
9 from Carrizo. And Sarah Temple is around
10 somewhere. There she is. And I see Angela Lieba
11 from URS. Let's see, Pete Johnson should be
12 somewhere. There we go.

13 And then from Patch, the engineering
14 folks helping out with the project there should be
15 Joe Patch and Ken Horn. And then going back in
16 with the URS folks, we have Kristin Walker and
17 Emily Sullivan -- where's Emily? Right behind me.
18 And Jeremy Hollins is around.

19 Brian Glenn, cultural resources, Pat
20 Mock and Theresa Miller for biology. George Dore
21 for traffic and transportation. Amy Gramlich for
22 visual resources. She's the one back in the
23 corner I can't see. Matt Moore and Robert Scott
24 from water resources. And Mark Storm for noise.
25 Mark is way in the back.

1 And if I've missed anybody hopefully
2 these guys will kick me. I think I've done it.
3 Thank you.

4 MS. DYAS: Okay, Tanya.

5 MS. GULESSERIAN: My name is Tanya
6 Gulesserian; I'm an attorney representing the
7 intervenors California Unions for Reliable Energy.

8 MS. DYAS: Perry, did you want to make
9 any opening comments or anything?

10 MR. FONTANA: I think we're just ready
11 to get into it.

12 MS. DYAS: Or Jane?

13 MS. LUCKHARDT: No, I think we're ready
14 to start.

15 MS. DYAS: Okay. Okay, we do have --
16 one thing I do want to note here is that this
17 workshop is actually being recorded, just like the
18 informational hearing was. So there will be a
19 transcript produced following this workshop.

20 So, as we did with the informational
21 hearing, if you're going to ask questions and you
22 do want to get them on the record you'll have to
23 come up to the microphone so that you can be
24 recorded.

25 So, are there any government agencies

1 who would like to introduce themselves here. And
2 just kind of come up as you are. I know James
3 Patterson is here.

4 MR. PATTERSON: Jim Patterson, I'm the
5 San Luis Obispo County Supervisor for the --

6 MS. DYAS: Jim, sorry. Can you, so that
7 he can get it on --

8 MR. PATTERSON: Jim Patterson, Fifth
9 District Supervisor for San Luis Obispo County;
10 this is in my district.

11 MS. DYAS: And I was told that you
12 wanted to make a few comments?

13 MR. PATTERSON: You want me to --

14 MS. DYAS: Yeah, go ahead and do that
15 now.

16 MR. PATTERSON: Well, okay. This is a
17 California Energy Commission project, but I want
18 to insure the folks that live here and elsewhere
19 in the County that we'll have ample opportunity to
20 participate in the process.

21 And one of the things that we're doing
22 in working with the CEC and Ausra is to schedule a
23 public meeting on a Saturday so folks that can't
24 come in the afternoon or on a workday will be able
25 to have the same opportunity to ask questions of

1 the applicant and the CEC.

2 We have a meeting scheduled for
3 Saturday, April 12th out here in the morning. We
4 don't have a location and exact time yet, but
5 we'll get that information to you.

6 That same afternoon we'll be meeting
7 either in Santa Margarita or Atascadero. So folks
8 -- and, of course, you're all here so you have
9 this opportunity, but other people haven't.

10 But the idea is to maximize the
11 opportunity for community members to have input
12 into this project.

13 MS. DYAS: Thank you, Jim. Any other
14 agencies that would like to introduce themselves?

15 MS. CARROLL: I'm Ellen Carroll; I'm the
16 Environmental Coordinator for the County. And
17 we've been reviewing all of this information and
18 preparing letters, and will continue doing that.

19 MR. MCKENZIE: And I'm John McKenzie. I
20 work under Ellen, and kind of a primary contact
21 for solar-related projects in the County.

22 MR. KILMER: James Kilmer, Caltrans,
23 development review. I'll be looking to see how
24 the project impacts highway 58.

25 MS. HILLYARD: I'm Deborah Hillyard with

1 the California Department of Fish and Game. And
2 we're looking at issues related to our
3 responsibilities as a trustee agency for fish and
4 wildlife resources for the state.

5 MR. HACKER: I'm Dave Hacker; I'm also
6 with the Department of Fish and Game in the same
7 role. So we're working together on this project.

8 MS. DYAS: Any other agencies that would
9 like to introduce themselves?

10 MR. SPEAKER: Can't hear you.

11 MS. DYAS: Are there any other agencies
12 that would like to introduce themselves?

13 Okay. Now we'll continue on to the
14 discussions. And as far as the way we're going to
15 do this, for each topic area that we are
16 discussing regarding the data responses, what
17 we're going to do is we're going to have the
18 interaction between the Commission Staff and the
19 applicant and the intervenor to discuss the
20 responses, and whether or not the responses were
21 fully acceptable as far as what the information is
22 that they were looking for.

23 And then we will from there get agency
24 comment on that particular topic regarding the
25 response that was filed. And then we will move to

1 the public as far as if they have a response
2 specifically related to that data response.

3 And, again, we will have the open public
4 comment period at the end. So, as far as comments
5 on the topic areas, we would like to keep it
6 specifically to the data response.

7 So, first on the agenda, the first topic
8 area that we have is alternatives. And my CEC
9 Staff is Suzanne Phinney.

10 MS. PHINNEY: The applicant did answer
11 the questions that we had addressed. But I wanted
12 to just ask a little bit elaboration on that.

13 There were a number of sites that were
14 identified as alternative site locations. And I
15 was wondering whether the applicant had actually
16 identified specific parcels for those pieces of
17 property.

18 I understand in Kern County that was not
19 the case. It was just a general region. But it
20 wasn't clear from the discussion whether there
21 were actual parcels. And the map that was
22 provided was, you know, just kind of stars on a
23 fairly general map.

24 MR. MORGAN: Yeah, this is Rob Morgan
25 with Ausra Carrizo Energy. For the Daggett-

1 Soppeland alternative, for the Harper Lake
2 alternative and for the Old Mine alternative we
3 have some section numbers we've identified.

4 We never actually got to discussions
5 around individual parcels, per se. And you're
6 correct, in the Kern County area we looked at a
7 broader region, decided as a region it was
8 inferior to here, and so didn't get very deep on
9 that one.

10 I can read those off; I can give those.
11 We have them written up but they didn't make it in
12 the package. So I do have some section numbers to
13 give you.

14 MS. PHINNEY: Well, I can copy down --

15 MR. MORGAN: Okay, I'll read them in.

16 So for the Daggett alternative it's township 10
17 North, Range 3 East, Sections 4 to 9 and Sections
18 16 to 21.

19 MS. PHINNEY: Okay. Is it possible for
20 you just to make a copy of those? Because I'm not
21 sure I'm going to be able to --

22 MR. MORGAN: Yes. It's no problem.

23 Yeah, yeah, --

24 MS. PHINNEY: -- copy them down as --

25 MR. MORGAN: -- and I can send a copy of

1 some BLM maps that have been designated, as well.

2 MS. PHINNEY: That would be very
3 helpful.

4 MR. MORGAN: Yeah.

5 MS. LUCKHARDT: Do you want it read into
6 the record so it's in the transcript?

7 MS. DYAS: That might actually be a good
8 idea, yes, please.

9 MS. LUCKHARDT: Okay.

10 MR. MORGAN: Okay. I apologize in
11 advance, then. For the Harper Lake alternative,
12 Township 11 North, Range 4 West, Sections 19, 29
13 through 32.

14 For the same alternative, Township 11
15 North, Range 5 West, Sections 13, 24 and 25 and
16 36.

17 For the Old Mine alternative, Township
18 10 North, Range 1 East, Sections 20 and 21 and
19 Sections 27 and 29.

20 AUDIENCE SPEAKER: Would you repeat that
21 last one?

22 MR. MORGAN: The Old Mine alternative is
23 Township 10 North, Range 1 East, Sections 20 to 21
24 and 27 through 29.

25 AUDIENCE SPEAKER: Thank you.

1 MS. PHINNEY: And I also wanted to find
2 out whether the applicant had identified any
3 environmental information and had that available
4 for those particular locations. Because, as you
5 know, the Energy Commission does a fairly detailed
6 analysis of site alternatives to projects,
7 typically what's done, and that would be useful to
8 the extent that the Energy Commission decided to
9 evaluate some of the alternative sites that you
10 have proposed.

11 MR. MORGAN: As far as I know we do not
12 have any environmental analysis of those sites.
13 We did a screening analysis to get from one region
14 to another. Pick a region and went deeper on this
15 region.

16 MS. PHINNEY: Thank you, those were my
17 questions.

18 MS. DYAS: Did the applicant have any
19 other concerns regarding the alternatives?

20 Tanya, did you have any comments on the
21 alternatives?

22 MS. GULESSERIAN: No.

23 MS. DYAS: Do any of the agencies have
24 comments on the alternatives responses?

25 MS. SPEAKER: No.

1 MS. DYAS: Anyone in the public have any
2 questions or comments on the responses for
3 alternatives?

4 Please state your name so --

5 MR. NOLEN: My name's Bob Nolen. I live
6 here in California Valley. Just curious, of these
7 alternatives you said you haven't identified
8 specific parcels? You haven't?

9 MR. MORGAN: That's correct. We looked
10 at certain sections in those larger townships. We
11 looked from a screening level analysis that looked
12 at transmission availability, solar resources, our
13 general feasibility assessment we do. Did not
14 actually go to the extent of identifying parcels
15 or contacting landowners.

16 MR. NOLEN: Okay.

17 MS. DYAS: Are there any other public
18 questions at this time?

19 Okay, we'll move on to land use.

20 MS. VAHIDI: I'm Negar Vahidi and I'm
21 the land use technical specialist for the
22 California Energy Commission on this project.

23 The data request for land use were
24 numbers 19 through 25 for those folks that want to
25 look at those.

1 There were a number of responses that
2 you couldn't give us because -- the applicant
3 couldn't provide to us because they indicated it
4 required coordination with the County Planning and
5 Building Department.

6 And staff did send a letter on February
7 6th to the County posing the same questions to
8 them, as well. And the County was nice enough to
9 provide us with responses in a letter dated
10 yesterday.

11 So, I think at this point the missing
12 responses, we think, are okay, based on the
13 responses from the County. And any further
14 clarification we're going to just work directly
15 with County Staff to clarify, as we're conducting
16 the analysis.

17 And specifically with regard to
18 conditions, we're going to work with them as we
19 find things. As we're doing the analysis we will
20 speak to them about the types of conditions they'd
21 want to seek.

22 MS. DYAS: Did the applicant want to
23 make any response to that?

24 MS. LUCKHARDT: No. It sounds like the
25 information exchange has occurred, and you're

1 getting the information that you need from the
2 County. And so we're here if there are any
3 additional questions.

4 MS. DYAS: Tanya, do you have any
5 questions?

6 MS. GULESSERIAN: No.

7 MS. DYAS: Do any of the agencies have
8 any comments or questions regarding this?

9 Does anyone in the public have --

10 MR. NOLEN: Bob Nolen again. As far as
11 under the building height it says that the
12 modified height will not exceed the life-saving
13 equipment capabilities of the fire protection
14 agency.

15 How are you going to deal with the local
16 station here being part-time? Has anybody
17 discussed that? That it's manned by volunteers,
18 what, Friday through Monday, I believe. So, has
19 anyone looked at that as possibly changing this to
20 a, you know, 24/7 staffed station in order to
21 provide the fire safety services for this?

22 MR. FONTANA: Perry Fontana with Carrizo
23 Energy. We have had initial discussions with the
24 fire department specifically going to your
25 question. I don't think a decision has been

1 reached or request been made from fire agencies
2 regarding whether or not they would see the need
3 for a full-time station.

4 We are continuing to coordinate with
5 them. But I don't think we have, at this point in
6 time, a specific answer to the question.

7 MS. DYAS: That question is on the
8 record, though, and we will be addressing it.

9 Does anyone else in the public have a
10 question or comment on land use? Thank you,
11 Negar.

12 The next topic is cultural resources.

13 MR. SPEAKER: Now we play musical
14 chairs.

15 MS. BASTIAN: Okay, thank you. I did
16 feel that -- I'm Beverly Bastian, CEC cultural
17 resources. I did feel that the responses to two
18 of my questions were deficient at this time. And
19 I do understand this had to do with insufficient
20 information yet available from the applicant.

21 Specifically I was asking about the
22 Morro Bay-Midway transmission line, and the Midway
23 Substation, both of which may have to be modified
24 to accommodate the new power that would be coming
25 out of the proposed plant.

1 And my questions had to do with
2 identifying whether these are significant
3 resources, and whether the potential impacts to
4 them would be significant.

5 And the applicant stated that they have
6 not yet received the -- it's called a system
7 impact study from PG&E. And I understand that
8 that's necessary before they can decide whether
9 their will be these impacts. And then decide if
10 they are significant.

11 But, it was not clear to me whether or
12 not it was the applicant's intent to indeed
13 provide that information, the historical
14 background and these calls as regards the
15 significance of both the resources and the impacts
16 on these two resources.

17 Do you expect to do that once you know
18 what the system impact study says, or --

19 MR. HOLLINS: We're anticipating the
20 system impact study to be available on, I believe,
21 March 20th. After that point, you know, we would
22 know a little bit more whether or not if the
23 transmission line would be impacted as a result of
24 the project.

25 And, you know, if it would be impacted,

1 you know, we would certainly look at it in terms
2 of cultural resource impacts and, you know, in
3 terms of --

4 AUDIENCE SPEAKER: Would you speak up?

5 MR. HOLLINS: Sorry about that. So just
6 to kind of paraphrase what I just said, as soon as
7 the system impact study is made available to us,
8 which is anticipated to be on March 20th, if it
9 does determine that the transmission line would be
10 impacted by the project, then we would look at
11 the, you know, potential impacts to the
12 significance, if it does, of the transmission
13 line.

14 MS. BASTIAN: And the substation, as
15 well?

16 MR. HOLLINS: Substation, as well, yes.

17 MS. BASTIAN: Okay. If it becomes an
18 issue at all I would like to say that I would
19 regard those impacts as part of the project. In
20 other words, even though it may be PG&E that does
21 this work, it's necessitated and a foreseeable
22 consequence of the project.

23 And therefore, under CEQA, it is a
24 potential impact and would require an evaluation,
25 and possibly mitigation.

1 So that's all I really needed to clarify
2 at this time.

3 MS. LUCKHARDT: I think we understand
4 that we just need to understand fully what the
5 impacts might be to the line and the station in
6 order to determine whether we're going to have
7 impacts to it or not.

8 MS. BASTIAN: Okay.

9 MS. DYAS: Thank you. Tanya, do you
10 have any comments on this?

11 MS. GULESSERIAN: Not at this time.

12 MS. DYAS: Thank you. Do any agencies
13 have any comments on the cultural resources
14 response? Any members of the public?

15 Okay, we'll move on now to biological
16 resources.

17 MR. McCOLLOUGH: Hello. I'm Brian
18 McCCollough with the California Energy Commission
19 biological resources. And we received your data
20 responses and thank you. For the most part the
21 data responses were adequate and we appreciate
22 that.

23 And I suspect that as far as lighting
24 plan measures go what was discussed were general
25 concepts as far as minimizing excessive lighting

1 and maintaining light only where necessary.

2 And that I'll be working with the visual
3 resources in evaluating the impact of site
4 lighting on biological resources.

5 And then the next item that I would like
6 to discuss was a discussion with the California
7 Department of Fish and Game that I had regarding
8 some of the biological surveys conducted. And as
9 last year was such a dry year the survey results
10 from last year may not necessarily be
11 representative of biological resources that could
12 potentially be on the site.

13 And so I wanted to facilitate a
14 discussion between the CEC, the applicant and the
15 Department of Fish and Game regarding how to
16 better categorize what resources are on the site.

17 MS. MILLER: I'm Theresa Miller from
18 URS. I did a lot of the bio surveys out there
19 last year. And we are currently coordinating with
20 CDFG on looking at further surveys for 2008. It
21 was a dry year last year, but the site is highly
22 disturbed, continually cultivated. And we're not
23 certain of the need for the rare plant surveys
24 because of that disturbance. I'm not sure how
25 many rare plants would occur on the site.

1 And also further discussing census
2 species surveys with CDFG and Fish and Wildlife at
3 this time.

4 MR. McCOLLOUGH: Thank you.

5 MS. DYAS: Tanya, do you --

6 MR. McCOLLOUGH: And in additional
7 discussions with the Department of Fish and Game,
8 and also regarding one of the data responses for
9 questions about proposed offsite habitat
10 compensation lands, one thing that should be
11 discussed further if the appropriate mitigation
12 ratio for the species that have been present on
13 the site.

14 And Fish and Game indicated that the
15 ratio was -- that an appropriate ratio would be
16 five-to-one for kit fox.

17 MS. MILLER: We're currently discussing
18 that with CDFG and also looking at lands that are
19 within the Carrisa Plain area looking at offsite
20 mitigation lands in that area.

21 So, based on the take, CDFG also said
22 they need to prepare a complete take and jeopardy
23 analysis before they decide on mitigation plan and
24 the ratios. So we're continuing discussions in
25 that area, as well.

1 MR. McCOLLOUGH: Very good.

2 MS. MILLER: And continue to give them
3 our information on surveys that we have done.

4 MR. McCOLLOUGH: Do we have an idea
5 about the timeframe for when we might have these
6 discussions finalized?

7 MS. MILLER: Probably a month or two.

8 MR. McCOLLOUGH: Okay. And we also
9 anticipate being part of these discussions, as
10 well.

11 MS. MILLER: Definitely.

12 MR. McCOLLOUGH: Definitely.

13 MS. DYAS: Tanya, did you say you had
14 something?

15 MS. GULESSERIAN: Not at this time,
16 thank you.

17 MS. DYAS: Do any agencies have any
18 comments on the biological resource responses? Do
19 any members of the public have any comments on the
20 biological resources?

21 MS. NOLEN: I'm Patty Nolen of the
22 California Valley. I know that the groundcover
23 out there is not I would say endangered or
24 special, but I think -- everything out there is
25 kind of a concern.

1 And I don't know, you say this is a
2 green project, but when you remove all the animals
3 off the site and all the plants off the site, it
4 leaves a sterile environment. It doesn't look too
5 green. Even though the technology is, it still --
6 there's a tradeoff, I'm sure. Thanks.

7 MS. HILLYARD: Sorry I wasn't quick
8 enough.

9 MS. DYAS: Oh, no, that's okay.

10 MS. HILLYARD: California Department of
11 Fish and Game. This is Deb Hillyard. We have
12 been having ongoing discussions with the Energy
13 Commission and applicant about information issues.
14 And those continue.

15 And I wanted to just clarify a few
16 things. We have a number of state and federally
17 listed species that are confirmed or have the
18 potential to occur onsite. That we're continuing
19 to work out the legal issues regarding permitting
20 authority and responsibility with the Energy
21 Commission.

22 We are proceeding under the assumption
23 that the Energy Commission and Fish and Game will
24 meet all of the requirements of the California
25 Endangered Species Act and other aspects of Fish

1 and Game Code, including those codes relating to
2 streams and other resources that come under our
3 purview.

4 And providing input to the CEC in our
5 role as an entrusted agency and a responsible
6 agency under CEQA.

7 We are working with the applicant to
8 make sure that we have biological surveys. Part
9 of the intent of doing biological surveys is to
10 determine not only presence, but also to have a
11 reasonable assurance of absence, if, in fact,
12 that's a conclusion that we draw from surveys that
13 are going to be done.

14 We need to have biological surveys in
15 order for the impact analysis to proceed. The
16 applicant indicated that we would want to see an
17 analysis of the impact of take, as well as a
18 jeopardy analysis.

19 Typically we rely on the applicant to
20 provide that information to us, but we can provide
21 guidance on what that would include.

22 We are concerned about direct loss of
23 habitat, as well as impacts on rare species and
24 other important wildlife species such as prong-
25 horn antelope and tule elk.

1 We are concerned about the indirect
2 effects on wildlife resources including lighting
3 and traffic.

4 And we will be providing direct guidance
5 through the CEC to the applicant in regards to
6 surveys that we would like to see completed out on
7 the site.

8 I think that we are definitely
9 interested in working with the timeframe that you
10 identified in the next one to two months, seeing
11 as how the surveys that we think might need to be
12 completed would need to be completed within that
13 timeframe. So if we don't work these things out
14 then we're looking at another year before we have
15 adequate information.

16 So, we remain committed to working with
17 the Commission and making sure that we have the
18 information that we need.

19 MS. DYAS: Thank you, Deborah. Any more
20 questions?

21 MR. HAYES: My name is Gordon Hayes, and
22 unlike Mr. Patterson, you'll hear what I say. We
23 can't hear you guys in the back of the room. When
24 you're talking and you get to the end of your
25 sentence you drop your voices and we lost

1 everything.

2 I would like to address the part on the
3 lighting, too. I live pretty close to this thing.
4 And you're not going to be able to wash those
5 things during 115 degree weather during the
6 summertime, so you're going to have to do it at
7 night. And the lighting part, it is going to ruin
8 everything for us right there where we live, to
9 clean these things.

10 I know you can't do it in 115 degrees
11 because whatever you do it with, if it's liquid
12 it's going to just evaporate just like that.

13 Thank you.

14 MR. STROBRIDGE: My name's Tim
15 Strobridge.

16 MS. LUCKHARDT: Actually, Tim, before
17 you start if we could just provide a response to
18 his question that would be helpful.

19 MR. STROBRIDGE: Sure.

20 MS. LUCKHARDT: Or a comment.

21 MS. LIEBA: Hi, this is Angela Lieba
22 from URS. I just wanted to provide -- can you
23 hear me? I'm going to put this right in front of
24 me, is that better?

25 AUDIENCE SPEAKERS: Yes.

1 MS. LIEBA: No problem. This is Angela
2 Lieba with URS. And I just wanted to provide a
3 response to the nighttime lighting because
4 obviously we had several comments about lighting
5 issues last time.

6 So we do have Amy Gramlich here for our
7 visual resources and lighting, but I just wanted
8 to make sure it's known that we're going to be
9 limiting nighttime lighting overall for the
10 project, trying to minimize temporary impacts
11 related to nighttime lighting wherever
12 practicable.

13 And Joe and Ken here from our project
14 engineering team can probably provide some
15 additional information about when nighttime
16 operations would occur. But currently we're only
17 planning to do necessary processes during the
18 night that cannot be performed during daytime
19 operations.

20 There are basically two primary
21 activities that would be performed on offpeak
22 hours due to temperatures. Those include pouring
23 concrete foundations. In addition -- and in
24 pouring concrete foundations, the typical highway
25 lighting would be used. And also during

1 millwright work.

2 Foundation pourings would happen
3 approximately once a month over the course of
4 about three to four months. Although the number
5 could feasibly average half a dozen nights in
6 total.

7 Millwright work requires smaller
8 portable halogen lights. These lights are not
9 pole-mounted, and would therefore have more
10 limited temporary impacts to the nighttime
11 lighting conditions.

12 So, I just wanted to provide that
13 additional input as far as what lighting is going
14 to be provided and when that lighting is going to
15 be occurring.

16 MR. STROBRIDGE: My name's Tim
17 Strobridge. This is the third meeting I've been
18 to. I brought up questions about several things
19 at each meeting. The first meeting I brought up
20 water. Couldn't answer my questions.

21 Brought up lights. Couldn't answer my
22 questions.

23 And actually, you know, if this project
24 is so well designed and planned, these questions,
25 you know, they should have all the answers right

1 upfront for us.

2 Well, my family owns -- well, we own 40
3 acres, 2800 feet behind this project site. And
4 we're building a house. We're not going anywhere.
5 And if this site is approved, well, you know, I'm
6 retired and I don't mind being a watchdog on this.
7 There's private property rights that people have
8 all over this country, and lighting, spills over
9 onto other people's land, as far as I'm concerned,
10 would -- if I own property adjacent to it, I would
11 object to it.

12 Noises. If they want to make noise on
13 their own property, that's fine. But I don't
14 think anybody else wants to listen to an
15 industrial site out here.

16 In this report you're talking about
17 sodium lights and mercury vapor lights and halogen
18 lights, and those are not low-level lumens.
19 They're bright; they're construction-type
20 lighting. They would be offensive from a
21 distance. They would be offensive close by.

22 There is a residence within three-tenths
23 of a mile of this site that's been left off of the
24 paperwork. I guess it's a modular, it doesn't
25 count, right? But there are people living there,

1 you know, they're neighbor people.

2 We're building a house 2800 feet from
3 it. And mainly I hope this project is shifted off
4 to another area. This is not the right place for
5 it. This is a pristine area, with wildlife, and
6 old ways of life out here. People that have lived
7 out here for generations, and you're going to be
8 changing a way of life for a lot of people.

9 Thank you.

10 MR. FONTANA: Mary, if I could, just to
11 provide some information. There were a number of
12 questions at the informational hearing and other
13 questions we have received.

14 We will be docketing, on the Energy
15 Commission website, responses to all of those
16 questions. We took the transcript from the
17 informational hearing and we've tried to address
18 every question in there.

19 So, that will be on the Energy
20 Commission website; and if people need us to send
21 them a copy directly, we would be happy to do
22 that.

23 MS. BELL: Hi, I'm Robin Bell. And
24 regarding the lighting, I was disappointed to see
25 the specifications of the plant lighting, or

1 actually lack of them.

2 And one of the reasons I thought for
3 getting all this information was to determine its
4 effect on wildlife. Is this as far as it's going
5 to go for you to be able to determine the effect
6 on wildlife, just as minimal as possible? Or are
7 you going to really get some specific numbers to
8 work with?

9 MR. McCOLLOUGH: I anticipate that we
10 will have more concrete data to work with.

11 MS. BELL: Okay, so this is not enough
12 to make a judgment on what it will affect, then,
13 correct?

14 MR. McCOLLOUGH: I believe so.

15 MS. BELL: Okay. And then the other
16 question is about construction lighting. And that
17 I'm wondering, and again it's more information I
18 suppose, that would affect wildlife and residents,
19 is how many of those big construction lights?
20 Especially when I believe those condensers are
21 25,000 square footprint. So I would assume that
22 would take many.

23 Plus, also, I'm thinking that it's
24 pretty optimistic to think that pouring concrete
25 and was it millwrights were the only occupation

1 that would happen at night. Especially when, you
2 know, by 11:00 you can't work out here. And if
3 your hours -- in the summer, if your hours are
4 going to be 7:00 to 7:00, that really leaves you
5 four hours a day to work.

6 So, I don't really think that that
7 estimate is realistic. And I think that that
8 should be looked at. I would like to know if you
9 guys are going to be able to do that in that
10 timeframe. Because I don't think guys will be
11 welding in 110 degree weather.

12 MS. HOLMES: Maybe I can provide a
13 little bit of information. Nighttime operations
14 are typically concerns. And as a result of that
15 the Energy Commission typically includes in its
16 licensing conditions specific prohibitions against
17 operating outside of certain hours.

18 So, I don't know that the hours that
19 they have proposed are the hours that would
20 ultimately be adopted by the Commission. The
21 Commission may adopt more stringent requirements
22 in terms of nighttime work or lighting. But those
23 would be enforced with conditions of
24 certification.

25 It's not as though we're trusting them

1 simply to say that's what they're going to do and
2 not say anything about it in the decision. It's
3 included as a specific requirement.

4 And there are consequences, financial
5 and otherwise, for violating those conditions.

6 MS. BELL: Great. And so I would
7 assume, and not to jump ahead, but like the same
8 kind of outline would apply to noise during
9 construction? That would all be minimized?

10 MS. HOLMES: Yes. Yes, and noise is
11 typically -- there's a number of ways that we do
12 it. We obviously have to estimate noise at this
13 point. I don't want to get ahead into -- do we
14 have noise as a topic or not?

15 MS. DYAS: There was only one comment.

16 MS. HOLMES: Okay. Noise has to be
17 estimated at this point. And we do that, and they
18 do that, through models. But then we require that
19 after the work begins, and also -- for
20 construction purposes and also for operation
21 purposes, we typically require that there be
22 actual measurements taken to see whether or not
23 they're complying with the conditions.

24 And if they're not then they have to go
25 back and do more work to make sure that they

1 comply with them. So, yeah, there is a mechanism
2 there to insure that those levels are met.

3 MS. BELL: Okay, great. Thank you.

4 MS. FRENCH: Hi, I'm Louise French. Can
5 I be heard back there, I hope? I just want to
6 speak up a little bit for some of those little
7 bitty guys of the biological resources, the little
8 mice and everybody calls them vermin. And the
9 basis of the food chain that's very necessary for
10 the raptors and then for the coyotes and for all
11 the other predators that inhabit this beautiful
12 plain out here. And you can see them going across
13 the cultivated fields, as well as the uncultivated
14 fields. They are there.

15 And I don't know what your plans are for
16 handling mice with your wires and everything, but
17 are these little guys going to be able to survive
18 there still? And what do you do about all the
19 insects? This basis of the whole biological chain
20 is needed. And what kind of environment is going
21 to be left when you have there? Is this
22 mitigatable or is it non-mitigatable?

23 As we rode the bus last time there was
24 this beautiful golden eagle that took off from the
25 fence on the PG&E property right there. He's the

1 top of the food chain. But we need them all.

2 MS. MILLER: There will be a -- I also
3 wanted to respond to an earlier comment first
4 regarding the sterilizing the site. We won't be
5 sterilizing the site. Vegetation control is only
6 anticipated with topical herbicides. Otherwise
7 we're not clearing all vegetation in that manner.

8 As far as the mice and other rodents
9 that would use the site, there will be mitigation
10 for any of the land that is taken. So, whether
11 it's onsite or within the Carrisa Plain or nearby,
12 there will be mitigation for all the land that is
13 removed or otherwise impacted.

14 MR. HAYES: My name is Gordon Hayes,
15 again. Why should we have to go and look up on
16 the internet? I'm tired of looking up all this
17 stuff on the internet.

18 You have not given us one answer. The
19 only thing you can say is I don't have it right
20 now, but I'll get back to you. Now, you want to
21 put it on a piece of paper out here, come and look
22 at the people in the eye and tell us the answers
23 to the questions. Instead of writing it all down
24 where everybody gets in a meeting room and then
25 they can just dazzle us with all the other stuff.

1 Put it out in words and face somebody
2 directly in the face. When we first came to the
3 very first meeting you said 11 times, we think.
4 It was nothing that I know, we know. It's we
5 think.

6 You don't have the positive that you
7 know. This whole project is -- all it is is an
8 experiment.

9 MR. FONTANA: I think there are handouts
10 here with responses to data requests, responses to
11 other comments. We will be producing, as
12 indicated, be docketing very soon other responses.
13 And we are happy to provide directly to folks so
14 that they have that information.

15 MR. BELL: Hi. My name's Jim Bell, and
16 I live about a mile from the proposed site. I'm
17 coming back to the lighting issue. It was
18 answered a little bit, but if you don't mind, I
19 mean, what kind of came along as, gee, we're going
20 to keep it as low as possible. And then I hear
21 you say that's good with us.

22 When will the plan be initiated? Will
23 it be reviewable by the public, by the people that
24 live here? And so that we can get a good layman's
25 feel of how this is going to impact the lighting,

1 especially within a mile.

2 MS. DYAS: As far as responses from the
3 Energy Commission, sometime, I believe our initial
4 deadline is June 1st for filing our preliminary
5 staff assessment. We are going to, like I said,
6 the comments that have been filed so far have been
7 passed out to staff to review for their -- during,
8 while they're doing their analysis.

9 And we will have a section in each topic
10 area, like we're covering tonight, you know, the
11 different technical areas, each area will have a
12 response to public comment and agency comment
13 section so that you will be able to see that your
14 answers -- or that your questions are -- and it'll
15 probably spell out where in that particular
16 section the question is being answered.

17 MR. BELL: Well, the question would be
18 is there going to be a plan? And will it be
19 reviewable by the people? And is that by the time
20 you make --

21 MS. DYAS: Right, and then once --

22 MR. BELL: -- your recommendation?

23 MS. DYAS: Right, when we -- no. No.
24 When we file our preliminary staff assessment
25 that's what it is, it's preliminary.

1 MR. BELL: Um-hum.

2 MS. DYAS: It's staff's first cut at
3 their analysis. And that will be put out for
4 public review. And there will be a 30-day review
5 comment period where you will be able to look at
6 it and say, well, that doesn't address it.

7 And then that's when we will be having a
8 workshop --

9 MR. BELL: Afterwards.

10 MS. DYAS: -- afterwards --

11 MR. BELL: Okay.

12 MS. DYAS: -- to discuss --

13 MR. BELL: So somewhere along the line -

14 -

15 MS. DYAS: -- the preliminary staff
16 assessment.

17 MR. BELL: -- we can expect a plan?

18 MS. DYAS: Oh, yes.

19 MR. BELL: Okay.

20 MS. DYAS: Yeah.

21 MR. BELL: That's what I was -- that's
22 the basic question.

23 MS. DYAS: Well, and --

24 MR. BELL: Pardon?

25 MR. McCOLLOUGH: Yeah, I expect to

1 find --

2 MR. BELL: Okay, we hope so.

3 MS. DYAS: Right, and the lighting issue
4 will be handled more in the visual resources
5 section as opposed to the biology. They
6 coordinate to cover the biological part of it, but
7 it's more of a visual issue than a biological
8 issue.

9 MR. BELL: I just brought it up because
10 it's under that heading that you were talking
11 about.

12 MS. DYAS: Right. No, that's fine.
13 Were there any other comments on the biological
14 issues responses? Okay, thank you, Brian.

15 The next topic is traffic and
16 transportation.

17 MR. RICKS: My name is Jason Ricks; I'm
18 a transportation and traffic specialist with the -
19 - working for the CEC.

20 I have three questions. The first, has
21 a haul route been identified for deliveries of
22 materials during construction to the site?

23 MR. FONTANA: One of the things before
24 we get into the detailed traffic discussion, that
25 I wanted to let people know that we just discussed

1 with the Energy Commission, it's in response to
2 some of the public comments and obviously concerns
3 over truck traffic on highway 58.

4 We are going to be providing a
5 supplemental filing to the Energy Commission and
6 to the public that outlines our plan to do some
7 limited manufacturing on the site during
8 construction. That will have a significant
9 reduction in truck trips which we think will be
10 beneficial to the project and something that we
11 can definitely accommodate.

12 So there will be -- traffic will be one
13 of the sections that we'll get a significant
14 revision in the supplemental filing to address
15 that component of the project.

16 MR. RICKS: So currently a haul route
17 has not been identified?

18 (Pause.)

19 MR. McINTOSH: Hello. I'm Sam McIntosh;
20 I'm Vice President of Construction for Ausra.
21 It's my responsibility to construct this facility.

22 We are currently looking at a haul
23 route, multiple alternatives for haul routes.
24 Clearly highway 58 is where we have to get to and
25 the project site, and we're looking at various

1 alternatives coming from both the east and the
2 west.

3 It's clear that the north is not a
4 mechanism to get you to the site, so -- we're also
5 looking at container orientation so that it fits
6 onsite on highway 58 in accordance with what
7 Caltrans expects.

8 We have not identified the exact haul
9 routes, though.

10 MR. RICKS: My other two questions may
11 sound like they're probably under review
12 currently, but I'll ask them anyway now.

13 As you probably know, state route 58 is
14 restricted truck route, or has a truck route
15 advisory by Caltrans, limited to truck-trailers to
16 a certain size. But a KP/RA ratio of less than 30
17 feet, kingpin to rear axle, which means the trucks
18 used for deliveries have to be smaller than a
19 standard truck.

20 And I was wondering if that was taken
21 into consideration when the traffic study was
22 completed.

23 MR. DORE: Yes, it was.

24 MR. RICKS: It was, okay. And also the
25 AFC identifies that large and heavy equipment

1 would need to be delivered to the site. And I was
2 wondering if it's been verified that that
3 equipment would fit on the smaller trailers.

4 MR. DORE: This is George Dore. To the
5 extent that we have equipment identified, yes,
6 that has been included.

7 MS. LUCKHARDT: That's also part of the
8 reason why Carrizo has shifted to doing more
9 manufacturing onsite, is to bring the pieces in in
10 smaller sizes and fewer trucks. And so they won't
11 have to bring as large of the pieces in at a time.

12 And I'll let Perry or someone else --
13 okay.

14 MR. RICKS: Okay, that's all I had.

15 MS. DYAS: Tanya, did you have any
16 questions?

17 MS. GULESSERIAN: Not at this time,
18 thank you.

19 MS. DYAS: Do any of the agencies have
20 comments?

21 MR. KILMER: Caltrans, development
22 review. I have a couple questions regarding
23 access to 58. Has, in fact, a very specific site
24 for the driveways for both the staging area and
25 the final ingress/egress been established?

1 And, two, are you planning to come in to
2 get a permit from us? Or is it my understanding
3 that you don't need a permit from us?

4 Typically if you want to do any
5 improvements on a facility or cut the fence for a
6 new ingress/egress, you would have to come in for
7 an encroachment permit. We encourage you to come
8 in early if you have both of those sites located
9 so we can discuss any sort of operational problems
10 that may exist such as site distance or safety
11 issues like that.

12 MR. DORE: At this time there is no new
13 connection to the sites or improvements through
14 state route 58. However, we will secure
15 encroachment permits for all traffic crossings
16 within 58.

17 There's a laydown area that has been
18 identified on the south side of the road that
19 would have to be done with a encroachment permit.
20 And would be done at such time as it's deemed
21 necessary.

22 MR. KILMER: Okay.

23 MS. LUCKHARDT: And we appreciate your
24 comments. It's helpful to understand from
25 agencies what kind of lead time and advance notice

1 and information they need, so it's very helpful to
2 have your comments on it.

3 MR. KILMER: Thank you. We just
4 encourage early consultation to forestall any
5 problems. Thank you.

6 MS. DYAS: Any other agency comments?
7 Any public comments on traffic and transportation?

8 MR. RUSKAVITCH: My name's John
9 Ruskavitch. I live out here on the Plains. I
10 submitted a 22-page report. I tried to make it as
11 small as possible.

12 First off, when are we going to get told
13 in your decisions on that report? Because this is
14 the highway 58 report. URS, who had it rated as
15 an A rating, one of their many many nontruths.
16 Right here, highway 58 is rated an E, a C and a D.

17 There's a CHP report I'm going to give
18 to the Board tonight, too. They let us local
19 truckers out here because we live here and we know
20 the road. You can't bring interstate trucks over
21 highway 58. Only local trucks.

22 The only way you can do this is to bring
23 them through Paso Robles. Then that drops onto
24 the county; you're not paying any taxes to
25 maintain the roads.

1 Or Bitterwater. You come up Soda Lake
2 Road about 30 miles, that's dirt, through the
3 Monument. They don't want you, either.

4 So just to start out, URS, I'd like to
5 talk to you after this meeting and explain a few
6 of the problems you have with your report, because
7 I've been in construction for many years and I
8 know what I'm reading. And it's a lot of false.

9 But just to start out, highway 58, you
10 can't bring interstate trucks over it. If you do
11 smaller trucks like you're talking, you're going
12 to triple the pollution factor. Anybody knows the
13 bigger the truck the more energy -- you know, it
14 burns cleaner. If you bring it all over on
15 pickups you're causing a mess.

16 So, here is to start. And do you have
17 any idea when you're going to answer my questions?

18 MS. DYAS: Well, as I had mentioned with
19 the others, the questions that have been turned
20 in, like yours and Robin's, and have been
21 distributed to staff. And that's the whole
22 purpose of their analysis.

23 And they are taking those questions that
24 have been asked into consideration during their
25 analysis. When we publish our preliminary staff

1 assessment, like I said, there will be a section
2 in there for responses to public comment and
3 questions. And that's where we, as the Energy
4 Commission, will be responding to your questions.

5 I believe Perry is going to be filing
6 tomorrow responses, you know, that are going to be
7 docketed and distributed to staff, as well, and be
8 made available to the public, the responses to
9 your questions.

10 MR. RUSKAVITCH: Okay, because so far
11 everybody's just kind of batting around. But --

12 MS. DYAS: Well, no, that's as far as
13 our process --

14 MR. RUSKAVITCH: -- this is, I mean this
15 is so easy for me to get. And I don't know why
16 URS did not find out this road was not suitable
17 for truck traffic. It's so easy to bring it up in
18 Caltrans.

19 The only A category is over the
20 Tehachapis, not out here. You have 1900 vehicles
21 per hour in each lane. Where the hell do you get
22 that figure from? I mean, that's all part of the
23 problem.

24 So, here's to start. Hats off to the
25 Highway Patrol --

1 MR. RICKS: The TCR report, you have a
2 copy of that, too.

3 (Pause.)

4 MS. HARVEY: Thank you. My name is
5 Susan Harvey and I represent --

6 MS. LUCKHARDT: Can we have just a
7 second. We need to --

8 MS. HARVEY: I'm sorry.

9 MS. LUCKHARDT: Some of the concerns
10 that we've heard and that we're trying to address
11 today are that the project has not responded to
12 questions that people have asked during previous
13 hearings and workshops.

14 And so we've brought a lot of folks here
15 today who have area-specific knowledge and are
16 here to help answer as many questions as we can.

17 We are filing responses to the comment
18 letter that Mr. Ruskavitch filed earlier with the
19 Energy Commission. We intend to file those, a
20 full written response, either Friday or the
21 following Monday.

22 And then I'll let our traffic specialist
23 respond to the comments about the ratings on the
24 roads.

25 MR. DORE: The level of service rating

1 is set by the Highway Capacity Manual. And it's
2 on an hourly basis. The hourly volumes that we
3 get from Caltrans says that the volumes are about
4 50 cars an hour on this section of highway 58.
5 That, if you go into the processes, that's a level
6 service A.

7 Now, the 1900 cars an hour, that's
8 capacity for a two-lane road. We are nowhere near
9 the capacity of a two-lane road with a traffic
10 volume of 50 to 80 cars an hour. That's the level
11 of service A that's referred to.

12 Now, condition, that's a whole separate
13 discussion. And we'll leave that for --

14 MR. RUSKAVITCH: Because you need to
15 change your report because it's wrong.

16 AUDIENCE SPEAKER: You didn't do your
17 homework.

18 MS. DYAS: Were there any other public
19 comments on this?

20 MS. HARVEY: Thank you very much. Susan
21 Harvey, North County Watch. I was concerned when
22 you were talking about alternate routes in here.
23 The only alternate routes, of course, would be
24 unpaved roads; it would be Soda Lake Road or
25 Bitterwater Road. And we'd have a huge problem

1 then with fugitive dust from those, plus the
2 inadequacy of the roads. And in the winter they'd
3 generally be impassable.

4 So I have a concern if you're going to
5 have any traffic come over those, be they
6 construction workers or equipment. I believe
7 you'll have to study what the air quality impacts
8 of that will be, you know, under CEQA.

9 And also the issue of construction
10 workers coming in or employees. I would hope
11 someone would consider as an alternative that the
12 construction workers or the employees could be
13 bused in and out, rather than everyone bringing
14 their individual transportation.

15 Thank you.

16 MR. DORE: Addressing the construction
17 issues. The issue of bringing them in on buses is
18 addressed in the document, and what has been
19 proposed.

20 We have not proposed using unpaved roads
21 at all for any of the haul routes.

22 MS. BELL: Hi. Robin Bell. And I had
23 asked Perry Fontana this question, and he thought
24 that me might have an answer. And if he doesn't,
25 maybe -- I'm not sure, I couldn't quite hear, is

1 anybody from CURE here?

2 MS. GULESSERIAN: Yes.

3 MS. BELL: Oh, okay. Will it be
4 mandatory for the workers to come in on the bus?
5 Or will they be able to drive their own cars?
6 And, if so, that traffic should be considered in
7 the count rather than nine buses, I think.

8 MS. GULESSERIAN: CURE does not have an
9 answer to that question.

10 MR. McINTOSH: It's difficult to force
11 workers -- this is Sam McIntosh with Ausra. It's
12 difficult to force workers to use a mode of
13 transportation that's provided for them. But it
14 certainly is within our means to entice them and
15 otherwise provide a suitable alternative to them
16 using their own vehicles.

17 So we anticipate that buses will be an
18 attractive alternative to driving their own
19 vehicles.

20 MS. BELL: But not mandatory. So,
21 perhaps, the full volume should be considered.

22 MR. NOLEN: Bob Nolen, again. First,
23 you just mentioned that because of the size
24 limitations you can bring more material in for
25 onsite construction. Wouldn't that actually

1 increase the number of trips and not reduce them?

2 You said you're trying to reduce them.

3 MR. McINTOSH: Because the manufacturing
4 -- this is Sam McIntosh, again -- manufacturing
5 actually uses raw material that's more densely
6 packed. And so when those assemblies are made,
7 they take up more volume. And therefore we reduce
8 the traffic, the trip count, because the trucks
9 are loaded more densely.

10 MR. NOLEN: Which way are you going to
11 be bringing in the majority of this stuff? Just
12 kind of curious. I mean it's coming from
13 Bakersfield, or is it coming from 101?

14 MR. McINTOSH: I'm not sure that we have
15 the exact answer for that. We're trying to get
16 some local goods and services, so that's sort of
17 our objective. We haven't actually procured
18 anything.

19 MR. NOLEN: And as far as, I think you
20 called it a class A road out here. Where was that
21 the term? Is that people just driving around in
22 the Valley here? Are those people actually
23 leaving the Valley and coming back? Is that --
24 that seems kind of high to me.

25 MR. DORE: This is George Dore. The

1 level of service is based entirely on the traffic
2 counts that we get from Caltrans.

3 MR. NOLEN: Okay.

4 MR. DORE: It's a road tube that's
5 strung out and just counts cars as they go past
6 the site.

7 MR. NOLEN: Okay. And the last
8 question, since you're going to be bringing stuff
9 in from the east, has anyone talked with San Luis
10 Obispo County about road maintenance when that
11 highway gets shut down with snow? Because it's
12 the last place in the County to ever see a plow.

13 (Laughter.)

14 MS. HOLMES: Can I just -- I want to
15 talk about, I think that what I'm hearing people
16 talk about is three different issues. One is the
17 amount of traffic; number two is the physical
18 condition of the road and potential deterioration
19 of the road; and the third is safety associated
20 with travel over the roads.

21 And we will be looking at all of those.
22 I don't know what we're going to say for this
23 project, but I do know that we need to look at
24 them differently and mitigation can be different
25 for different types of issues.

1 For example, for road damage sometimes
2 we require photographs of roads before
3 construction traffic and after, and we require the
4 applicant to repair the roads to the condition
5 that they were in prior to the construction.

6 For safety concerns we have required
7 flagging; we have required signage; we have
8 required road improvements. There's a variety of
9 things.

10 So, we are looking at all three issues
11 and they will get addressed. But I just want to
12 make sure that we distinguish as we go forward and
13 talk about traffic, to be clear about which
14 specific kind of traffic issue people are
15 addressing.

16 So, now you probably have a response.

17 MS. LUCKHARDT: Yeah. I think there is
18 a certain amount of different things that folks
19 are talking about. And I think, you know, there's
20 some confusion about when we talk about level of
21 surface A, that level of surface A simply
22 addresses how many cars drive across the road. It
23 doesn't address some of the things that Caryn was
24 talking about. You know, with the turns in the
25 road and the turning radius and how big the truck

1 is you can bring in.

2 Level surface A simply addresses how
3 many cars and trucks are actually traveling on
4 that road.

5 And so I think that there are just some
6 different categories there that they're maybe
7 creating some confusion.

8 MR. RUSKAVITCH: John Ruskavitch, again.
9 Isn't it true you're opening up a manufacturing
10 plant in Las Vegas, Nevada, south of town, off of
11 highway 15? And isn't this where the majority of
12 the parts are going to be manufactured?

13 Now, if you put them in small container-
14 type trailers you have to come over the Tehachapi
15 truck scale. So what you're looking at is weight
16 factor of less than 72,000 pounds overall gross to
17 load in Las Vegas, with 30-foot long trailers, to
18 come over highway 58?

19 So you're not even maximizing what a
20 normal semi can haul. So are you manufacturing in
21 Vegas or not?

22 MR. FONTANA: We do have a manufacturing
23 facility in Las Vegas, but by moving limited
24 manufacturing onto the site we'll be shipping raw
25 materials directly to the site.

1 As Sam McIntosh indicated, we have not
2 done procurement yet. But I can say that all of
3 the materials are not going to come from Las
4 Vegas. We'll have raw materials shipped here to
5 the site.

6 And as Sam also indicated, the reason we
7 expect the reduction in truck trips is when our
8 assemblies are together, frankly the space frames,
9 you'd be shipping a lot of air on the truck. And
10 by shipping the raw materials you can avoid some
11 of that.

12 MR. RUSKAVITCH: But isn't this going to
13 be mainly stainless steel? What is the main
14 number one material used?

15 I've been in the interstate trucking
16 business since 1987, so that's why I kind of know
17 the business. And I know where all the brokers
18 and the majority of material comes from. So you
19 can't kind of tell me something that I don't, you
20 know, -- I know what I'm talking about when it
21 comes to that industry.

22 MR. McINTOSH: You asked about whether
23 the majority of the material is stainless steel.
24 No, it's carbon steel, the majority of the
25 material.

1 MR. RUSKAVITCH: And where's the
2 manufacturing that you're going to bid from?

3 MR. McINTOSH: The manufacturing of
4 carbon steel occurs all across the world -- all
5 around the world. And then those components are
6 fabricated in various fabrication shops.

7 And then we bring that fabricated raw
8 material in and form sub-assemblies --

9 MR. RUSKAVITCH: Like out of China?

10 MR. McINTOSH: And those sub-assemblies
11 are then formed into full assemblies. Like out of
12 China for what particular?

13 MR. RUSKAVITCH: For the carbon steel.
14 Most of the mills here in the United States are
15 being shut down.

16 MR. McINTOSH: I think Newcore would
17 argue that.

18 MR. RUSKAVITCH: Where?

19 MR. McINTOSH: Newcore.

20 MR. RUSKAVITCH: Where's that at
21 exactly?

22 MR. McINTOSH: Newcore manufacturers and
23 fabricates steel all over the United States.

24 MR. RUSKAVITCH: Where's the -- I'm just
25 asking because, you know, you would start bidding

1 to figure out how much your product is going to be
2 to buy to build this, along with your
3 transportation.

4 When I go into a bank I have to know
5 exactly where things are coming from before the
6 bank even talks to me about buying any equipment.
7 I mean it's more of I-don't-know routine.

8 And, you know, it's kind of getting a
9 little bit tiring, guys. Three meetings. I mean
10 you should have heard the presentation that
11 Walmart had in Atascadero last night. Those
12 people are very sharp. And they've been on the
13 news and the radio, and they know it's not well,
14 we have to look and we have to research. We know
15 where everything's coming from and how it's going
16 to get there, and what impact it's going to do to
17 everything. Not more studies.

18 MR. McINTOSH: Sounds like you're very
19 informed on the commodity pricing of steel, which
20 actually fluctuates on a daily market price. And
21 procurement of that material will occur
22 essentially just in time. And at that point we'll
23 pick where the most cost effective and appropriate
24 solution provider is providing material from.

25 MS. NOLEN: Patty Nolen, California

1 Valley. At night from my home I can see the
2 traffic on highway 58. And literally, for every,
3 you know, time that we sit on the porch we can
4 count how many cars go down that road.

5 Fifty to 80? My husband drives the
6 route every morning. He passes maybe two people.
7 So obviously they're all going on way.

8 The commute you're listing is an hour
9 and a half for the average worker at this place;
10 it's not out here. It's Bakersfield, San Luis
11 Obispo and Paso Robles. Gas ain't cheap. And
12 hopefully we'll work some kind of carpooling
13 system out. Highly unlikely.

14 Like the Owens Dry Lake area can prove
15 to you is statistically -- nod your head all you
16 want -- more people, more emissions, more
17 accidents. This is an extremely rural area out
18 here. And the last people we had out here that
19 were in a situation that was of dire necessity
20 were some old folks that -- our valley for six
21 days.

22 So, as far as that CDF station out here,
23 you can see how good it is. It's open, what,
24 three days a week, four days a week. And it's a
25 crap shoot. For six days elderly people, no food,

1 not water, no help. Think about that.

2 I travel highway 58 on a regular basis.
3 I'm cut off all the time by large vehicles,
4 flatbeds, people coming home, you know, quickly
5 from where they've been working in San Luis Obispo
6 heading to Kern County.

7 It is a dangerous, dangerous road. And
8 only people who have been driving it for many many
9 years really know what they're talking about. It
10 has no railings. People go straight off those
11 edges and you don't ever see them again.

12 And you're bringing people out here who
13 don't know those roads. And quite frankly I don't
14 think you're going to have any workshops to tell
15 them how to drive out here.

16 And just like the Owens Dry Lake, more
17 people means more problems out in our area, more
18 vandalism, more offroaders because they know that
19 this area has very little oversight.

20 So, when you're bringing all these
21 workers into our area on these roads and
22 everything else, think of all the damage they're
23 going to basically impact our area, besides what
24 you're talking about.

25 I really think you need to think about

1 those things.

2 MS. DYAS: Thank you, Patty. Are there
3 any other public comments?

4 MR. YOUNG: Fred Young, local resident.
5 I'm having trouble hearing so I'm going to try and
6 yell. Because I figure if I'm having trouble
7 hearing them, they're going to have trouble
8 hearing me.

9 I was waiting for somebody to bring up
10 an issue that came up last time, or at least that
11 occurred to me and some others here. I was
12 waiting for somebody else because I'm real
13 uncomfortable getting up here. Especially with my
14 back to the audience. You know, if I say
15 something wrong they may start throwing things at
16 me.

17 (Laughter.)

18 MR. YOUNG: No, just kidding. The last
19 meeting they talked about the project site on one
20 side of route 58, and the laydown area on the
21 other side of route 58.

22 Now, I know these construction people
23 are used to going across roads. But this is the
24 only road, the only main road in and out of here.
25 And we have all this land.

1 So the question is simple, why does the
2 laydown area have to be across 58 from the project
3 site area?

4 MR. FONTANA: The main reason for the
5 laydown area across highway 58 is that as we build
6 out the site, the solar field will occupy the
7 entire site. And the piece of property that we
8 were able to secure was the property to the south
9 of highway 58.

10 MS. DYAS: Are there any more traffic
11 comments?

12 MR. BELL: Hi. My name's Jim Bell. And
13 it's basically a comment; it's not a question. I
14 was a little flabbergasted by what I heard here
15 today with regard to you're so far into this
16 project, and what I'm getting out of this you
17 haven't even determined a legal way to get your
18 stuff to the site.

19 And I'm a little amazed at the staff
20 that you wouldn't have recognized this as a
21 problem and brought it up.

22 That's it.

23 MS. DYAS: Thank you for your comment,
24 Jim.

25 We'll move on to the soils and water

1 resources now.

2 (Pause.)

3 MS. DYAS: Before we get started with
4 the soil and water, let's take a 15-minute break.
5 I believe there is chili and -- so we'll start
6 back up at 6:45.

7 (Brief recess.)

8 MS. DYAS: We have one comment regarding
9 the traffic and transportation, just to get it on
10 the record.

11 MR. RICKS: I just wanted to respond
12 quickly to the comment about Caltrans designating
13 state highway 58 as a level service E roadway.

14 The TCR report that they published in
15 2000 is actually -- the level service E is the
16 projected level of service in the year 2023. The
17 year the study was done the level service was
18 recorded as level C. And the data in the AFC is
19 Caltrans data from 2006, I believe, and that's
20 where the level service A came from.

21 So I just wanted to clear that up.
22 Thank you.

23 MS. HOLMES: I just wanted to address
24 two topics really quickly before we get started
25 again. First of all, as Mary said when we

1 started, our objective here tonight is to get the
2 data responses that we received from the applicant
3 clarified to the extent that we need
4 clarification.

5 Secondly, we want to hear from you in
6 terms of your specific concerns that may not have
7 been addressed in the data responses or in the
8 staff's data requests.

9 And I'm asking that you please stick to
10 the specific issues that you're concerned about.
11 We want to be able to respond to your specific
12 questions. You're telling us that you don't like
13 the applicant or you don't think they're a good
14 business, or things like that don't help us get
15 the information that we need in order to respond
16 to your concerns and prepare a PSA.

17 So, please, let's focus on the specific
18 technical issues tonight and I think it'll go a
19 lot better. I think that we'll be able to get our
20 responses to you about your concerns faster if we
21 can do that.

22 Second, I want to say that I sense that
23 there's a lot of frustration that there is not
24 specific information. And I want you to trust me
25 on this, it's because of the stage that we are in

1 in this process. We don't have a staff analysis
2 yet. We are collecting information.

3 And the questions that you have raised
4 will be addressed in the staff's preliminary staff
5 assessment.

6 So I understand that you want the
7 information now. We'd love to have the analysis
8 complete now, but we don't. We have to take the
9 information that we collect from other agencies,
10 from members of the public about their concerns,
11 from the applicant and from other sources that we
12 can find and try to put it all together and
13 address all pieces of it together.

14 When we do that we will have an
15 assessment. I'm not saying that you'll
16 necessarily agree with how we've addressed all of
17 the issues, but the issues will be addressed. And
18 you'll have an opportunity at workshops to ask us
19 questions about how we considered the various
20 pieces of information that went into our analysis.

21 So, let's move forward and stay focused
22 on the technical topics so that we can get the
23 questions answered.

24 Thank you, Mary.

25 MS. DYAS: Okay, we're going to be

1 starting with the soil and water topic.

2 MR. LINDLEY: Hi. I'm Mark Lindley; I'm
3 working with the Energy Commission on the soil and
4 water issue.

5 I provided a series of data requests
6 covering water supply, stormwater management,
7 wastewater discharge, water quality and soil
8 resources to the applicant.

9 On the whole I was relatively happy with
10 the responses I received from the applicant. They
11 were very helpful in providing a better
12 understanding of --

13 (Audience speaking simultaneously.)

14 MR. LINDLEY: They were very helpful in
15 providing a better understanding of water use at
16 the site, and how water will be managed at the
17 site.

18 I do have some followup questions for
19 the applicant that I'd like to pose to them, and
20 hopefully -- I know they may not be able to answer
21 them completely right now, but at least this will
22 help them to provide answers, better answers in
23 the future.

24 One thing that came out from some of the
25 back-and-forth between the public and the

1 applicant and at the meeting we had in January was
2 the concern over water use and quantity of water
3 that's going to be drawn from the groundwater
4 aquifer.

5 And then another thing that came up was
6 that the site was going to be landscaped around
7 the fringe or the perimeter of the site. And I
8 was wondering if the water use estimate of 22
9 acrefeet per year that's included in the AFC, if
10 that includes any irrigation for the landscaping
11 onsite. And whether that number needed to be
12 revised to account for that irrigation.

13 MS. LUCKHARDT: Okay, before we get into
14 that specific question, which I appreciate and
15 I'll have these guys introduce themselves again
16 and respond to, we need to clarify one thing.

17 In determining the peak water usage for
18 the project we found an error in the numbers that
19 were provided in the AFC and in the initial data
20 responses. The numbers that were in that showed a
21 maximum daily use of 700,000 gallons per day.
22 That number is incorrect. the correct number is
23 74,000 gallons per day. That is the approximately
24 once-a-year occurrence. That is the maximum water
25 use for one day.

1 In addition, the average daily water
2 use --

3 MR. SCOTT: Yeah, that's for the entire
4 year, but --

5 MS. LUCKHARDT: -- for the entire year -
6 -

7 MR. SCOTT: -- 13 gallons per minute.

8 MS. LUCKHARDT: But that's not changed.

9 MR. SCOTT: No.

10 MS. LUCKHARDT: That hasn't changed.

11 Yeah, just the acrefeet per year was listed at
12 21.8 acrefeet per year. The corrected value is
13 20.8, or rounded up to 21.

14 MR. LINDLEY: Okay --

15 MS. LUCKHARDT: And then I'll let --

16 MR. LINDLEY: -- 20.8 acrefeet per year.

17 MS. LUCKHARDT: Right.

18 MR. LINDLEY: And that's your average
19 annual water use, or your projected maximum?

20 MS. LUCKHARDT: That is the average.

21 The projected maximum daily was the earlier one.

22 MR. LINDLEY: Okay.

23 MS. LUCKHARDT: Okay, and then I'll let
24 these guys respond to your question.

25 MS. HOLMES: Excuse me, Jane, sorry --

1 will you be --

2 MS. LUCKHARDT: Yes.

3 MS. HOLMES: Thank you. I just want to
4 make sure that there's something that's a formal
5 filing that gets docketed and served and all of
6 that, --

7 MS. LUCKHARDT: Yeah, it will --

8 MS. HOLMES: -- so that we have that.

9 MS. LUCKHARDT: -- initially be filed in
10 the responses to some of the comments that we'll
11 be filing on either Friday or Monday. And we can
12 follow that up with something further, if you'd
13 like.

14 MS. HOLMES: Thank you.

15 MR. LINDLEY: Okay. The first question
16 that I wanted to bring up was whether or not
17 irrigation water for the landscaping that's
18 proposed for the perimeter of the site is included
19 in, I guess now I'm talking the 20.8 acrefeet per
20 year figure.

21 MR. MOORE: Matt Moore, URS. The
22 irrigation was not included in the water use
23 estimates. Rather than perimeter screening around
24 the entire site, the applicant has opted to work
25 with the potentially affected individuals,

1 offering a tree-planting allowance for individual
2 screening.

3 The tree planting will be handled in
4 coordination with individual property owners. The
5 applicant recommends the use of the California
6 Juniper, a native tree to the area, which will be
7 able to sufficiently thrive without additional
8 irrigation.

9 MR. LINDLEY: Okay, so the 20.8 acrefeet
10 per year is a number that you feel is an adequate
11 number for your average annual use.

12 One of the data requests that I asked
13 for was to compare the water use of the plant with
14 water uses in the surrounding area. And the site
15 right now appears to support existing pasture
16 grasses. And I would like you guys to be able to
17 provide what the typical annual evapotranspiration
18 for those pasture grasses are right now so that we
19 could better compare water use on the site in its
20 current condition versus how you're going to be
21 using water for the power plant.

22 And as I understand it, your power
23 plant, you're going to be terracing the plant.
24 The terraces are going to have low points. You're
25 going to capture incident rainfall and allow that

1 water to percolate.

2 Those terraces are going to be covered
3 with gravel, they're not going to be vegetated?
4 Is that a correct understanding?

5 MR. PATCH: My name is Joe Patch. The
6 plan right now is to terrace the slope to create
7 low spots so that the incident rainwater or
8 stormwater is collected and allowed to infiltrate
9 back into the ground.

10 There is no intent right now, no
11 particular reason that we would look to put gravel
12 on the site, but rather just scarify it as it's
13 being sloped and as it's being benched which is
14 part of the overall site development.

15 MR. LINDLEY: And so with the mirrors on
16 the terraces is that going to allow some
17 vegetation to grow between the mirrors, or are the
18 mirrors going to mostly cover the terraces?

19 MR. JOHNSON: Pete Johnson; I'm an
20 engineer with Ausra. The mirrors actually cover
21 83 percent of the land, so, you know, there might
22 be minimal growth underneath the mirrors, but we
23 don't expect it to be --

24 MR. LINDLEY: Okay, so what I'm getting
25 at is I think it would be very interesting for us,

1 and especially given the concerns of the community
2 regarding water use and groundwater drawdown, is
3 to be able to get a good comparison of how much
4 water the site currently evapotranspirates versus
5 the amount of water that would be lost to
6 evaporation once you construct the site and the
7 amount of water that's going to be infiltrated
8 into the site.

9 As a followup question I think one of
10 the important things that the Energy Commission
11 Staff usually looks at is impacts to surrounding
12 wells. And this is one concern that I should have
13 brought up in my original data request. Would be
14 it would be good for the applicant to provide a
15 map showing neighboring groundwater wells that
16 neighbors are using. And then to provide a
17 drawdown analysis to demonstrate or analyze
18 whether there would be potential impacts to those
19 neighboring wells.

20 MR. SCOTT: Right. My name is Bob
21 Scott; I'm the hydrogeologist for the project. We
22 have prepared a map that shows the location of
23 neighboring maps (sic). As you are probably
24 certainly aware, well information is proprietary
25 in the State of California. So, the map that

1 we'll show you right now, there are probably other
2 maps within -- other wells within the mapped area
3 that we have not identified.

4 There was -- the information that we
5 obtained is information on the topographic
6 quadrangle maps for the area. As well as some
7 other information that appeared in a report by
8 Bechtel for the former ARCO solar facility on the
9 adjacent property to the east. There were seven
10 wells that appeared in that study.

11 I've reviewed the location of those
12 wells and they appear to be identical to some of
13 the wells that are on the USGS map.

14 Here's the topo map with the location of
15 wells. I'm sure it's probably hard for some
16 people to see in the back. But they're identified
17 with yellow crosshairs, and you can see that there
18 are a number of them within a couple, two or three
19 miles from the site.

20 (Audience speaking simultaneously.)

21 MS. LUCKHARDT: Can you show --

22 MR. SCOTT: Yeah, yeah. I will.

23 AUDIENCE SPEAKER: Thank you.

24 MR. SCOTT: Um-hum. Here's the well on
25 the site. Here's another well here, there, here,

1 here. There are a couple down here. Down in this
2 area here. And it looks like there's one up here.

3 AUDIENCE SPEAKER: There's a lot more.

4 (Audience speaking simultaneously.)

5 MR. SCOTT: -- don't quite understand is
6 this information is not available from the state
7 because it's not public information. So if you
8 have information on well locations and depths
9 somewhere, certainly we would be interested in
10 that information.

11 AUDIENCE SPEAKER: What do you consider
12 neighboring? Like how far --

13 MS. DYAS: Can you come forward and ask
14 your question, please.

15 MS. HAYES: Hi. My name's Kelly Hayes.
16 What do you consider neighboring, how many miles
17 distance is that?

18 MR. SCOTT: Oh, excuse me. Within a
19 couple of miles.

20 MS. HAYES: Okay, so like my house is
21 not on there and I'm within a couple miles. I
22 know I have several neighbors' houses who are on
23 there and we're not --

24 MR. SCOTT: Oh, I'm sure you do, yeah.

25 MS. HAYES: Okay. Okay. Well, if

1 you're talking about neighboring --

2 MR. SCOTT: Yeah, so, you know, we'd
3 like to certainly have that information.

4 MS. HAYES: Okay, great.

5 MR. SCOTT: And you also asked about a
6 drawdown evaluation.

7 MR. LINDLEY: Yeah.

8 MR. SCOTT: Before you go to the next
9 slide, -- yes, we've done a preliminary
10 evaluation. And we basically used standard
11 practice -- transient flow, a 4-Tran program, to
12 evaluate drawdown that would be associated with
13 pumping the well on the property.

14 As Jan had mentioned previously, the
15 average daily pumping rate will be 13 gallons a
16 minute. So that was the queue or the pumping rate
17 that we used in the program.

18 We also included the 70,000 gallons that
19 will occur as a one-time pumpage once a year in
20 order to clean the air-cooled condensers.

21 So, running through the model, we ran it
22 for a period of 20 years. And the results here
23 show the drawdown associated with pumping that
24 well for that period of time.

25 So, the cone of depression at the well

1 and in the immediate vicinity is going to show on
2 the order of, on the property, four to five feet
3 of potential water level change.

4 Our model was preliminary and it did not
5 account for any net recharge to the aquifer from
6 surface water infiltration or recharge to the
7 aquifer away from the site.

8 So, within -- you can see within about
9 two and a half, two miles the potential effect
10 might be on the order of two feet. But we believe
11 that that is over-estimated.

12 MR. LINDLEY: Would it be possible to
13 update that analysis to also take into account the
14 expected recharge that you're going to get from
15 capturing the incident rainfall?

16 MR. SCOTT: Certainly. That's something
17 that we -- yeah, that's exactly where we're
18 headed.

19 MR. LINDLEY: Yeah, because given the
20 concern I've heard from the community, the ideal
21 thing that I would like to see is a report that
22 would look at rainfall and evapotranspiration
23 under the existing conditions of the site.

24 And then also look at groundwater
25 withdrawal and impacts to surrounding wells during

1 construction. Because that was one thing that
2 wasn't completely clear from the AFC is exactly
3 how much water is going to be used during the
4 construction period for dust suppression and --

5 MR. SCOTT: Right, right, and we can
6 talk about that, also.

7 MR. LINDLEY: -- and moisture
8 conditioning. And then ultimately, given that
9 you're going to capture so much rainfall on site,
10 and infiltrate that rainfall, it would be ideal to
11 be able to take into account the groundwater
12 recharge that you would expect from that --

13 MR. SCOTT: Right.

14 MR. LINDLEY: -- and help be able to
15 provide the community a better understanding of
16 what the ultimate impacts might be to their
17 groundwater resource.

18 MR. SCOTT: Certainly. I understand
19 where you're coming from.

20 Water volume is something that I think
21 that a lot of people have a hard time getting
22 their arms around. Just to give the group here a
23 feeling for how much water we're talking about, 13
24 gallons a minute is roughly the amount, the
25 maximum rate that you can pump out of a garden

1 hose, which is generally about 10 to 15 gallons a
2 minute.

3 And the volume of water that will be
4 used by the plant on a daily basis, 18,500
5 roughly, is about the amount of water in a small
6 in-ground swimming pool that might be in
7 somebody's backyard. So, just to give an idea of
8 what that volume is.

9 Here's a plot that shows the results of
10 our preliminary modeling evaluation. The pumping
11 well there is at a distance zero, and you can see
12 how the cone of depression develops away from the
13 pumping well.

14 And you can see that the change in water
15 level away from the site quickly decreases, that
16 shows to a distance of two miles.

17 Now, the data, in order to run this we
18 used some aquifer characteristic data from a pump
19 test that was done at the former ARCO facility
20 next to the proposed site.

21 MR. LINDLEY: So hydrolic conductivities
22 would probably be relatively similar between the
23 ARCO site and the proposed site?

24 MR. SCOTT: Yes, that's true. And so
25 the values that were used are shown on the lower

1 portion there. And these are the results for year
2 20 of pumping. And it's basically in a steady
3 state condition.

4 MR. LINDLEY: Yeah, but that doesn't
5 give the applicant any credit for if there's
6 additional recharge?

7 MR. SCOTT: Exactly. Exactly.

8 MR. LINDLEY: That's something that I
9 think would be helpful to be able --

10 MR. SCOTT: Yes, yes --

11 MR. LINDLEY: -- to include.

12 MR. SCOTT: -- yeah, and we'll be
13 refining the model.

14 MR. LINDLEY: One other thing on the
15 water use and water supply. Generally, just to
16 follow up on my data request 35, which was looking
17 at potential alternative sources of water. We
18 understand that groundwater quality in the aquifer
19 varies greatly. And I'm not sure if you guys have
20 looked at whether or not it varies with depth.
21 And if there's a potential to target lower quality
22 water for the groundwater withdrawal to use in the
23 power plant, to hopefully leave some of the -- if
24 there's better quality -- I'm not sure if the
25 groundwater quality varies with depth. Ideally

1 we'd want to target the lowest quality water for
2 the power plant.

3 MR. SCOTT: I anticipate that it would.
4 It looks like it's basically a two-aquifer system.
5 There's a deeper confined zone and a shallower
6 zone. And the shallower zone, I think, has a
7 known history of lesser water quality than the
8 deeper zone. And then it also --

9 AUDIENCE SPEAKERS: Opposite, opposite.

10 AUDIENCE SPEAKER: You've got it
11 backwards.

12 (Audience speaking simultaneously.)

13 MR. RUSKAVITCH: The top water is what
14 we drink out here; you can't drink the deep, it's
15 alkaline.

16 AUDIENCE SPEAKER: Do your homework.

17 MR. LINDLEY: Okay, so that's where I
18 think, as part of that report, it might be helpful
19 to help target or take a look at the water quality
20 from the shallower zone, the zone that most of
21 these folks are grabbing their water from; and
22 then the deeper zone.

23 And if the power plant can use the water
24 from the deeper zone that's of a lower quality,
25 that would help to preserve --

1 MR. SCOTT: That's actually the
2 intention. The water is going to be pumped from a
3 zone from 400 to 600 feet, from the deeper zone.

4 MR. LINDLEY: Okay. So I was just
5 thinking that it might be helpful if we had like a
6 nice single document that we lay this all out that
7 would help the community understand what they
8 could expect as far as water use, because water's
9 a very key issue in this area.

10 MR. SCOTT: Okay.

11 MR. LINDLEY: Then I've got another line
12 of requests, or just clarifications on stormwater
13 management. I understand that the U.S. Army Corps
14 has taken a look at the swale that runs through
15 the laydown area to determine whether or not
16 there's jurisdictional concerns.

17 And I'm not sure how that analysis is
18 going to come out. When I look at the swale I
19 don't see significant wetland habitat.

20 But one concern I would have, given the
21 perimeter swales, is that we don't decrease runoff
22 from the site to the point that that impacts down
23 gradient, you know, users and receivers in the
24 down gradient channel and any wetland or creek
25 habitat down gradient of the site.

1 So I think it would be helpful to be
2 able to compare runoff that's being delivered to
3 that channel under the current conditions versus
4 runoff delivered post-project.

5 And it wasn't completely clear to me
6 through the data responses how that's going to
7 work out. My guess is that when you work out that
8 drainage erosion and sediment control plan that
9 you'll be able to cover that.

10 MR. MOORE: Matt Moore, URS. We have
11 taken a look at that. Per the biology analysis
12 there are no vernal pools or vernal pool habitat
13 or wetlands associated with the jurisdictional
14 delineation.

15 As such, any of the water that we'd be
16 holding back onsite would not be diminishing any
17 habitat from the biological standpoint.

18 To touch on the amount of water reaching
19 the site, we do have the perimeter swales around
20 the site, which would be directing the offsite
21 upstream water from the upstream watershed. The
22 amount of water that we would be holding onsite
23 during an average annual basis would be 203
24 acrefeet. That would be the reduction in the
25 potential water that could be delivered to that

1 swale system.

2 The watershed upstream of the site
3 that's tributary to that swale is approximately 50
4 square miles. The reduction for the site would
5 remove on an average annual basis the 640 acres,
6 the one square mile parcel.

7 The numbers that I've worked up
8 calculating a volume tributary to that point with
9 the 50 square miles is 10,130 acrefeet. The
10 reduction being 203 acrefeet that's captured on
11 the site would leave 9930 acrefeet still tributary
12 to that point.

13 MR. LINDLEY: Okay. And I was wondering
14 when the drainage erosion sediment control plan
15 was going to be available.

16 MR. MOORE: We are currently working on
17 it. We should have that completed by the end of
18 this month.

19 MR. LINDLEY: And then the one final
20 followup that I'd like to just check on is from
21 the data requests and responses that I got it
22 wasn't very clear to me how wastewater was going
23 to be dealt with, and where it was going to be
24 discharged to, and that kind of -- I'd like to get
25 some more detail on where the wastewater is going

1 to go and what your plans are with your
2 wastewater.

3 MR. MOORE: There's very --

4 (Pause.)

5 MR. PATCH: This is Joe Patch of Patch
6 Services. There is a water balance that is in the
7 AFC that describes all of the streams that are
8 incoming that are being recovered.

9 And one of the responses to the
10 questions that we're asked is we've identified
11 that 97 percent of the processed water that is
12 used in the cycle itself, in the steam cycle, is
13 recovered.

14 So all of the streams that otherwise
15 might be discharged are taken back and through the
16 process, are recovered in that process.

17 The demineralization is a closed system.
18 The regeneration of the demineralizing beds will
19 be done offsite. So there is no waste stream
20 onsite.

21 The only stream that we have that we
22 would call, I guess, a discharge stream is that we
23 have a filter that will filter the water coming
24 out of the well before it comes into the tank,
25 before it gets to a softener. And so that filter

1 discharge, I think, is eight gallons per eight-
2 hour shift, or ten gallons per eight-hour shift.

3 What it amounts to is that any sand,
4 dirt, miscellaneous material that comes out will
5 be backwashed through the filter. That water will
6 be just taken off of the site, and/or just used
7 locally for dust control, for miscellaneous
8 purposes.

9 Other than that there are no waste
10 streams onsite.

11 MR. LINDLEY: So it's a zero liquid
12 discharge system?

13 MR. PATCH: It's zero minus the fact
14 that we are going to backwash what would be the
15 filter that is picking up the sand out of the well
16 water.

17 MR. LINDLEY: Okay. That was my thing.

18 MS. DYAS: Tanya, did you have any
19 comments or questions?

20 MS. GULESSERIAN: No, not right now,
21 thanks.

22 MS. DYAS: Any agencies have comments on
23 the soil and water responses?

24 MR. PATTERSON: Jim Patterson, San Luis
25 Obispo County. As you're all aware there's a

1 national monument, the Carrisa Plain National
2 Monument downgrading it from the site. And it was
3 raised at a monument advisory committee meeting
4 about a month ago that there could be a potential
5 impact on the surface water drainage from the site
6 into Soda Lake.

7 And I know it's a long ways away and
8 upstream of the plant. You just mentioned there
9 was only about a 10,000 acrefoot collection, I
10 believe, of gradient, if I got your numbers right,
11 from the surface drainage.

12 And my question is, or concern is would
13 you analyze any potential impact on surface
14 deflection or surface or subsurface drainage into
15 the monument in the Soda Lake area.

16 MR. LINDLEY: That is exactly the reason
17 why I was asking about changes in the hydrology
18 between the existing conditions and post-project
19 conditions. And that is something that I would
20 expect that the applicant would be addressing in
21 the drainage erosion sediment control plan.

22 As I understand it, that 10,000 acrefeet
23 versus 200 acrefeet, that is probably about at the
24 location of the project site. And then there
25 would be a considerably larger watershed area that

1 actually is contributory towards Soda Lake.

2 Ultimately, certainly given the concern
3 from San Luis County, I would hope that you guys
4 could expand your water balance to include the
5 Soda Lake tributary area. Just to be able to
6 quantify the changes in runoff going to Soda Lake.

7 MS. LUCKHARDT: Yeah, we'll add that to
8 the report; they're adding it to their notes right
9 now. So it'll be included in that. Impacts on
10 the monument, itself.

11 MR. LINDLEY: Okay, thank you.

12 MS. DYAS: Are there any other agency
13 comments on the, the water responses?

14 Okay, public comments on the soil and
15 water. Please come forward.

16 MR. TAB: My name is Kenneth Tab and I'm
17 California Valley resident. As far as the water,
18 I have done more study than anybody else here I'll
19 be happy to provide.

20 I had the local geologist, John Cooper,
21 do study all the subdivision area. And the
22 quantity of water is not a problem. Quality is
23 the problem.

24 We have one well is 500 feet deep. I
25 just had the total chemical analysis. It's less

1 than 500 parts per million for dissolved solids,
2 which is better than anyplace in the United
3 States.

4 All the -- level between 182 to 250,
5 depends where you are. Solids are from 700 to
6 3000, maybe even more.

7 I drill five wells recently. Were
8 from -- elevation of 120 feet deep, and they were
9 about 700 to 2000 parts per million, depends where
10 it was located.

11 So, I will be happy to provide the local
12 people, you, a copy of my lab reports. I did a
13 chemical analysis and bacterial analysis for all
14 of them.

15 MR. SCOTT: Well, that would be very
16 useful.

17 MR. TAB: Yes, I will do that. By the
18 way, I'm in favor of project, and there are a lot
19 of people in favor. They are not here. There are
20 about 200 families live here. There are quite a
21 few of them in favor of the project.

22 Thank you.

23 MR. LINDLEY: Sounds like he's got some
24 good information for identifying the lowest
25 quality water for power plant use.

1 MR. STROBRIDGE: My name's Tim
2 Strobridge. Could you put the slide on again,
3 please?

4 Sir, I didn't get your name, I'm sorry.

5 MR. SCOTT: My name is Bob Scott.

6 MR. STROBRIDGE: And you're with?

7 MR. SCOTT: And I'm with URS; I'm a
8 hydrogeologist.

9 MR. STROBRIDGE: You're the
10 hydrogeologist.

11 MR. SCOTT: Yes.

12 MR. STROBRIDGE: Okay, now you were
13 telling us that you weren't sure of the wells. I
14 can show you two wells right now, one is a third
15 of a mile in proximity.

16 MR. SCOTT: Okay.

17 MR. STROBRIDGE: And the other one is
18 mine, 2800 feet. That's three squares up from the
19 red line, three squares up.

20 I would like to know how you can do an
21 analysis of the water table with inaccurate
22 information. If you can't compile accurate
23 information your data is useless.

24 MR. SCOTT: We're working with the data
25 that's available. And the aquifer characteristics

1 that we --

2 MR. STROBRIDGE: Now, you're asking --

3 MR. SCOTT: -- used are --

4 MR. STROBRIDGE: -- people here to come
5 forward and tell you where their wells are?

6 MR. SCOTT: No. Only because we were
7 asked to identify the wells within the -- the
8 neighboring wells in the vicinity --

9 MR. STROBRIDGE: Well, you've --

10 MR. SCOTT: -- of the site.

11 MR. STROBRIDGE: -- done a very poor job
12 because that's two I know of right there.

13 MR. SCOTT: No, but what you don't quite
14 understand is that the information is not publicly
15 available.

16 MR. STROBRIDGE: Well, you know, doors
17 could be knocked on, too, then.

18 MS. HOLMES: I have a question perhaps
19 that may shed some light on this. And that is can
20 you tell us, since this is your area of expertise,
21 can you tell us how the results of your analysis
22 might vary depending upon whether or not there
23 were a few or a lot of additional wells in the
24 area? Can you tell us how that would affect -- if
25 you know how that would affect the results?

1 MR. SCOTT: This is Bob Scott.
2 Certainly the number of wells and the amount of
3 water that you pump all have an effect on the
4 overall water level in the aquifer.

5 What our model was to show was the
6 effect that what just our pumping would have on
7 the aquifer. Not the combined effect of
8 everybody's well that's pumping in the area.

9 MR. STROBRIDGE: Can you assure
10 everybody in this room that their pumps aren't
11 going to be going dry?

12 MR. SCOTT: Well, the other thing is
13 that we're going to be pumping from the deeper
14 zone. And so when I say that there's a change of
15 two feet, it will be -- that will be the change
16 that would be affected in the deeper aquifer.

17 And they're separated by clay. And so
18 they are two different systems.

19 MR. STROBRIDGE: So what you're saying
20 is you can assure everybody here that they're not
21 going to have any water problems after this plant
22 is online pumping 74,000 gallons a day?

23 MR. SCOTT: 74,000 gallons a day is
24 going to be a once-a-year. And it may actually be
25 less --

1 MR. STROBRIDGE: But then you're going
2 to revert to the 18,500?

3 MR. SCOTT: -- than that. Right.

4 MR. STROBRIDGE: Every day.

5 MR. SCOTT: Which is -- the 18,500 is,
6 like I said before, is 13 gallons a minute. And
7 it amounts to your garden hose at home on its
8 maximum flow rate.

9 MR. STROBRIDGE: Yeah, I realize what 18
10 gallons a minute is. Well, the equivalent of
11 18,000 gallons is like four or five thousand
12 gallon water tanks would be a good analogy,
13 instead of a backyard swimming pool. That would
14 be --

15 MR. SCOTT: Yeah, yeah.

16 MR. LINDLEY: Just to follow up on that.
17 We're very early in the process, but ultimately
18 what I would expect from the CEC's side is that
19 once we get the analysis from the applicant, we
20 would be reviewing that analysis.

21 And then depending on our review and the
22 perceived potential for impacts, oftentimes in
23 power plant projects where they're drawing
24 groundwater we include a condition of approval
25 that requires the applicant to replace the water

1 source or drill new wells if they have an impact
2 to a neighboring well.

3 Certainly we're not at that point yet.
4 We haven't even, you know, gotten to the staff
5 assessment. But ultimately that may be something
6 that we would include here. And I would imagine
7 that the applicant -- I can't speak for the
8 applicant, but it's certainly something that we
9 would consider.

10 MR. NOLEN: Bob Nolen, California
11 Valley. The first is, as far as change is 74,000,
12 are you storing this onsite in tanks? If you're
13 going to use that much a day, since you own well's
14 not producing that.

15 MR. PATCH: Joe Patch. The answer is
16 yes. Again, if you look at in the AFC there are
17 several tanks that are there that are being used,
18 some for raw water storage, some for fire
19 protection, some for the softened water that they
20 use every day in the washing sequence. Yes.

21 MR. NOLEN: And second, I'd just like to
22 say the whole issue of the good water and bad
23 water should really get taken a look at, I think,
24 a little more. If you can use the garbage water
25 it would relieve a lot of concerns from people

1 around here for sure.

2 MR. SCOTT: This is Bob Scott, again. I
3 think certainly the applicant, that would be the
4 applicant's intention.

5 MR. NOLEN: Okay.

6 MR. SCOTT: Using water from the deeper
7 zone.

8 MR. NOLEN: Prior information that was
9 handed out by the Energy Commission stated that
10 they believed that this area is already in over-
11 draft. Has there been any updated conclusion on
12 that, as far as drawing the water?

13 MR. SCOTT: That's really unclear from
14 the number of studies that have been done in the
15 area here. We have reviewed a study that was done
16 in 1967 that actually indicates that there was net
17 recharge to the basin, predevelopment, of 80,000
18 acrefeet a year.

19 MR. NOLEN: Okay. And also prior
20 information that was released by you all stated
21 that as far as environmental impact report type
22 situation concerning the swale in the laydown
23 area, if I remember right, was that if it's not
24 declared other waterway by the Corps of Engineers,
25 then you have to go through a process. And then

1 your whole project will be unfeasible because of
2 the time amount for an EIR.

3 MR. FONTANA: The process would be
4 longer if the Corps did not review it under what
5 was called a section 7 consultation. I mean at
6 this point in time if we had to go through the
7 longer route I don't know if I'd make the
8 statement the project would be infeasible.

9 We would just have to work with all the
10 agencies to see what the schedule would be. But
11 it would be a longer process.

12 MR. NOLEN: Okay. And the last
13 question, the one page here you're saying you're
14 going to use that 74,000 gallons one time a year
15 for cleaning the condensers, and then under -- you
16 know, later on here in number 52 you're saying
17 that all that water that's going to be used, that
18 74,000 gallons in one day is going to be
19 evaporated, as opposed to disposed of?

20 MR. PATCH: This is Joe Patch. The use
21 of the water, everybody has seen, I think, in some
22 of the layouts that we did, the condensers, they
23 sit way up in the air. Large amounts of air.
24 That's the cooling mechanism for the process for
25 the cycle.

1 What happens is they get dirty. The
2 spray in the way it's configured is that there is
3 a spray bar that will run down across these coils.
4 They're fin coils just like, you know, you're
5 familiar with in a water heater, but with fins on
6 them.

7 And the idea is that it's a fine spray,
8 it's a mist. The idea is to knock the dirt off,
9 knock the dust off that's accumulated on them. By
10 the time with that fine mist and you're 100 feet
11 in the air, it hits the ground. There may be some
12 that comes down to the ground. I wouldn't suggest
13 that there wouldn't be. But the majority of it
14 will just evaporate.

15 MR. NOLEN: Would you do something like
16 try to do this cleaning at certain times of year
17 to facilitate the evaporation of the wastewater?

18 MR. PATCH: I would think we'd do it in
19 offpeak, but in the summertime, yeah. And right
20 now we've scheduled it for once a year. But there
21 have been a number of cases of air cooled
22 condensers, similar types, similar manufacturers,
23 where the condenser has not been washed in three
24 to five years.

25 We have not done that. We've stated the

1 recommendation initially going in was 12 months;
2 that's the cycle; that's the water balance that
3 you have. That's the water consumption rate you
4 have, recognizing that we really don't expect
5 that's going to be the case. It's probably the
6 once every three to five years.

7 MR. NOLEN: Okay. And the other one is
8 it just dawned on me your prior information stated
9 that you were going to use a 1000-gallon septic
10 tank for 75 workers. Has that been modified?

11 MR. PATCH: We had talked to San Luis
12 Obispo County. The County standard for sewage
13 disposal, waste disposal systems is the Uniform
14 Plumbing Code section K.

15 In talking to the County their basis is
16 20 gallons per day per worker. In an industrial
17 setting as there is in office buildings and a
18 number of areas, particularly what was mentioned
19 specifically was the wineries. They have fairly
20 large wastes and waste treatment systems. This is
21 nowhere near rival that size.

22 But in the design of the system we will
23 follow the Uniform Building Code section K. That
24 meets the County standards. And what we would
25 look to do is based on the infiltration rates in

1 the soil and the size of the leaching field that
2 we would have, it's a system. It's not just a
3 tank in the ground.

4 MR. NOLEN: Yeah, oh, yeah.

5 MR. PATCH: It will be a system. There
6 will be a digester process; there will be an
7 overflow process. And there'll be a clean water
8 and discharge through the leaching field, all of
9 which is standard practice in San Luis Obispo
10 County in a number of locations.

11 So, that would be the basis under which
12 we would size the system right now.

13 MR. NOLEN: Okay. And one more thing as
14 far as stormwater runoff. Are you -- I haven't
15 gone through all of this yet -- are you looking at
16 using detention basins or infiltrator type systems
17 to dispose of water accumulated onsite from say
18 rain runoff?

19 MR. MOORE: The site will be graded such
20 that there will be a series of infiltration areas
21 within the site so that the water would be allowed
22 to accumulate during heavy rainfall. The water
23 that's not, you know, immediately soaked into the
24 ground would be allowed to pond and infiltrate
25 into the ground.

1 MR. NOLEN: So, it'll be an exposed
2 pond, not an underground infiltration?

3 MR. MOORE: This would be on the
4 surface.

5 MR. NOLEN: As far as, you know, water
6 doesn't perk around here all that good. What kind
7 of -- I'm just curious, what kind of mitigation
8 are you looking at in dealing with standing water
9 and mosquito abatement, or something in that
10 direction?

11 MR. PATCH: This is Joe Patch, again.
12 The infiltration rates that we have, there were a
13 number of borings that were taken on this site,
14 and actually the adjacent site.

15 And the infiltration rates are mediocre,
16 not particularly great, but not poor. And the
17 question to the County was, is this area subject
18 to and can it be used to handle a leachfield. The
19 County's answer is typically this area the answer
20 is yes.

21 The issue when it comes to stormwater
22 was that these detention basins would be created
23 such that the slopes are very flat, so that the
24 amount of accumulation of water at the bottom,
25 based on the rainfall rates we have on a 25-year

1 storm in this area are very very small. So there
2 is a possibility that some would accumulate.

3 During the construction process the plan
4 was that that area would be, as it is shaped and
5 graded, would be scarified. That keeps the
6 surface about as permeable, I think, as you can
7 make a surface. And that was the plan. So we
8 don't see standing water, we don't see those kinds
9 of things, potentially wetlands developing.

10 MR. NOLEN: You say the scarifying
11 during the construction process. What about after
12 the construction process?

13 MR. PATCH: Well, scarify it before you
14 actually put the mirrors up. Once the mirrors are
15 up, then that land is pretty well under the
16 mirrors.

17 MR. NOLEN: You won't be getting in
18 there to maintain or have to maintain these basins
19 that--

20 MR. PATCH: There isn't any thought that
21 we would need to do that.

22 MR. NOLEN: Okay.

23 MS. DYAS: Any other public comment
24 questions on the soil and water?

25 MS. HARVEY: Thank you. Susan Harvey,

1 North County Water. And I would request, I don't
2 know what level of pure water that you're going to
3 need for the system, but as you're thinking of
4 accessing fairly poor water, I would request that
5 the impacts from purifying that water be
6 considered in the CEQA process.

7 You know, potential 3000 parts per
8 million. I don't know how useful that is for some
9 of these processes, of total dissolved solids.

10 MS. DYAS: Thank you. Any other water
11 comments?

12 MR. BELL: Hi, Jim Bell, once again. Is
13 it possible to put the well map up? Just like to
14 make a comment.

15 The gentleman here that said you could
16 come and check his wells. They're down here.
17 They're nowhere in (inaudible). And the water
18 quality is quite a bit different in California
19 Valley where his wells are than they are on the
20 map. Okay? So, just to clarify that.

21 MR. LINDLEY: Sure.

22 MR. BELL: Just to come back to a point
23 that the San Luis Obispo Planning and Public Works
24 Department claims that our area is in an over-
25 draft situation. Okay? This is what they

1 reported to, I think, the staff and yourself.

2 Given that fact, and I like your analogy
3 of the hose and the swimming pool, utilizing the
4 figures that you gave, you're basically utilizing
5 21 acrefeet per year at the site on your average
6 deal.

7 In the information given to us by URS,
8 .52 is your average residence. Most of the small
9 parcels around there, all out into the left and up
10 to the north, are basically, even though they're
11 40 acres, they're basically residences.

12 So in a sense, in the middle of that
13 circle right there you are impacting that area
14 with approximately 40 residences. Okay. That's
15 an --

16 MR. SCOTT: Right.

17 MR. BELL: -- analogy that drives home
18 more than just a garden hose and a swimming pool.

19 MR. SCOTT: Right.

20 MR. BELL: To put 40 residences in that
21 area where we already know we're in an over-draft
22 situation, okay.

23 Also, I wanted to make one comment, and
24 again this goes back to answers, and maybe it
25 explains a little bit of our impatience. At the

1 last January meeting we were told those are good
2 questions, we'll get you answers. Okay.

3 We didn't get any answers prior to this.
4 Some of us took to the internet and contacted
5 Perry. And we were told, we'll have those answers
6 for you at the workshop.

7 One of the -- some of the frustration is
8 one of the questions that was asked was how much
9 water will be utilized during the period of
10 construction, during the two- or three-year period
11 of construction. That was in our meeting here in
12 January, to you.

13 We were told we'd get that. The
14 gentleman just asked -- one of the gentlemen just
15 asked that not long ago, and they don't have that
16 information yet.

17 Now they know how much dirt they're
18 moving. They know how long they're going to move
19 it. They know what they need to do for dust
20 abatement. They know what they need for
21 compaction. I don't understand the reason that
22 after so much time has passed that they don't have
23 this information. Because this really could
24 impact our area over and above the daily usage of
25 the plant.

1 MR. SCOTT: Mr. Bell, we do have that
2 information. And we can share that with you right
3 now, if you'd like.

4 MR. BELL: How much water?

5 MR. SCOTT: Yeah. How much water during
6 construction --

7 MR. BELL: Okay, because somebody told
8 me nobody knew.

9 MR. SCOTT: Yes, we have that
10 information.

11 MR. BELL: You have that?

12 MR. SCOTT: Yes.

13 MR. BELL: Okay, sure, perfect. Also
14 I'd like to make one comment that I notice in the
15 material from URS there's a plan B, if you will.
16 You have an emergency situation if, in fact, you
17 run out of water in the aquifer.

18 Your plan is to bring in two water
19 trailers per day. My question to you is what
20 about your neighbors. What kind of mitigation do
21 you have for us? Or do you suck it dry and we're
22 on our own?

23 MR. MOORE: This is Matt Moore with URS.
24 The water use during construction will be on the
25 order of one-third of that during operations.

1 This would include -- over the period of three
2 years this would include the 5 acrefeet for
3 concrete mixing, as well as the compaction and
4 dust control water.

5 MR. BELL: So it would be one-third of
6 the 18,000 a day, is that what you're saying?

7 MR. MOORE: Correct. Yes.

8 MR. BELL: Okay, thank you.

9 MS. NOLEN: Hi, Patty Nolen, California
10 Valley. It's just one more concern -- oh, I'm
11 sorry, I thought you were done.

12 (Pause.)

13 MR. BELL: I would like a comment on my
14 last question.

15 MS. LUCKHARDT: That's what we're doing.

16 MR. MOORE: Yeah.

17 MS. NOLEN: Sorry about that.

18 (Pause.)

19 MR. PATCH: This is Joe Patch. I'd like
20 to respond to the question about the two or three
21 trailers of water that would be brought into the
22 site.

23 The intention wasn't that we could
24 supply the aquifer and basically take care of this
25 whole area. The issue was that if we had, in the

1 treatment, in the water treatment system, if we
2 had a failure, if we had a pump failure, if we had
3 something go down where we just needed a day or
4 two or three to make a repair, and the storage
5 water that we had in the tanks ran short. And we
6 wanted to keep the process going, as we would.
7 Then we would bring water in for that short
8 duration.

9 It is not intended to recharge the
10 aquifer, nor in the case where we would take every
11 drop of water out of the ground and leave
12 everybody without water. It was simply for
13 process control.

14 MR. BELL: May I comment?

15 MS. DYAS: Yes.

16 MR. BELL: Jim Bell, again. Reading
17 from your material it says here, in the event that
18 the groundwater basin is temporarily unable to
19 meet the -- I don't have my glasses -- in other
20 words meet your needs, that you would bring in two
21 trucks. That has absolutely nothing to do with
22 what you just said.

23 (Pause.)

24 MR. PATCH: This is Joe Patch. To go
25 extend beyond that, in terms of the maintenance of

1 the system onsite, the well and the well pump,
2 itself, is part of our system.

3 I mean it's not uncommon, everybody here
4 that lives on the wells, they do fill up, they do
5 need to be reworked, they do need to be
6 rescreened, pump fails. And when they do you have
7 to go back in and fix it.

8 The intent was that we obviously don't
9 look at taking all of the water out of the
10 aquifer. The ability to bring water in is an
11 emergency situation where somewhere in the system,
12 whether it was a screen failure in the well, or it
13 was a pump failure in the well, whether it was an
14 internal system problem, that's the condition
15 under which we may have to bring the water in.

16 If, in fact, what we have onsite, and we
17 do have storage capacity of raw water, to bridge
18 some of these potential gaps, if that failed then
19 we would bring it in on a short-term basis.

20 MS. NOLEN: Patty Nolen, California
21 Valley. One of the things I brought up last time
22 that I think is under water issues is when you're
23 constructing on the site that enough water be
24 provided that you deal with the dust.

25 I know Jim's going to probably argue

1 with me about this, but if you Google this area
2 one of the things you'll come across is the USGS
3 site where they have handling of -- well, protocol
4 of how you're supposed to handle the dirt in this
5 area because of Valley Fever.

6 I find it hard to fathom that the prison
7 in Corcoran and the prison in Coalinga have had
8 successful lawsuits from guards and prisoners for
9 being exposed to Valley Fever, yet it's not a
10 concern here. It's the same soil.

11 Kern County is the number one source of
12 Valley Fever in the United States. That is a
13 fact. You can Google it over and over again. And
14 quite frankly, I think you're exposing some people
15 to a very hazardous situation out here if you
16 don't deal with that dust. It's not a joke. It's
17 a life/death situation.

18 MS. BELL: Hi. Robin Bell again. And I
19 have two questions. There was a graphic up here
20 that showed the water use for cattle. And I'm
21 wondering what's that based on? Like is it the
22 amount of cattle that this property would have in
23 a given year?

24 MR. SCOTT: Oh, that's the amount of
25 water -- information available indicates that

1 cattle generally drink on the order of 20 gallons
2 a day. What that number represents is that I
3 assumed that there may be as many as 1000 head of
4 cattle for the 640 acres.

5 MS. BELL: For a whole year?

6 MR. SCOTT: Oh, yeah, that's a -- for a
7 whole year they would be drinking 22.9 acrefeet.

8 MS. BELL: And somebody would actually
9 have 1000 head of cattle on that property for an
10 entire year?

11 MR. SCOTT: Well, then --

12 MS. BELL: I'm not a cattle rancher,
13 myself, but that sounds really suspect.

14 MS. HOLMES: I think we're going to get
15 to the point where we understand how much water
16 the project is going to use during construction
17 and operation. We're not going to have a staff
18 assessment that says that we fully understand this
19 project unless we have this information.

20 Let's not argue about the comparisons at
21 this point. Let's get to the point of whether or
22 not there are --

23 AUDIENCE SPEAKER: Then don't show them.

24 MS. HOLMES: Let me finish --

25 MS. BELL: Do you --

1 MS. HOLMES: We need to know whether
2 there's additional information that you want us to
3 consider or to address that will help us assess
4 this project's impacts.

5 MS. BELL: Yes. That I think that the
6 cattle is up there because it's being compared to
7 what is being used now. And it is very important,
8 the number of cattle. So they're putting up this
9 number and you need to know if that is a
10 comparable number for the use of this property.

11 MS. HOLMES: We are not going to be
12 comparing the water use on this property to the
13 water use as if it were being used for grazing.
14 So, --

15 MS. BELL: Okay. Because you asked for
16 a comparison of typical water use per acre in the
17 neighboring land uses. And I'm saying, so you
18 asked for that, cattle wasn't on here. We don't
19 do these things here that is on here.

20 And that cattle number, in my guess, is
21 incorrect.

22 MS. HOLMES: Okay.

23 MS. BELL: Okay. Then the second
24 question is, is what you have said that work hours
25 conflict; that would be monitored. Will water use

1 be monitored, too?

2 MS. HOLMES: Yes.

3 MS. BELL: Okay, thank you.

4 MR. TAB: Kenneth Tab. I just want to
5 add one more information of the well in there 45
6 years. And pumps 300 gallons per minute. Never
7 been less than that. And new wells we drilled at
8 120 are between 30 and 40.

9 Subdivision leases and land is cheaper.
10 They used to buy water from us. They use about
11 20,000 gallons a day on summertimes.

12 MS. DYAS: Are there any further water
13 comments?

14 MR. PATTERSON: I think it would be
15 helpful if the applicant could actually provide
16 what data's available on the aquifer, the total
17 volume of the aquifer. You know, do a profile so
18 people know. And do your basin balance, you know,
19 what your recharge is on an annual basis.

20 So people know exactly what the volume
21 is, what the quantity is. How much you're using
22 in a year; how much is going back. If there is
23 indeed an over-draft, this is an opportunity to
24 really evaluate what information's out there and
25 provide that.

1 I think it would, you know, give some
2 assurances that, you know, oftentimes basins are
3 tens of thousands of acrefeet, and you're using a
4 fraction of that. But we need to know what that
5 is.

6 MS. DYAS: Thank you. Real quick,
7 before we move on to the final technical areas, we
8 need to -- we had one more comment on the land use
9 that wanted to be revisited, I believe. Is she
10 still here?

11 MR. KNIGHT: My name's Eric Knight. I'm
12 Energy Commission Staff. Negar Vahidi, who is
13 doing the land use assessment for staff, had a
14 followup question on data request 24.

15 Which is a question related to what
16 appeared to be a recorded restriction on the
17 property. And the applicant explained that
18 there's a mineral rights restriction.

19 And that they had done some research and
20 found that the rights have existed for many years.
21 And there's been no mineral extracted from the
22 property. And they found no indication that any
23 minerals exist to be extracted.

24 And that apparently there were some
25 testings that were done and there were no

1 discoveries.

2 We were wondering what the source of
3 that information was, if you could provide it to
4 us.

5 MR. MORGAN: This is Rob Morgan with
6 Carrizo Energy. The source of that information is
7 the owner of the mineral rights. We have since
8 purchased those mineral rights and have a quit
9 claim. So, it's a nonissue.

10 MR. KNIGHT: Okay, thank you. That
11 answers it, thank you.

12 MS. DYAS: As far as the other technical
13 areas, the first one that we're going to hit on is
14 noise. And our noise staff was not able to attend
15 tonight, but the question that he had was
16 regarding the data response to number 27 asking
17 whether or not residents and nearby receptors
18 would be at home during construction hours 7:00
19 a.m. to 7:00 p.m. Monday through Friday.

20 And staff has requested that information
21 or verification regarding ML-1 and ML-3.

22 MR. STORM: Yes, good evening. This is
23 Mark Storm with URS. We did make efforts to
24 contact residents at those locations. We were
25 able to get comments I believe it was from ML-3.

1 We were told that there would be occupants,
2 residents during the daytime.

3 MS. DYAS: Thank you. Tanya, do you
4 have any questions on noise?

5 MS. GULESSERIAN: No, thank you.

6 MS. DYAS: Any agency comments regarding
7 noise?

8 MR. HAYES: What about the school?

9 MR. STORM: Yes, we did. I believe
10 our -- we did contact the school as part of
11 responding to these data requests. We spoke to
12 the principal of the school, Ms. Kimberly McGraff.
13 Had a discussion with her regarding the school's
14 construction, what levels were anticipated and
15 shown in our report regarding what the exterior
16 levels would be outside the school where children
17 were playing and so forth.

18 MS. DYAS: Any other public comments on
19 noise?

20 MS. BELL: Hi, Robin Bell. And I have a
21 question. Basically my property -- well, there are
22 a lot of homes that will be affected by this noise
23 that aren't shown on this map.

24 For instance, during construction I'm
25 about the same distance --

1 MS. HOLMES: Robin, can I interrupt you?

2 MS. BELL: Yes.

3 MS. HOLMES: Which map are you looking
4 at so we can all be there?

5 MS. BELL: It is figure 5.12-1.

6 MS. HOLMES: Is that from the AFC?

7 MS. BELL: It's this one.

8 MS. HOLMES: From the AFC? Yeah. Okay.

9 Thank you.

10 MS. BELL: And I'm just wondering what
11 the criteria is to be a sensitive receiver.
12 Because it seems to me that three years of
13 construction noise would qualify many more people
14 as a sensitive receiver.

15 And I don't know, will you guys be
16 finding out how many residences there really are
17 in the area? Or are you going to rely on this
18 information?

19 MS. HOLMES: Well, I think now that
20 you've raised the concern I think first of all
21 we're going to ask right now, the applicant, how
22 you identified the sensitive receptors that were
23 included in the analysis in the AFC. And then we
24 will also be discussing it with the noise staff
25 and asking him or her, I don't know who the

1 assigned person is, to look more closely at the
2 issue.

3 So, first, I would start just by asking
4 the applicant where the information comes from,
5 and how we can verify it or not, as the case may
6 be.

7 MR. STORM: Our understanding was that
8 sensitive receivers would include schools,
9 obviously residents, daycare facilities, senior
10 care facilities, you know, where noise would be
11 considered -- I should say areas sensitive to
12 noise.

13 The figure that Ms. Bell points out, I
14 have it in front of me, we, through the course of
15 our site survey and interaction with other
16 resource groups, did prepare this report.

17 We identified these residences. We may
18 not have captured all of them. But as you'll see
19 in the same figure, there are -- our noise levels
20 produced contours to show where certain decibel
21 levels -- as the sound is propagating away from
22 the site -- Angela, would you be able to show
23 that?

24 MS. LIEBA: Sure.

25 MR. STORM: It might be easier for the

1 audience.

2 (Pause.)

3 MR. STORM: Okay, ladies and gentlemen,
4 what you're seeing on the screen now is a figure
5 that we prepared that shows a combination of a
6 couple of things.

7 It actually identifies what we
8 considered noise sensitive receivers, including
9 residences, and the school is also on there, as
10 well.

11 There's also, as I began to explain and
12 now we have the figure in front of us, showing
13 different colors which are associated with decibel
14 level contours.

15 So if there was a residence or a noise
16 sensitive receiver that we have not identified
17 here, you could locate it on this figure and then
18 see between which noise level contours it would
19 fall.

20 And that would at, at this time, our
21 estimate of the operational noise level.

22 MS. BELL: But if you are talking to
23 residents to see if they're home or not during,
24 you know, operation or construction hours, then
25 you would think you would talk to these other

1 people, too.

2 And I'm just wondering if -- well,
3 there's another issue. For instance Mike
4 Strobbridge has just started construction on a
5 home. I have a home I'm just finishing
6 construction on, but had planned to start another
7 one last November, but it's on hold now with this
8 thing.

9 So you have no -- and I'm heavily
10 invested in that. And yo have no idea on our
11 intention. And that would be the home -- his will
12 be done by the time you're in construction, and
13 ours should have been.

14 So, I'm wondering, considering the lack
15 of information that you have on wells and
16 residences, perhaps maybe all of these landowners
17 in like a three-mile radius that would be
18 affected, should be mailed a form or a
19 questionnaire so that you can get the well
20 information, the residences, when they're home, so
21 you're dealing with the accurate information.

22 I mean I just did a quick count and
23 there's over 28 houses within a three-mile radius
24 of this.

25 So you'd have the info that way. Thank

1 you.

2 MS. DYAS: Were there any further
3 questions on noise?

4 MR. COOPER: Ryan Cooper, Carrisa
5 Plains. Can you explain what each level that --
6 within the dark blue line, what does it mean? If
7 you're within the grey line, what does that mean?

8 MR. STORM: Sure, of course. I realize
9 the detail is quite small. For example, there's
10 what you see, I'll call it a teal or turquoise
11 color, that's what our models predict as a 35 db
12 contour.

13 As you can see, it's actually -- oh,
14 excuse me, sorry about that.

15 (Parties speaking simultaneously.)

16 MR. STORM: This dark blue contour is --
17 now I've got to -- this dark blue contour is a 30
18 decibel level. As I said, this turquoise or light
19 blue is 35. There's a green one here identified
20 as 40. And going closer towards the power block
21 of the plant, 45, 50. These are 5 db increments.
22 Until obviously finally you're close to the power
23 block, we're seeing contours of 60.

24 And so, like I say, for example, if you
25 had a location between the dark blue and the light

1 blue, that means the expected operational noise
2 level would be between 30 and 35.

3 MR. COOPER: Can you give an equivalent
4 of that? Is that a car driving by? Is that a jet
5 plane? Is that a --

6 MR. STORM: Sure.

7 MR. COOPER: -- rock concert. You know,
8 they always say, whatever decibels a certain --

9 MR. STORM: A rock concert, that's -- a
10 jet takeoff. Thirty, 35 would be -- one of the
11 responses that I describe as an analogy is like a
12 window fan, or a humidifier. Could even be like a
13 fan noise.

14 Because, as I think we've identified in
15 the report, it's the condensers, they have large
16 fans. It's part of their design.

17 So, like I say, a window fan or a
18 humidifier, you know, at some distance, five or
19 ten feet. That's the nature or the character of
20 the sound.

21 Now the level of the 30, 35 that's --
22 the analogy would be like a thermometer. You
23 measure heat with degrees, temperature. Likewise
24 you measure sound with this decibel scale.

25 So 30 to 35 is actually, relatively

1 speaking, quiet. You know, my voice now in this
2 room, you know, 40 to 50 db. If I get into a
3 microphone it's going to be a lot louder.

4 It really depends on the loudness. But,
5 again, the nature the of the sound is going to be
6 something similar to a fan, because it's going to
7 be a continuous sort of sound.

8 Does that answer your question?

9 MR. COOPER: Yeah. And so just for a
10 comment I know that there's a house that's
11 actually underneath the white part right there,
12 underneath the title box that has family members
13 that are there during the daytime.

14 There's also house right here that also
15 has family members that are there during the
16 daytime I know weren't contacted at all, you know,
17 about noise issues.

18 So those are two that I know because one
19 is mine and one's my neighbor's.

20 (Laughter.)

21 MR. STORM: Sure, well, what I can tell
22 you is that when we did our site surveys,
23 (inaudible) which are in the report in the
24 appendices, we were measuring current ambient
25 levels. Okay, what's the existing environment.

1 Those ambient levels were in the 30s and 40s
2 already.

3 And so what all this is showing is the
4 predicted noise, operation noise from the plant.
5 It's not showing what's already the existing
6 noise. And that existing noise can change with
7 wind speed. You know, wind over buildings, trees,
8 et cetera.

9 You know, there's the birds and cars and
10 so forth.

11 MS. HOLMES: Maybe it would be helpful
12 if you explained to them, since it isn't, to me,
13 as a non-noise person, it's not intuitive, what
14 happens when you have a 35 db increase added to a
15 35 db background. You don't get 70, do you?

16 MR. STORM: That is correct, thank you.
17 Yeah, the decibel scale is logarithmic, so that
18 she's exactly right. If you add to like decibel
19 levels together like 30 or 50 or 60, you only
20 increase by three.

21 The rule of thumb is if I have two
22 identical sources, -- sound, it's only a 3 db
23 increase. Likewise, if I -- every halving is a
24 minus 3 db. So, no, you don't get 30 plus 30 is
25 60. No. Far from it.

1 In fact, if I have two sources, one's 30
2 and one's 40, you'll barely hear the 30. Again,
3 it's a logarithmic scale. In other words a 10 db
4 difference is an order of magnitude. So that
5 louder source actually has ten times the sound
6 intensity. Does that help?

7 MS. HOLMES: Yeah, I'm just trying to
8 help them understand what this project here would
9 sound like, not in isolation, but relative to the
10 background noise that they already know and are
11 familiar with out there.

12 MR. STORM: Of course, your existing
13 environment includes all kinds of sources, you
14 know, wind noise, wildlife, car traffic, human
15 activity, you know, things you do around your
16 home, what your neighbors are doing. That's
17 already part of, again, all the sources combined.
18 That's called the ambient. And that's already
19 there.

20 Again, what this figure is showing you
21 is just from the projected plant operations. Our
22 report also shows the combination of those two.
23 And, in fact, we had it show that the increment
24 caused by the plant would not exceed 5 db over
25 existing levels. We were able to show that

1 compliance.

2 Does that help?

3 MS. HOLMES: Yeah, thanks. Noise is a
4 really hard issue to have people understand.

5 MR. COOPER: I just wanted, because I
6 haven't read everything like everybody else has.
7 But I did read something that, you know, they
8 contacted people and most people aren't home
9 during the day. You know, and it's like, well, my
10 wife is with my kids all day. And I know our
11 neighbors are, and most of the neighbors that I
12 know are home during the day. So just wanted to
13 make sure that gets out there. Thanks.

14 MS. HOLMES: Thank you.

15 MS. BELL: Robin Bell, again. And I
16 just wanted to ask for some clarification on the
17 average sound. Because I was confused. If the
18 average sound is 35 to 40, and it's from cars and
19 birds and wind, but all that stuff varies.

20 And are you doing like -- is that what
21 it sounds like all the time? Or is that just what
22 the average sound, because maybe a bird's louder
23 and a car is louder?

24 Because I'm wondering about the time
25 like sometimes tractors run and sometimes they

1 don't. But this would run from 7:00 to 7:00,
2 correct?

3 MR. STORM: That's correct.

4 MS. BELL: Okay. So how would that
5 compare to -- when you said it's a very minimal
6 increase, how would that compare to what you hear
7 at a second, not an average? Does that make
8 sense?

9 MR. STORM: It does make sense, yes.
10 The plant will have, as I said, it has these large
11 dry-cooled condensers, just with fans. And they
12 are intended to be continuously operated.

13 So, like I said, it will sound like, you
14 know, a window fan or a dehumidifier. And that's
15 on all the time. But it's average -- sound energy
16 level, or LEQ, as we call it, that's how it's
17 described, will be at these predicted levels. But
18 that has to be predicted.

19 The measurements we conducted in the
20 site area, we also record those levels as LEQ.
21 And this is what you're talking about. What's the
22 average, the average sound energy. Which
23 includes, you know, a bird chirp. That bird chirp
24 could be 70 db according to what we measure. Or a
25 tractor or a car passing. But those are momentary

1 events.

2 So the LEQ is averaging all of those.
3 To demonstrate say within an hour, it's looking at
4 the contribution of all those impulse or
5 intermittent sounds, which would be quite loud,
6 along with what might be relatively quiet
7 background noise.

8 But, again, the LEQ is providing the
9 energy average. As if you're going to, okay, I
10 need this described with one level, what is that
11 level.

12 MS. BELL: Except that yours is a
13 constant, whereas a bird chirp or a car and those
14 kinds of things are momentary, right? But so
15 those extremes of quiet and then chirping or a car
16 make the average. But yours is the average.

17 So, when you had a -- I know we're
18 talking averages, but when you had a quiet moment,
19 there would be a significant more increase than --
20 right?

21 MR. STORM: Well, again, the quiet
22 moment, and I believe in my response I was
23 addressing one of your questions. And one was, as
24 I recall, there are levels in the 20s. And the
25 level, those in the 20s might be one of these

1 quiet moments. But that will only maybe last, you
2 know, a minute or two because there are other
3 noises being made all the time.

4 Again, as our field notes in the report
5 show that we were measuring, again, these LEQs,
6 these average sound levels. As well as I can
7 recall, I can quote from the report, is the 30s,
8 or even in the 40s, which are higher than these --

9 MS. BELL: Right, but they're not
10 constant, correct?

11 MR. SPEAKER: Mark, what's the L --

12 MS. HOLMES: L-90. What's the L-90?

13 MR. SPEAKER: And L-10 and L-90.

14 MR. STORM: Okay, well, let's clarify.

15 (Laughter.)

16 (Parties speaking simultaneously.)

17 MS. SPEAKER: These are important.

18 MS. HOLMES: Yeah, this is helpful. Go
19 ahead.

20 MR. STORM: Well, people are saying,
21 what's L-10, what's L-90. Okay. People say L and
22 then a number. Okay, that number be, it's a
23 statistical descriptor meaning -- somebody says,
24 what's the L-10. That means the sound is going to
25 exceed this level 10 percent of the time.

1 What that does, it's going to capture
2 intermittent events, you know, a car goes by,
3 let's say within a five-minute period. If only
4 one car passes, or a number of car passes, so that
5 it's a 80 db, it's only 10 percent of the time,
6 then the L-10 would be 80.

7 L-90, on the other hand, it means 90
8 percent of the time this level, x, is going to be
9 exceeded. So L-90 captures continuous sound
10 sources like air conditioning, like machinery.
11 And, yes, condenser fans.

12 MS. HOLMES: And there should be L-10
13 and L-90 information in the AFC. It's required as
14 part of our data adequacy. But I don't have the
15 AFC with me.

16 MR. STORM: That's correct.

17 MS. HOLMES: And that, I mean --

18 MS. BELL: So L-90 is what it sounds
19 like most of the time, then?

20 MS. HOLMES: Yeah, that's the way --
21 that's a --

22 MR. STORM: -- it's meant to represent
23 continuous sounds; whereas L-10 --

24 MS. HOLMES: Picks up the big stuff.

25 MS. BELL: Right.

1 MS. HOLMES: Right. So look at the L-90
2 levels and that will help you, I think.

3 MR. STORM: Right.

4 MS. HOLMES: And they should be in the
5 AFC.

6 MS. BELL: Okay, thank you.

7 MR. STORM: Thanks, everyone. There
8 will be a quiz next week.

9 (Laughter.)

10 MS. PETERSON: I'm Roberta Peterson and
11 I have just a suggestion.

12 MS. HOLMES: People, we can't hear her.

13 MS. PETERSON: I have a suggestion. I
14 missed the first part of the meeting about
15 biological part, the animals and land and so
16 forth.

17 And my suggestion is on the excess land,
18 such as like the buffer zone, land that's not
19 going to be used at all, if that can be turned
20 into like a preserve type of thing for the native
21 animals. Habitat friendly, perhaps add extra
22 things that would attract them, tall poles for the
23 eagles and extra rocks and native landscaping and
24 so forth.

25 And possibly make part of friendly to

1 the public like walking trails, something that we
2 would enjoy out here without disturbing the
3 animals. Their nesting places, of course, would
4 be off limits.

5 But anyway, I think that also aside from
6 having to pay people to get this done, there are
7 plenty of volunteers in the County that would help
8 with that, also, that know what they're doing.

9 Thank you.

10 MS. DYAS: Thank you. Were there any
11 other comments on noise before we move on?

12 Okay, let's move on to visual resources.
13 Our staff was fine with the visual resource
14 responses, and so they didn't have any additional
15 questions.

16 Tanya, do you have anything?

17 MS. GULESSERIAN: No.

18 MS. DYAS: Are there any agencies that
19 have comments on visual resources? Any public
20 comments on visual resources?

21 MS. BELL: Just one quick comment on
22 visual resources. And I sent some comments back
23 on the responses that Ausra sent to me asking
24 about how the landscaping would work.

25 Again, there's a lot more residences

1 than what is indicated. And, two, at the initial
2 meeting where Ausra talked to people and said that
3 they were open to landscaping, we hadn't seen the
4 plan yet.

5 And when we did see the plan, I called
6 Perry, as he'd given us his card, and said to call
7 with any questions. And we didn't want trees up
8 against our house because we want to look out over
9 our livestock. And we also want somewhat of a
10 view left.

11 And so, you know, he said we could do
12 eucalyptus along our eastern border, about 190 of
13 them. And whatever would make us happy.

14 So from the response I got, that's been
15 reneged about now it's just the sensitive
16 receivers, is what I understand. And I know
17 there's other people here that were told they
18 would get landscaping, too. And now it's just the
19 sensitive receptors.

20 I think that's a really subjective way
21 to do it, and who determines who's a sensitive
22 receptor. And I think the County probably has a
23 good idea to go and do the perimeter landscaping
24 so everybody got the same treatment.

25 And that's my comment.

1 MS. DYAS: Thank you, Robin.

2 MR. RUSKAVITCH: John Ruskavitch. Part
3 of this visual is also the thermal flare from the
4 condenser units. In URS' report, they keep
5 shrinking my airstrip, because I'm within the
6 20,000 feet of the project. By being under 3200
7 feet, they do not have to file a report with the
8 Federal Aviation to get their opinion on this
9 project.

10 Well, I'm 4200 paved, and I'm within the
11 20,000 feet, so I would like a Federal Aviation
12 report about the plumes and the glare for airplane
13 travel. And it's not just used once in a great
14 while.

15 Thank you.

16 MS. HOLMES: Just for the record, FAA
17 doesn't do plumes.

18 MR. RUSKAVITCH: No, no, it's in their
19 report that by --

20 MS. HOLMES: If you asked for an FAA
21 report on plumes, the FAA doesn't analyze plumes.
22 They're working on developing a method for doing
23 it, but they don't do it yet. It's been an issue
24 in another case. The staff does it.

25 MR. RUSKAVITCH: So, by shrinking the

1 strip they are exempt. I'm saying I'm long and
2 you're saying you're still exempt. Is that --

3 MR. KNIGHT: The FAA determination is a
4 no-hazard, only address structure heights, the
5 brick and mortars. Not thermal --

6 MR. RUSKAVITCH: Well, I'm just going by
7 their report.

8 MS. HOLMES: Okay, well, now you know
9 what the -- what FAA does and doesn't do.

10 MS. LIEBA: This is Angela Lieba for
11 URS. I just wanted to clarify for our land use
12 person who isn't available tonight due to a family
13 emergency, the FAA requires that a notice of
14 proposed construction or alteration affecting a
15 navigable airspace be filed for any construction
16 or alteration of greater height than an imaginary
17 surface extending outward and upward at 100-to-1
18 for horizontal distance of 20,000 feet from the
19 nearest point of the nearest runway of each
20 airport with at least one runway more than 32,00
21 feet in actual length, excluding heliports.

22 The applicant's project site is over
23 four miles, or 21,120 feet from the nearest edge
24 of the California Valley Airfield landing strip.
25 And the laydown area is over three and a half

1 miles, or 18,480 feet from the nearest edge of the
2 landing strip.

3 The tallest structures at the proposed
4 site are the 150-foot transmission line poles, and
5 the 115-foot air-cooled condensers.

6 The applicant's project is not within
7 20,000 feet of the airfield and does not exceed
8 the height of the imaginary surface extending at a
9 slope of 100-to-1 from the airstrip in question.

10 Therefore, it is not required to file
11 FAA 7460 notice of proposed construction or
12 alteration. That's from our land use expert.

13 MR. RUSKAVITCH: I'm going by your map
14 where it shows that it's much further than your
15 three miles. I'm going by your resource maps, not
16 what I'm creating. I'm going off your maps.

17 MS. LIEBA: Again, this is based on an
18 imaginary plain, not a flat, you know, looking at
19 a map -- what's the correct term -- looking down
20 on a plain. You're talking about an imaginary
21 plain that comes from the airport strip. That's
22 what the FAA looks at.

23 I hope that clarifies your question,
24 John.

25 MS. HAYES: Hi, this is Kelly Hayes.

1 This is my third meeting I've been to and I'm just
2 trying to clarify in my own mind, because it seems
3 to be said differently and then shown differently
4 on a map, of what area from the site, how far out
5 in regards to water, visual, sound, or noise, how
6 far out from your site is it?

7 Because one thing's being said two
8 miles, and then on your map it only shows about a
9 half a mile around. So I guess I'm just trying to
10 figure -- clarify that.

11 Because, you know, one way I'm in those
12 areas, and another where my house is -- another
13 area, on maps I'm not. So I just want to know if
14 you guys have a set. Is it a two-mile radius? Is
15 it a three-mile radius? Is it a half-a-mile
16 radius?

17 MS. LIEBA: Yeah, that's a good
18 question. This is Angela Lieba again. For every
19 resource area they have a different threshold for
20 what's --

21 MS. HAYES: Okay.

22 MS. LIEBA: -- considered sensitive and
23 what radius they look at.

24 MS. HAYES: Right.

25 MS. LIEBA: That's why I brought all

1 these experts here today, because for every single
2 resource area they look at different thresholds.

3 The Energy Commission sets standards and
4 thresholds that we need to abide by. So, as
5 applicants, consultant for the applicant, we make
6 sure that we're abiding by the standards not only
7 of the Energy Commission, but of CEQA and the
8 local laws and ordinances that have been put in
9 place for every single resource area.

10 So for different resource areas noise,
11 visual, they all look at different expanses of
12 radii to determine whether or not receptors are
13 sensitive receptors for each of those different
14 resource areas are determined.

15 MS. HAYES: Okay.

16 MS. LIEBA: So, again, they are
17 differing for every single resource area.

18 MS. HAYES: Okay, and I understand that,
19 but seems like we only get to see one map for
20 everything from you guys, there's just one general
21 area. But you're telling me that every single
22 thing has a different one. But I only see one
23 map.

24 So, say for noise, for instance, how far
25 is the distance?

1 MS. LIEBA: Maybe I can let Mark answer
2 that one. But, actually in the AFC there are
3 resource maps for every single technical resource
4 area. And most resource areas, including visual
5 for Amy's section, there's, you know, probably
6 half a dozen different visuals including maps for
7 those particular resource areas.

8 The Energy Commission again has certain
9 standards that they make us maintain. For
10 instance, you know, there has to be 10-mile
11 distance, including at a certain scale, all those
12 map requirements for each resource area are
13 included in the AFC.

14 We have this here today. We can pull
15 them out for resource area if you'd be interested.

16 MS. HAYES: Yeah, I would. I'm just
17 trying, I mean I just want to, you know, is it two
18 miles, three miles -- for noise, water and visual.
19 That's my three concerns, noise, water and visual.
20 I just want to know what the distance is, you
21 know, from the site area. Noise, water and
22 visual. I mean it would take you like two seconds
23 --

24 MS. LIEBA: Yeah, actually --

25 MS. HAYES: -- to tell me two, three,

1 four miles, whatever.

2 MS. LIEBA: -- Mark, do you want to talk
3 to noise?

4 MS. HAYES: Just give me a number.
5 Don't talk to me about mumbo-jumbo and do all
6 this, you know, talking because it loses me. I'm
7 not very educated, okay. I only went to two-year
8 college. So I just need a two or three number,
9 whatever.

10 MR. STORM: This is Mark Storm, URS.
11 The CEC has set a certain threshold, so as I
12 showed earlier on the contour map, sound is
13 propagating away from the plant.

14 So if -- we have to comply with -- I
15 believe, I want to say it's 50 dba during the
16 day --

17 MS. HAYES: Okay, you're killing me
18 here, Mark. I have no idea what you're talking
19 about. Just give me --

20 (Parties speaking simultaneously.)

21 (Laughter.)

22 MS. HOLMES: Can I try?

23 MS. HAYES: Okay.

24 MS. HOLMES: Okay, there are --

25 MS. HAYES. Sure, just give me something

1 in English --

2 MS. HOLMES: There's two things that we
3 look at. One is the County is going to set the
4 absolute level. I think he's right, something
5 called 50 for this particular area.

6 And so at an absolute minimum the
7 project has to comply with that.

8 And then the Energy Commission has also
9 set an additional threshold or a different set of
10 requirements that says we don't want any
11 residence, church, daycare facility, what we're
12 calling sensitive receptors, to experience an
13 increase greater than 10 db between 5:00 and
14 10:00, it's a grey area that depends on the
15 specific circumstances.

16 So we look at what the County says is
17 required for the zoning, for the land use. And
18 then we look at the amount of increase at people's
19 houses, schools, places like that.

20 If it's between 5 and 10 we do a much
21 more detailed and thorough analysis of how many
22 people would be affected for how long.

23 If it's over 10 we say, sorry, you can't
24 build it. If it's under 5 we say it's fine. Does
25 that help?

1 MS. HAYES: No.

2 MS. HOLMES: Sorry.

3 MS. HAYES: That's okay. Let me just
4 tell you this. I live approximately one to one
5 and a half miles from this site. Okay. Am I
6 going to be affected by noise? Yes, I am going to
7 be affected by noise.

8 Am I home every day? Yes, I'm home from
9 the hours of 7:00 till 7:00. I'm going to hear
10 construction trucks going beep, beep, beep, you
11 know, back and forth. I'm going to hear a fan
12 blowing. It's very quiet out here. So you're
13 going to hear fans.

14 Visually I'm going to sit on my deck and
15 I'm going to look at solar panels. You cannot
16 tell me that I'm not going to, even though I'm a
17 mile and a half from it.

18 Waterwise, I don't know, nobody knows
19 what the effect of water is going to be. But I
20 want to know if I'm in that zone of do I need to
21 be concerned, you know.

22 MS. HOLMES: Okay. Well, I think that
23 they're looking at the map right now for visual so
24 you can see where your property is on that map.

25 For water we need to wait until we have

1 the --

2 (Parties speaking simultaneously.)

3 MS. HOLMES: Pardon?

4 MS. HAYES: My opinion is, you know,
5 nobody can know about water. You know, nobody
6 knows if we're going to run out of water or not.
7 So, you know.

8 MR. STORM: Can you just point where you
9 live --

10 MS. HAYES: I'm not on this map.

11 MR. STORM: Are you off to the side?

12 MS. HAYES: Yes, I'm off to this side,
13 over here.

14 MR. STORM: So this is a 30 decibel
15 sound wave. The background noise is approximately
16 what, 30 decibels.

17 MS. SPEAKER: It's higher.

18 MR. STORM: Yeah, so the background
19 noise you hear the average noise -- things like
20 that, it's actually higher than the plant noise
21 you'll hear.

22 MS. HAYES: Okay. I'm going to invite
23 you guys all over to dinner.

24 (Laughter.)

25 (Parties speaking simultaneously.)

1 MS. HAYES: You can sit on my deck and
2 look at solar panels.

3 MS. GRAMLICH: This is Amy Gramlich; I'm
4 the visual person for this project at URS. And
5 just to kind of clarify it, what our radius is for
6 visual, we look at three different distances,
7 foreground, midground and distance views.

8 MS. HAYES: Okay.

9 MS. GRAMLICH: Foreground is everything
10 at .5 miles and below.

11 MS. HAYES: Okay.

12 MS. GRAMLICH: Midground is .51 miles to
13 almost 5 miles. And then distant views are 5
14 miles and beyond.

15 So our largest radius is about 5 miles
16 that we look at.

17 MS. HAYES: Okay.

18 MS. GRAMLICH: And we run a viewshed
19 model to kind of determine who can see it from the
20 furthest distance.

21 MS. HAYES: And for the record, I'm
22 neither pro nor con for you guys. But I'm just
23 trying to bring up some point. But I would invite
24 you guys to come and look; you know, come to our
25 houses, come to my house, see what I'm talking

1 about, you know. See where my neighbors next to
2 me, what we actually are going to have to look at,
3 you know, sitting on a deck, or sitting, you know,
4 enjoying our houses outside.

5 You know, listen to the quiet. I mean
6 sit out in our, you know, in our community and
7 listen to what, you know, how it is peaceful out
8 here. And how, you know, running fans are going to
9 make a difference no matter what your guys'
10 statistic say or whatever. It is going to change,
11 you know, the sounds out here.

12 And it going to visually change, you
13 know, what we look at. So I invite you to come
14 and talk to us. I mean nobody's ever written me a
15 letter asking me if I'm home, you know, or finding
16 out, you know, if anybody's -- none of my
17 neighbors I know have ever to receive letters, you
18 know, asking our opinions of, you know, whether
19 we're home, or you know, if it's going to affect
20 us.

21 So, thank you.

22 MR. COOPER: Ryan Cooper, Carrisa
23 Plains. I just had two questions. One doesn't
24 really pertain to visual, but I've had a few
25 people tell me that a modular home is not

1 considered a residence. Is that true or not?

2 MS. HOLMES: No, for purposes of our
3 analysis a residence is a residence.

4 MR. COOPER: Okay, okay.

5 MS. HOLMES: Doesn't matter if it's a
6 modular --

7 MR. COOPER: That's good, okay.

8 MS. HOLMES: -- home or not.

9 MR. COOPER: Okay. Somebody told me
10 that if it's a modular home it is not considered a
11 residence.

12 MS. LIEBA: This is Angela Lieba. Yeah,
13 that's absolutely not true.

14 MR. COOPER: Okay, thank you very much.

15 Second, on the visual, I know, you know,
16 a lot of people were talking about, you know, the
17 big towers and all this stuff. But on a more
18 basic, is there somebody looking at, you know,
19 color schemes on the buildings, tanks, you know,
20 stuff like that that's going to be seen from a
21 distance, to be able to mitigate the visual
22 impacts, especially like you're talking about,
23 from those more distant areas?

24 MS. GRAMLICH: Yes, actually for a part
25 of the design we usually -- again, this is Amy

1 Gramlich -- usually we have the coloring of the
2 buildings and all the structures proposed on the
3 project site to match the -- or to be very similar
4 to the natural colors in the environment.

5 So it's not like we're putting a big red
6 building in the middle of a nice green or, you
7 know, tan-colored field.

8 MR. COOPER: Yeah. It may be -- I'll be
9 around after, maybe we can talk. But I got some
10 ideas that I kind of -- so, I'll talk to you later
11 about that.

12 (Laughter.)

13 MR. STROBRIDGE: My name is Mike
14 Strobridge, and I've got a question about the
15 noise on my property. I'm building a house right
16 now and it would be best if you had your little
17 map up there, I think.

18 MS. LIEBA: The noise map?

19 MR. STROBRIDGE: Yeah.

20 MR. STORM: I'm sorry, could you repeat
21 the question, Mr. Strobridge?

22 MS. LIEBA: He just wants to look at --

23 MR. STROBRIDGE: I just have a question
24 about the noise. I'll show you the proximity of
25 my house.

1 MR. STORM: Oh.

2 (Pause.)

3 MR. STROBRIDGE: So, see that dot,
4 that's my shop. My house dot right there.

5 MR. SPEAKER: That's on the -- ranch.
6 You're up on --

7 MR. STROBRIDGE: No, this is me. This
8 is my shop. This is my house, my house being
9 built right now. Before your plant is even
10 okayed.

11 Your condensers are on the far end of
12 your building directly in line with my house. I'm
13 the closest resident to your condensers. How loud
14 is that going to be to my house? Does it sound
15 like a jet going through my property constantly?

16 MR. STORM: No. It's a good question.
17 You can see from the contours that the location
18 you identified, it would be beyond the 45 db
19 contour. In other words, it's actually between
20 the 45 and the 40 db contour.

21 As a jet, as you're saying, I mean I've
22 been to the San Diego Airport. I measured 100 db
23 standing 300 feet from a jet engine. That's not
24 what we're seeing here in this figure.

25 MR. STROBRIDGE: Well, when I go

1 outside, to give you an example of noise, I can go
2 outside of my house right here on say a Saturday
3 morning, and this guy up in here, I can hear his
4 radio in his house, okay, like it's in my front
5 yard. What's the decibel rating of a normal radio
6 at normal noise listening to it.

7 That's how far sound travels from there
8 to there. How far is that? All right, I can see
9 guys that come over here shooting squirrels out of
10 their truck, and I can hear them load their
11 shotgun from my front porch. That's pretty
12 minimal noise, if you ask me. And that's carrying
13 a hell of a far distance. A whole lot less than -
14 -

15 MR. STORM: Yeah, we're just looking for
16 a -- I mentioned earlier one of my comments about
17 like a sound thermometer. You see table 5.12-1
18 from the AFC. I show a variety of decibel numbers
19 going from zero db, which is -- zero db represents
20 the lowest that a healthy human child can hear.
21 Up to, as you were saying, Mr. Strobbridge, a
22 commercial jet at takeoff, which is 120 db.
23 That's your range.

24 And there's a number of examples. For
25 example, in this table I'm showing 40 db would

1 be -- I'm sorry --

2 MR. STROBRIDGE: I realize how loud it
3 is. I'm telling you look, for example, I'm sure
4 you guys don't go driving around shooting
5 squirrels, but loading shotguns like this, --
6 noise, loading your shells in your shotgun. I can
7 hear that from all the way over, probably two
8 miles.

9 So, (inaudible).

10 MR. STORM: It will depend on the
11 distance. If I had a sound meter it would depend
12 on the distance from that source.

13 MR. STROBRIDGE: Also, I have another
14 question.

15 MS. BELL: No, he's saying he can hear
16 that at a mile, that --

17 MR. STROBRIDGE: That's more than a
18 mile, two miles (inaudible) --

19 MR. SPEAKER: Go back over to the
20 microphone as fast as you can, please. I just
21 want to make sure to get all your comments on the
22 record.

23 MR. STROBRIDGE: It's roughly two miles.
24 I'm giving you an example. It's very quiet out
25 here. Your plant, 40 db might sound reasonable to

1 you, but to me that's absurd. I'm right by your
2 condensers. What's the legal setback from a
3 residence to your condensers? Is it legal for you
4 to put them right up on somebody's house? Is it a
5 mile, two miles, 100 yards? What's the legal
6 setback from a residence to your condensers?

7 MR. STORM: Well, in terms of noise
8 it's --

9 MR. STROBRIDGE: I'm not asking about
10 noise. I'm asking about setback distance. What's
11 the legal distance from a house to your
12 condensers?

13 MS. LUCKHARDT: That's more of a land
14 use question.

15 MR. STROBRIDGE: Well, land use or not,
16 I'm just curious.

17 MS. LUCKHARDT: And it, you know, the
18 project will meet whatever setback requirements
19 there are, so it's not a matter of it being too
20 far. But as far as --

21 MR. STROBRIDGE: I'm just curious how
22 far it is. Do you know?

23 MS. LUCKHARDT: Off the top of my head I
24 don't. Do you know --

25 MS. LIEBA: Our land use guy is not here

1 unfortunately.

2 MS. LUCKHARDT: Let's see if we can find
3 the setback.

4 MR. STROBRIDGE: Well, where'd he go?

5 MS. LIEBA: He had a death in his
6 family.

7 MR. STROBRIDGE: Oh, okay.

8 MS. LIEBA: I apologize for him not
9 being here.

10 MS. LUCKHARDT: We're going to see if we
11 can't find the setbacks.

12 MR. STORM: Sure. There's a number of -
13 - as I was starting to say, the sample levels
14 going from zero on up to 120. And the first
15 column indicates noise sources, sample noise
16 sources.

17 For example, 50 db light traffic 100
18 feet. Forty would be distant bird calls. Thirty
19 db a soft whisper at, I think it's five feet. And
20 then on upwards. Those are sample noise sources.

21 The third column from the left I
22 describe as a noise environment. Again, really
23 just more examples. So you can get a 50 at -- the
24 sample source being light traffic at 100 feet. A
25 typical noise environment at that level would be

1 low limit of daytime urban ambient sound.

2 And then the right-most column I
3 described as human judgment. With respect to
4 anything like a reference level.

5 I think what you're trying to address
6 is, you know, what is that shotgun shell loading.
7 You know, where would that be in this scale.

8 MR. STROBRIDGE: That's also going to be
9 a constant, so it's going to be a constant dull
10 mmmmmmm, correct? I mean you're going to have
11 constant noise. I mean would you put something in
12 your house that went ahhhhhh all day long? Hell,
13 no. You'd throw that thing out the window.

14 MR. STORM: Yeah, as I did with my air
15 conditioner a year ago, yeah.

16 MR. STROBRIDGE: You know, you're
17 talking about making that dull constant noise that
18 is very annoying to the average person in like a
19 five-mile-square radius. That's kind of a lack of
20 respect for the people that live around this area.

21 MR. STORM: Well, let --

22 MS. DYAS: Let's not get into arguments.
23 I mean answer the question, but it sounds like
24 it's just turning into an argument. So, state the
25 exact question, and then see if you can answer it.

1 MR. STORM: I mean I don't want to argue
2 a point. I just wanted to clarify that, yes,
3 every sound has a source level. And as you get
4 further away, more distant from that source, the
5 level decreases.

6 And that's one thing we are trying to
7 depict with our contours in our figure. That,
8 yes, if you're standing right next to those
9 condenser fans, wow, that's going to be really
10 loud.

11 But if I'm a mile away, two miles away,
12 the sound level you would expect to be much much
13 less.

14 MR. STROBRIDGE: I'm 2800 feet away. I
15 measured it yesterday, 2800 feet.

16 MR. STORM: Yes, and as we discussed
17 earlier, --

18 MR. STROBRIDGE: That's roughly like
19 what, half a mile?

20 MR. STORM: Well, I'm looking right at
21 the location identified. At the --

22 MR. STROBRIDGE: So how loud would that
23 be at a half a mile? Directly in line with the
24 condensers.

25 MR. STORM: I understand the direction

1 and so forth. I can't give you a precise value.
2 But I can tell you, based on the figure, that the
3 level will be between 45 and 40 db. That's what
4 we predicted.

5 That's correct, yes. My colleague
6 reminded me that that's just from the plant. It
7 does not include what may already be ambient
8 levels. And our site survey showed that ambient
9 levels are already in that neighborhood in terms
10 of the decibel scale.

11 MR. STROBRIDGE: I'll tell you what,
12 you're more than welcome to come out to my house
13 on a Saturday morning and listen to the ambient
14 levels. And I guarantee you it's not that. It's
15 dead silent.

16 MR. STORM: I won't --

17 MR. STROBRIDGE: I mean has Ausra ---

18 MR. STORM: I won't disagree that there
19 would be quiet moments --

20 MR. STROBRIDGE: -- or URS -- has any of
21 you guys come out here on --

22 MR. STORM: Yes, yes, we -- yes. When
23 we conducted measurements.

24 MR. STROBRIDGE: Okay, well, I spend all
25 my time here.

1 MR. STORM: As a matter of fact, we
2 conducted both short-term measurements, and I say
3 short-term, a duration of 15 to 20 minutes.

4 And we also conducted long-term, what we
5 call long-term monitoring, for example at the
6 school. Obviously the school being a noise
7 sensitive receiver.

8 We had a monitor there for a 25-hour
9 period as required by the CEC. So that we
10 captured, you know, not only the levels, you know,
11 to see how the levels changes throughout the day
12 and night.

13 MS. LUCKHARDT: Well, it's not in the
14 document, but we'll pull this back information and
15 get it out to everybody.

16 MR. STROBRIDGE: And you'll be able to
17 give me an answer on legal setback?

18 MS. LUCKHARDT: Yeah. We will.

19 MR. STROBRIDGE: All right. And I have
20 one more thing. It'll be quick. And you guys
21 probably want to go home.

22 Now, the variance, or modification to
23 the height requirements on these condensers,
24 they're 115 feet high. The legal height is what,
25 35 feet in an ag area, 35, 40 feet? It's roughly

1 in there.

2 Anyways, so --

3 MS. LIEBA: This is Angela Lieba again.

4 It's actually, the restriction, and John from the
5 County can help me clarify this for my land use
6 person who's not here, but the legal requirement
7 is 35 feet for a habitable structure. So that's
8 the County ordinance.

9 MR. STROBRIDGE: So what is it for an --
10 I know that we can't build a 115 foot barn out
11 here.

12 MS. LIEBA: Well, if the barn is
13 considered a habitable structure then you're
14 required to abide by the County ordinance of the
15 335-foot height restriction.

16 MR. STROBRIDGE: Okay, so what is the
17 height on it? So you can build something 500 feet
18 high in an ag zone, or --

19 MS. LIEBA: No, --

20 MR. STROBRIDGE: What is the height
21 requirement in an ag zone, in our ag zone?

22 MS. LIEBA: Clearly the -- well,
23 specifically the question related from the CEC was
24 asking about the administration building. That's
25 a 40-foot-tall structure that we have proposed as

1 part of our --

2 MR. STROBRIDGE: I'm not asking what's
3 the height. You know, you have to get some kind
4 of modification to put it up 115 feet, correct?

5 MS. LIEBA: No. What the CEC is asking
6 for is clarification with the County for the
7 administration building, which is considered a
8 habitable structure. The administration building
9 is currently proposed at 40 feet.

10 MR. STROBRIDGE: Where's the County guy?
11 Are you the County guy? What is the height
12 requirement on a nonhabitable ag structure?

13 MR. RUSKAVITCH: Thirty-five feet.

14 MR. STROBRIDGE: Thirty-five feet. I'm
15 just curious, you know.

16 MR. MCKENZIE: John McKenzie. There's
17 within the height measurements or height ordinance
18 requirements, there's an exception provision that
19 speaks to public facilities -- I'm sorry, not
20 public facilities, but to utility, public
21 utilities. Which would be an exception to that
22 35-foot height limit. So, --

23 MR. STROBRIDGE: Now there's a --

24 MR. MCKENZIE: -- you can allow --

25 MR. STROBRIDGE: -- you have, there's

1 two things that go along with that modification,
2 things are allowed to go that high?

3 MR. MCKENZIE: There's no modification
4 requirement. It's an exception which allows for
5 structures to be taller than 35 feet if they fit
6 under certain exceptions, which this, all the
7 structures that are nonhabitable would fit under
8 this exception. It's in the ordinance.

9 MR. STROBRIDGE: So if they decide to
10 put up a 250-foot tall building, that's okay with
11 the County?

12 MR. MCKENZIE: There are certain
13 findings that need to be made to do that. One
14 is --

15 MR. STROBRIDGE: Well, I'm just curious
16 because it's okay at 115 feet, why would 250
17 matter? I mean, what if they're going to like add
18 onto it in a year, you know. Those condensers
19 aren't big enough, hell, we're going to expand the
20 plant to seven more sections. We're going to jump
21 the size of those condensers up 250-foot-tall
22 buildings. Maybe add a couple more online.
23 What's to stop them from doing that?

24 MS. HOLMES: The Energy Commission.

25 (Laughter.)

1 MS. HOLMES: Can't do it without
2 permits, without permission from us.

3 MR. STROBRIDGE: All right. People can
4 do a lot of things with a lot of money.

5 Those are all the questions I have. But
6 I would like the legal setback from the condensers
7 to my house. Thank you.

8 MS. DYAS: Thank you, Mike. Did anybody
9 else have any comments on the visual?

10 Okay, we'll quickly move on to the last
11 two. Socioeconomics.

12 MS. PHINNEY: This is Suzanne Phinney
13 and I'm representing staff who are working on the
14 socioeconomic section. And I have a couple of
15 questions.

16 In the AFC it's identified that total
17 construction costs would be at \$500 million. And
18 that the project would provide approximately 170
19 million in construction payroll. And also that
20 they anticipated wages and salaries would be
21 roughly 55 million.

22 So I'm just trying to get some
23 clarification on what's covered under those
24 different costs, and particularly what is included
25 in the 170 million payroll. That, you know, is

1 over and above the 55 million in salary and wages.

2 And part of that is also to get at what
3 would be paid to the local area from that
4 construction payroll.

5 MS. LIEBA: This is Angela Lieba. Can
6 you just clarify what data request you're looking
7 at so we can make sure --

8 MS. PHINNEY: Actually, this is new.
9 So, we could wait for a second round but we
10 thought maybe we'd just get them out now.

11 MS. LUCKHARDT: And you're looking at
12 numbers that are in the application?

13 MS. PHINNEY: Yes. And I can give you
14 page numbers, for example.

15 MS. LIEBA: Thank you, that would be
16 helpful.

17 MS. PHINNEY: It's page 5.10-7,
18 identifies the 170 million. And 5.10-14
19 identifies the 55 million. And I'd have to go
20 back to figure out what page, but it's about the,
21 I think it might be --

22 MR. MORGAN: Let me just look at that
23 real quick. On the second question I don't think
24 that we have any kind of forecast on how much of
25 those wages will go local versus, you know, to the

1 east or to the west, as far as where the labor
2 forces come from at this point. So I can't answer
3 the second part of the question at this stage.

4 Can you repeat the reference to the 55
5 million figure? I'm not sure what that stands
6 for.

7 MS. PHINNEY: Yeah, it was on page 5.10-
8 14. It states that the anticipated construction
9 costs to be paid out as wages and salaries,
10 including benefits, is roughly 55 million.

11 And, you know, if you want to get back
12 with a response, that's --

13 MR. MORGAN: I think I would like to go
14 back and clarify, because those numbers look like
15 they might be inconsistent.

16 MS. LIEBA: And, again, this is Angela
17 Lieba. Our socioeconomic expert who's also our
18 land use expert is, as I mentioned, not available
19 today due to a family emergency. So he would
20 likely have these answers off the top of his head,
21 but we're trying to get this for you.

22 MS. PHINNEY: And then also on page 10-
23 14 the AFC indicates that local products would be
24 acquired as available. And that there would be
25 potentially local sales tax revenue.

1 And to the extent that you can provide
2 more specifics, including what that tax -- you
3 know, possible tax revenues might be, that would
4 be helpful. And it sounded like you might be in
5 your new manufacturing plan, might be considering
6 what materials are coming locally and what would
7 be imported. So you might have more information.

8 And to the extent that you do have that,
9 that would be helpful in our analysis.

10 MR. MORGAN: This is Rob Morgan, again.
11 I think as was mentioned earlier there is an
12 intent to obviously buy local to minimize freight
13 costs, to the extent that the product is priced
14 competitively.

15 A detailed supply chain is not going to
16 be done until we are much closer to the project
17 financing, which doesn't happen this date. We're
18 about a year away from starting construction if
19 this gets approved. So I'm not sure how much
20 detail we'll be able to provide about the actual
21 suppliers at this stage.

22 MS. PHINNEY: If you had any percentage
23 of your anticipated total outlay, --

24 MR. MORGAN: Right.

25 MS. PHINNEY: -- you know, that would be

1 helpful just in itself.

2 MR. MORGAN: Okay, we'll take a look at
3 it.

4 MS. PHINNEY: Or a range, or, you know,
5 something rather than -- as much as possible, you
6 know.

7 And then my third question is that, and
8 I apologize I don't have the -- oh, it's on page
9 10-16, that you identify that there would be a
10 property tax exemption for the plant.

11 But then you also go on to say that the
12 property tax exemption is limited to plants
13 installed on or before December 31, 2009. And
14 this plant would be constructed after that date.

15 And so, although there has been one
16 extension already of that, from 2005, as your
17 document said, to 2009, you can't automatically
18 assume that.

19 So, would you provide information on
20 what property tax revenues would come from this
21 plant if that exemption did not apply to your
22 facility?

23 MR. MORGAN: We can do that.

24 MS. PHINNEY: Let me see if there was
25 anything else.

1 And then also if you could, when you
2 make that estimation, if you can identify how
3 those revenues would be distributed. I think that
4 goes -- it would be to the Board of Equalization
5 and it goes to what they call the local tax rate
6 area, which it would be useful for you to define
7 for us.

8 MR. MORGAN: Yeah, we'll have that
9 tracking done.

10 MS. PHINNEY: Okay. Thank you.

11 MS. DYAS: Tanya, do you have any
12 comments or questions? Any agencies have comments
13 or questions?

14 MR. SPEAKER: Who did you say?

15 MS. DYAS: The agencies, any agencies
16 have comments or questions.

17 Any public comments or questions on
18 socioeconomics?

19 Okay, we'll move on to the final topic
20 which is waste management.

21 MS. PHINNEY: Thank you. We did have
22 some data requests on waste management. And
23 specifically requests 76 through 79 dealt with the
24 question of whether the structures, any
25 structures, the structures on the property would

1 be demolished. What entity would be responsible.
2 Whether it would be part of the project, and the
3 quantity of materials that would be disposed from
4 that demolition.

5 And your responses indicated that the
6 structures located on section 27 and 33 would be
7 demolished. But prior to change of ownership, and
8 therefore you did not consider that to be part of
9 the project.

10 The Energy Commission would consider
11 that demolition to be part of the project because
12 the demolition would be required in order for your
13 project to be built. And that demolition would
14 not occur save for the project.

15 So we would be looking for quantities of
16 materials from you that would result from that
17 demolition.

18 MS. LIEBA: We will provide that.

19 MS. PHINNEY: Thank you. I guess we
20 would also want clarification of who would be
21 responsible for that demolition. And, in the past
22 projects we have identified conditions associated
23 with demolition of structures to insure that they
24 are done according to the requirements of the
25 County or the Air District.

1 MR. MORGAN: I think we answered that
2 the responsibility is a contract issue between us
3 and the landowner. But obviously anything that's
4 done has to be done in accordance with acceptable
5 local permits.

6 MS. DYAS: Tanya, do you have any
7 comments?

8 MS. GULESSERIAN: No, thank you.

9 MS. DYAS: Any agency comments on waste
10 management? Any public comments on waste
11 management?

12 MS. HAYES: Hi, Kelly Hayes. Just, I
13 don't know, we don't -- in Carrisa Plains we have
14 no trash, waste management services. I was
15 wondering if you guys, what you guys were planning
16 on doing for just local trash pickup. If you were
17 going to get a dumpster or -- because I'd like to
18 be on your list of maybe the trash man could come
19 by my house.

20 (Laughter.)

21 MS. HAYES: I really hate going to the
22 dump.

23 No, really, seriously, if you guys have,
24 you know, MidState or whoever will come out here
25 and pick up your trash, if you guys could maybe

1 set us up. You know, I'm not asking you to pay
2 for my trash service, but, you know, maybe they
3 would pick up locally, too. I don't know if you
4 guys have thought about that or considered that.

5 MR. PATCH: This is Joe Patch. Not in
6 terms of exactly how that'll be handled other
7 than, you know, what would be common waste and
8 trash would be hauled to acceptable locations. I
9 don't know that those have been specifically
10 identified yet. Construction trash and whatnot
11 would be taken to, you know, local landfills and
12 disposed of as ability is provided.

13 But, at this point I don't think there's
14 been anybody identified or exactly how that
15 service would work. Or you could spin it off to
16 say there were local residents that wanted to take
17 advantage of it, then it could be included. I
18 don't guess we've decided yet.

19 MS. HAYES: Yeah, if you would just keep
20 us locally in mind when, you know, that time
21 comes. Just not even in regards to your
22 construction. I realize that's going to be a big
23 load. But once -- you know, once the plant is
24 here, just your local, or you know, your everyday
25 waste that needs to be picked up,, definitely

1 would appreciate it.

2 MR. PATCH: (inaudible).

3 MR. RUSKAVITCH: John Ruskavitch, again.

4 As far as the movement of hazardous material once
5 the plant gets started, I've been confused with
6 Tracy Road, turning directions. Right now it goes
7 north/south. Then on some of your maps it goes
8 east/west.

9 So the rumor that has been kind of going
10 around out here is that you're planning on putting
11 Tracy Road through to Soda Lake Road, then drop
12 south to highway 58. In other words, that's part
13 of the reason why you're looking at buying three
14 sections of the Beck Ranch plus the old PG&E
15 section. And that's in the County Courthouse at
16 the Assessor's Office that you've made bids on
17 that property.

18 So, I was just -- would like to find
19 out. Are you planning on putting Tracy Road
20 through? Or is that false information about
21 buying seven and a half sections of land out here,
22 not just one and a half sections?

23 MR. MORGAN: We have an option on six
24 and a half sections roughly of land out here.
25 Putting Tracy Road through to some other road is

1 not part of our plans. Obviously we plan on
2 improving Tracy Lane for the section that borders
3 our sites, obviously make it better for
4 transportation, better for our trucking and better
5 for what goes beyond us.

6 That's all we have as --

7 MR. RUSKAVITCH: Why do you have so much
8 land then if you just keep saying 640-acre project
9 plus the laydown site. And once you're built then
10 you're going to put the laydown site back to how
11 it is today. Why are you looking at so much other
12 additional land?

13 MR. MORGAN: Experience in power plant
14 development suggests that it's prudent to have
15 more land than you need for a number of reasons.
16 I even heard earlier today discussion around
17 mitigation for kit fox habitat and other things.
18 So, it's also a bit of a buffer zone for our
19 project site for certain aspects.

20 MR. RUSKAVITCH: And by you owning all
21 this additional land, is that also going to be tax
22 exempt? Because none of this land is in the
23 williamson Act. That's the only reason why you
24 folks are looking at it.

25 So, the tax value is quite high. So if

1 you buy it and there's another seven and a half
2 sections of land out of the tax roll for this
3 County. It's more of a loss. If you're not
4 paying your way then there's no maintenance from
5 these vehicles. You're not paying your way,
6 you're not paying the fire department.

7 I donated the land for that new fire
8 department so it could be built out here. That's
9 what local people do out here, they help each
10 other.

11 Well, if everything's exempt, you're not
12 contributing to us out here.

13 MR. MORGAN: I'm not sure what
14 information you have that suggests the land is
15 exempt from property taxes.

16 MS. LUCKHARDT: The only exemption
17 applies to actual development on property that are
18 completed by certain timeframe. Other sections
19 that aren't developed within the timeframe,
20 according to the way the current laws are written,
21 would not be exempt.

22 MR. RUSKAVITCH: So then you'd pay on
23 the new value of the land?

24 MS. LUCKHARDT: Yeah.

25 MR. RUSKAVITCH: And then what would

1 happen to that land that you're purchasing?

2 MR. MORGAN: We don't have any current
3 plans for that land.

4 MR. HAYES: My name's Gordon Hayes.
5 This lady right here, she kind of hit the nail on
6 the head. She wonders why we don't like these
7 people. We don't even know these people.

8 I'm not criticizing, but this gentleman
9 here has always got a smile on his face and
10 everything. Every time one of us come up here, is
11 why is that jackass coming back up here again.

12 (Laughter.)

13 MR. HAYES: But wait a second. You
14 people don't even live here. Nobody lives here.
15 You are impacting our lives. If we don't say it
16 now we're not going to get a shot at it.

17 So that's why we're frustrated. When we
18 watch the television or look at the newspaper,
19 this is a done deal. And that's just where all
20 the frustration comes from.

21 And so I hope that you understand why
22 we're so frustrated. You're impacting our lives.
23 This project is going to devalue my property. And
24 so why wouldn't I want to fight for it. You
25 people don't even live here.

1 So, we're fighting for what's ours.

2 MR. MORGAN: I can understand some of
3 the frustration. Ausra is going to be in this
4 community going forward if this project is
5 approved. From our perspective, it's not a done
6 deal. There's a long process to go through that
7 the Energy Commission manages, and it's not
8 simple, and it's not a done deal.

9 But once it's a done deal, if it
10 happens, then Ausra is part of the community for a
11 long time. So, I can appreciate your frustration,
12 but it's not our intent to come in here and turn
13 around and leave and abandon the project, or leave
14 something here that's not a part of the community.

15 MR. HAYES: Thank you.

16 MS. DYAS: Are there any further
17 questions on waste management? Any general
18 questions?

19 MR. PATTERSON: Thank you, Mary. If I
20 may I want to ratchet back, if I could, to visual.
21 Because I did talk with the URS Staff about this.
22 I think it's, from what I'm hearing, one of the
23 most significant impacts.

24 You spoke this evening about the actual
25 visual impacts of the facility, itself. And I

1 think there are just as serious concerns about the
2 impact of the lighting of the facility on the
3 night sky primarily.

4 And I would like specific information on
5 how that will be measured; what the lighting of
6 the facility will be, the types of lights and the
7 lumens and the estimated distance from the
8 facility that the light will actually impact the
9 terrestrial area, as well as the night sky.

10 I think if you could provide that
11 information that would be helpful.

12 Also, I don't know what your plans are
13 for summing up, but there aren't as many people
14 here as there were earlier. And unfortunately
15 they'll miss that. But if you could just briefly
16 run through the process so people have an
17 understanding of what's left to be done, when that
18 will be done, when they will have the information
19 that wasn't provided tonight, and some dates
20 attached to that, or approximate timelines, I
21 think that would be helpful to know.

22 And I just want to say I appreciate the
23 opportunity that you've given the community to
24 give input. And that you continue that through
25 the process. And I want to thank the local folks

1 that have come out and expressed their concerns.

2 This process is to allow the applicant
3 and the CEC to know what the concerns and the
4 issues are so they can appropriately address them,
5 and I appreciate that opportunity.

6 I know it's a long way to come, but, you
7 know, we need to do this. So, thank you.

8 MR. KNIGHT: I'd like to address your
9 comment about the lighting. I used to do visual
10 resources, I don't any longer. But, the
11 Commission has pretty stringent requirements for
12 lighting.

13 We require all lights to be pointed
14 downward, be hooded so there is no light directed
15 up to the sky. That's a big concern for us. We
16 require it to be directed towards the area that's
17 going to be illuminated.

18 Typically what's required is a lighting
19 plan. That's typically required post-
20 certification. And we have these performance
21 criteria that they're expected to meet. But all
22 the details about the lighting plan get submitted
23 post-certification.

24 So, I'm wondering if the applicant would
25 be willing to provide some of that information

1 now, earlier so the community has an opportunity
2 to see it and comment on it.

3 MS. LIEBA: This is Angela Lieba. Yeah,
4 I think obviously the community has shown that
5 this lighting plan is something that they would
6 want to see, you know, sooner rather than later.

7 So, we can certainly work with Patch
8 engineers and the Ausra engineers to make that
9 available as soon as we can.

10 MR. KNIGHT: Thank you.

11 MS. DYAS: Go ahead, Robin.

12 MS. BELL: Hi, Robin Bell, again. And I
13 had asked the question about property values.
14 Because all of us that live very close and have
15 property very close are really concerned about
16 that.

17 For me, this totally deflates my
18 property value. Personally I don't want to live
19 here. I've lived next to a freeway. I don't want
20 to hear this.

21 Anyway, one of the responses I got was
22 that, in fact, this could raise our property value
23 because of economic stimulus. And I'd like to
24 know a little bit more about that because I just
25 don't see where that economic stimulus would come

1 from. I think the report said six to 12 people
2 might relocate here. If people, or everybody's on
3 a bus they're not going to go into any stores or
4 restaurants, if we had any.

5 Anyway, I'd like to see more information
6 on that because I think a lot of us are really
7 concerned about that.

8 Thank you.

9 MS. DYAS: Thank you, Robin.

10 MR. YOUNG: Is this (inaudible) public
11 comment period? Is that where we're at?

12 MS. DYAS: Yeah, the public comment,
13 yes.

14 MR. YOUNG: Okay. Fred Young, local
15 resident. And I addressed my question to the
16 people from Ausra here, but I think this is the
17 proper time if I want to address the Commission.
18 Okay. so we'll forget these guys and just let me
19 talk to you for a minute.

20 You know I'm getting serious here
21 because I got notes.

22 (Laughter.)

23 MR. YOUNG: Let's talk about what's
24 possible here, the technology that's around today.
25 If this was a military operation, lets suppose --

1 can I talk hypotheticals here?

2 If it was, they could build that thing
3 so that nobody even knew it was here. They could
4 do it. Now, I don't know if you people will
5 require them to do it.

6 I've worked in a power plant. It was in
7 a crowded area. They may have had different
8 requirements there. It was loud as hell inside of
9 that. But you couldn't tell those generators were
10 running outside of the building. I know it's
11 possible.

12 When you consider the requirements for
13 this project, you have to consider what we're used
14 to out here, and what's going to impact, you know,
15 like this guy said, we can hear things for miles
16 out here. It's very very quiet. A single car
17 goes by on that road out there, I'm three miles
18 away, I can hear it.

19 So, that's what's possible. Noise, if
20 you want to, you can require them to make that
21 thing so quiet we won't even hear it. We'd like
22 you to do that.

23 Visual, you can require that building,
24 nobody will even know it's there, who's passing
25 by. They can landscape it; they can put up berms;

1 they could even sink the darn thing under the
2 ground. You know, if this was a military
3 operation I guarantee you nobody would know it was
4 there.

5 All right, you know, and the mice, you
6 know. With all this back to the Sierra Club lady,
7 you know, those mice are going to be there a hell
8 of a long time after these people are gone.

9 (Laughter.)

10 MR. YOUNG: They can't get rid of them
11 if they tried. I have. So I'm not going to worry
12 about that. You know, they may provide a better
13 environment for the animals that are there.

14 But there's one issue that's really, you
15 know, we can live with some inconveniences and
16 construction disruptions and such, but the water,
17 the water is an issue that's, you know, this is a
18 failsafe thing.

19 If there are mistakes, if the water goes
20 bad, if the wells go dry, that's a catastrophic
21 situation. You know, we can't say, oh, well,
22 we'll get it back up and running within a year.
23 That doesn't work.

24 So, hypothetically, again, I'd like to
25 know, and I think everybody here would like to

1 know, let's just suppose hypothetically that they
2 get up and running and bad things start to happen.
3 Because we're a very borderline community here and
4 everybody knows we've had drought conditions and
5 they may continue, they may get worse.

6 In a hypothetical scenario where the
7 wells start to go dry, or the water quality starts
8 to diminish, and we already have some bad water
9 around here, what happens. Are you going to then
10 shut this place down if that happens? Or are we
11 all out of a place to live?

12 I think, you know, we're looking at it
13 that seriously. This could kill this little town
14 if that water, you know, which they say don't
15 worry about, it's only a garden hose, but, you
16 know, people I talk to don't look at it as an
17 insignificant issue.

18 If the water goes bad, I figure it kills
19 this little town. So, what happens? That's my
20 hypothetical question. If that happens and the
21 water starts to be an issue, and it's affecting
22 lifestyles here to the point where people can't
23 live here anymore, I'd like to know what happens.

24 (Applause.)

25 MS. HOLMES: Do you want an answer to

1 that question?

2 MR. YOUNG: If you can.

3 MS. HOLMES: If there's a situation that
4 arises that was unanticipated, for example we
5 looked at the analysis that they did on water and
6 we said, looks good to us, we really don't think
7 there's going to be a problem.

8 And the project is licensed and we know
9 how much water it's using because we'll be
10 requiring them to meter their water use. And it
11 turns out that problems develop in other people's
12 wells. And we have to become aware of it and you
13 will -- anybody who lives here who wants to,
14 assuming this project is certified, will have
15 access to the people at the Energy Commission that
16 handle compliance with conditions.

17 So, you contact them and you tell them.
18 And at that point the Commission Staff takes a
19 look at it. And they maybe do more detailed work
20 on the water situation. For example, maybe they
21 conduct very detailed groundwater modeling to try
22 to figure out exactly what's going on down there.

23 And if the project -- you're asking if
24 the project were to be determined to be causing
25 loss of water in the well, or increased lift or

1 something like that, that's not happened in the
2 past. And so I can't tell you that I know exactly
3 what would happen in the future. But the
4 Commission has always taken interference with
5 water, people's personal water supply, extremely
6 seriously. They've always been very conservative
7 about it before there are conditions associated
8 with other projects that say if there's an
9 increase in drawdown of more than five feet, it
10 has to be mitigated or the project can't operate.

11 So, I would expect that something along
12 those lines would occur.

13 Do you want to add to that, or not?

14 MR. LINDLEY: Sure.

15 MS. HOLMES: The types of impacts that
16 affect people's water supply are amongst the most
17 serious that we consider. It really is a big deal
18 for us.

19 MR. LINDLEY: I'm Mark Lindley. I'm
20 water staff for the Energy Commission. Some of
21 the things that I'm thinking about, as far as
22 conditions of approval at this point, would
23 involve potentially doing some groundwater
24 monitoring to keep an eye on groundwater levels
25 and groundwater quality along the perimeter of the

1 site so that the applicant can report back and
2 identify any issues as they come up.

3 And then also, as she discussed, we
4 generally include a condition of approval that
5 deals with changes or impacts to the water supply
6 to neighboring residents that are depending on
7 groundwater.

8 So, I could see two conditions of
9 approval that would be directly related towards
10 monitoring the situation and requiring the
11 applicant and the power plant, once it's up and
12 operating, to mitigate any impacts that would come
13 up to any of the neighboring water uses or
14 neighboring residences.

15 MS. HOLMES: Thank you.

16 MS. DYAS: Are there any other general
17 comments, questions?

18 Okay, for a closing, and one thing I do
19 want to say initially in closing is that this is
20 by no means a done deal.

21 Our staff, once we complete our
22 analysis, the stage that we're in right now, like
23 I said, we're in the gathering data stage. Staff
24 is going to write their analysis and put out what
25 we call our preliminary staff assessment. And

1 this is staff's first cut at what they perceive
2 as, you know, their conclusions regarding the
3 review of the application.

4 That PSA, as we call it, is due to come
5 out sometime in early June. When it is released,
6 there will be a 30-day public comment period. And
7 also within this document, in each technical
8 section, there will be a response to public and
9 agency comments section. So we'll have your
10 comments in there or your questions in there, and
11 you can see where your questions are answered.

12 During that comment period we will
13 generally hold a preliminary staff assessment
14 workshop where after you, the public, have had a
15 chance, and the agencies have had a chance to
16 review the document, we'll hold a workshop where
17 you can comment again on staff's analysis at this
18 point, as opposed to just commenting on the AFC.
19 Because you'll be able to make your comments on
20 that staff assessment. And review it to see if
21 your questions have been answered. You can
22 comment and let us know whether your questions
23 have been answered or not.

24 After that comment period, then we'll go
25 into the drafting of the final staff assessment.

1 And once the final staff assessment is done, then
2 we go, as I said in the beginning, into the
3 evidentiary hearings where basically our staff
4 will make a recommendation to the Committee.

5 Our staff doesn't make the decision on
6 whether to give a license to this project. The
7 Committee, who was here at the open house,
8 consisting of the Commissioners and the Hearing
9 Officer, will make that final decision on whether
10 or not to grant the license.

11 So, it's by no means a done deal. And
12 we're still really, like I said, early in the
13 process where our staff is still working on their
14 assessment of the project.

15 So there's still going to be plenty of
16 opportunities to get your comments in there. And
17 we do always recommend that you send your comments
18 in writing so that they can be given to the entire
19 staff, the Committee, so that everybody sees the
20 questions, knows the concerns. And, you know,
21 like I said, they will be addressed in the staff
22 assessments.

23 After the staff gets done with that,
24 then it goes into the Committee's hands to make
25 the final decision.

1 So, so far after this workshop we have a
2 workshop, actually an information workshop,
3 scheduled for April 12th. And that's on a
4 Saturday. We're still nailing down the details on
5 the whens and wheres. But it will be on that
6 Saturday.

7 And then after that, as I said, after
8 the PSA has been published we will hold another
9 preliminary staff assessment workshop, as I said,
10 which you can make your comments on that initial
11 document that we release.

12 So, there's still going to be plenty of
13 time to get your comments in there. You can
14 either send them directly to our docketing unit or
15 send them to me and I will make sure that they do
16 get docketed and distributed to everybody.

17 So, don't be thinking that it is a done
18 deal, because we're still a long way out. From
19 the date that the document was deemed adequate or
20 accepted as adequate, which was December 19th,
21 that started the one-year clock. So we're still
22 early in the one-year process.

23 And just depending on the outcome of any
24 of these future workshops and events that may be
25 outside of our control, that could always take

1 longer. It just depends.

2 So, we still have a ways to go. And as
3 Caryn mentioned, we don't take these things
4 lightly. Our staff does look into them. And
5 especially the water is the big issue. And we
6 know that. And with the visual, as well.

7 And we do, in each section of the
8 document, you can also go online and see what
9 these documents look like, because a lot of the
10 projects that we have inhouse have already gotten
11 to that stage of having a preliminary document
12 out.

13 You can see how it's set up; how each
14 technical area contains mitigation measures,
15 conditions of certification that the applicant is
16 required to follow. So you can see what an
17 example of what's going to be coming for this
18 project.

19 So, keep the questions coming. Keep
20 showing up to the workshops and making your
21 comments. And making sure you do get answers.
22 And, as I said -- and we do have the sign-up
23 sheet, and if you haven't been receiving any of
24 the notices or anything, please make a note on
25 there and we will definitely try and make sure --

1 not try, we will make sure that you get added to
2 the mailing list to receive the notices for these
3 workshops.

4 So, there's still a ways to go. And we
5 do definitely still want your comments. You know,
6 and hopefully we will be able to answer all of
7 them. And they will be addressed in the staff
8 assessment.

9 So, I thank everybody for showing up
10 here tonight, both Ausra and URS. And I thank
11 Tanya for showing up for CURE.

12 And that's all I have for right now.
13 And we will be back here on the 12th.

14 (Whereupon, at 9:30 p.m., the workshop
15 was adjourned.)

16 --o0o--

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I, TROY A. RAY, an Electronic Reporter, do hereby certify that I am a disinterested person herein; that I recorded the foregoing California Energy Commission Workshop; that it was thereafter transcribed into typewriting.

I further certify that I am not of counsel or attorney for any of the parties to said workshop, nor in any way interested in outcome of said workshop.

IN WITNESS WHEREOF, I have hereunto set my hand this 25th day of March, 2008.

BEFORE THE ENERGY RESOURCES CONSERVATION AND DEVELOPMENT COMMISSION OF THE
STATE OF CALIFORNIA

APPLICATION FOR CERTIFICATION
For the CARRIZO ENERGY
SOLAR FARM PROJECT

Docket No. 07-AFC-8

PROOF OF SERVICE
(Revised 2/5/2008)

INSTRUCTIONS: All parties shall either (1) send an original signed document plus 12 copies or (2) mail one original signed copy AND e-mail the document to the address for the Docket as shown below, AND (3) all parties shall also send a printed or electronic copy of the document, which includes a proof of service declaration to each of the individuals on the proof of service list shown below:

CALIFORNIA ENERGY COMMISSION
Attn: Docket No. 07-AFC-8
1516 Ninth Street, MS-14
Sacramento, CA 95814-5512
docket@energy.state.ca.us

APPLICANT

Perry H. Fontana, QEP
Vice President-Projects
Ausra, Inc.
2585 East Bayshore Road
Palo Alto, California 94303
perry@ausra.com

APPLICANT CONSULTANT

Angela Leiba, GISP
Senior Project Manager
GIS Manager/Visual Resource
Specialist
URS Corporation
1615 Murray Canyon Road, Suite 1000
San Diego, CA 92108
angela_leiba@urscorp.com

Kristen E. Walker, J.D.
URS Corporation
1615 Murray Canyon Road, Suite 1000
San Diego, California 92108
kristen_e_walker@urscorp.com

COUNSEL FOR APPLICANT

Jane Luckhardt, Esq.
Downey Brand Law Firm
555 Capitol Mall, 10th Floor
Sacramento, CA 95814
jluckhardt@downeybrand.com

INTERESTED AGENCIES

Larry Tobias
CA Independent System Operator
151 Blue Ravine Road
Folsom, CA 95630
ltobias@caiso.com

Electricity Oversight Board
770 L Street, Suite 1250
Sacramento, CA 95814
esaltmarsh@eob.ca.gov

INTERVENORS

* California Unions for Reliable Energy
(CURE)

c/o Tanya Gulesserian
Adams Broadwell Joseph & Cardozo
601 Gateway Boulevard, Suite 1000
South San Francisco, CA 94080
tgulesserian@adamsbroadwell.com

ENERGY COMMISSION

Jackalyne Pfannenstiel
Chairman and Presiding Member
jpfannen@energy.state.ca.us

Jeffrey D. Byron
Commissioner and Associate Member
jbyron@energy.state.ca.us

Gary Fay
Hearing Officer
gfay@energy.state.ca.us

Mary Dyas
Project Manager
mdyas@energy.state.ca.us

Caryn Holmes
Staff Counsel
cholmes@energy.state.ca.us

Michael Doughton
Staff Counsel
mdoughto@energy.state.ca.us

Public Adviser's Office
pao@energy.state.ca.us


DECLARATION OF SERVICE

I, Christina Flores, declare that on April 2, 2008, I deposited copies of the attached Carrizo Energy Solar Farm Project (07-AFC-8) Data Response Workshop transcript in the United States mail at Sacramento, CA with first-class postage thereon fully prepaid and addressed to those identified on the Proof of Service list above.

OR

Transmission via electronic mail was consistent with the requirements of California Code of Regulations, title 20, sections 1209, 1209.5, and 1210. All electronic copies were sent to all those identified on the Proof of Service list above.

I declare under penalty of perjury that the foregoing is true and correct.



Christina Flores