

BUSINESS MEETING  
BEFORE THE  
CALIFORNIA ENERGY COMMISSION

In the Matter of: )  
 ) 21-BUSMTG-01  
 *Business Meeting* )  
 \_\_\_\_\_ )

REMOTE ACCESS ONLY

*The California Energy Commission's (CEC) April 14, 2021 Business Meeting will be held remotely, consistent with Executive Orders N-25-20 and N-29-20 and the recommendations from the California Department of Public Health to encourage physical distancing to slow the spread of COVID-19. The public may participate consistent with the direction in these Executive Orders.*

*Pursuant to California Code of Regulations Title 20 section 1104(e), any person may make oral comment on any agenda item. To ensure the orderly conduct of business, such comments will be limited to three minutes or less per person. Any person wishing to comment on information items or reports (non-voting items) shall speak during the general public comment portion of the meeting and have three minutes or less to address all remaining comments.*

WEDNESDAY, APRIL 14, 2021

10:00 A.M.

Reported by:  
Peter Petty

## APPEARANCES

### Commissioners (Via Remote)

David Hochschild, Chair  
Karen Douglas  
Andrew McAllister  
Patricia Monahan  
Siva Gunda

### Staff Present: (Via Remote)

Linda Spiegel, Chief Deputy Director  
Linda Barrera, Chief Counsel  
Noemi Gallardo, Public Advisor  
Dorothy Murimi, Public Advisor's Office

### Agenda Item

Heather Raitt	2
Mike Gravely	2
Elizabeth Huber	3, 4
Steven Kerr	5
Susan Cochran	6
Peter Strait	7
Joe Loyer	8
Eric Stokes	10
Kyle Corrigan	11
Ilia Krupenich	12
Baldomero Lasam	13
Matthew Fung	14
Robin Goodhand	15
Karen Perrin	16
Dustin Davis	17
Brad Williams	18
Michael Ferreira	19
Benson Gilbert	20
Adel Suleiman	21

## APPEARANCES (Cont.)

### Others Present (Via Remote)

<u>Interested Parties</u>	Agenda Item
Michael Carroll, Latham Watkins for	3
Inland Empire Energy Center	
Stephen O'Kane, AES	4
Jeff Harris, Ellison, Schneider, Harris, Donlan for AES	4
Scott Galati, DayZen, LLC, for Amazon Data Services (ADS)	5
Steven Botic, ADS	5
John Carlton, ADS	5
Michael Malinowski, AIA California	7
Linda Urata, Kern Council of Governments	11
Toni Scott, Gallo Glass Company	12
Roland Winston, Winston Cone Optics	13
Mary Ann Piette, Lawrence Berkeley Laboratory	14
Martha Campbell, Rocky Mountain Institute	16
David Meyers, Polaris Energy Services, Inc.	17
Cisco DeVries, OhmConnect	18
Justin Knapp, All Power Labs, Inc.	19
Leland Price, Caban Systems	19
Martin Lynch, FreeWire Technologies	19
Justin Briggs, Antora Energy, Inc.	20
Etosha Cave, Opus 12	20
Andrew Coleman, EPRI	21
 <u>Public Comment</u> (Via Remote)	 Agenda Item
Evelyn Loya, Southern California Gas Company	2
Claire Warshaw	2
Robert Perry, Synergistic Solutions, LLC	2
Ranji George, Coalition for Advanced ZEV	3, 11, 26
Bill Brown, Brownson Technical School	8
Scott Galati, DayZen, LLC	26
Matt Garner, Roseville Electric	26

## I N D E X

	Page
Proceedings	9
Items	
1. Consent Calendar	16
a. Clean Energy States Alliance, Inc. (CESA)	
b. TRB and Associates, Inc.	
2. Proposed Adoption of 2020 Integrated Energy Policy Report Update (IEPR), Volume II on Microgrids (20-IEPR-01)	17
3. Inland Empire Energy Center (IEEC) (01-AFC-17C)	40
4. Huntington Beach Energy Project (12-AFC-02C)	48
5. Gilroy Backup Generating Facility (GBGF) (20-SPPE-03)	54
6. Report from Committee and Possible Additional Direction to Committee Regarding Progress on the Application for an SPPE for the Sequoia Backup Generating Facility (19-SPPE-03)	60
7. Zero Code Petition Submitted by American Institute of Architects (AIA) California	65
8. Requiring ATT Certification for Mechanical Acceptance Testing	75

I N D E X (Cont.)

Page

<del>9. School Energy Efficiency Stimulus (SEES) (20-RENEW-01)</del>	<del>---</del>
<del>a. School Reopening Ventilation and Energy Efficiency Verification and Repair (SRVEVR) Program.</del>	
<del>b. School Noncompliant Plumbing Fixture and Appliance (SNPFA) Program.</del>	
10. Electric Program Investment Charge (EPIC) 2020 Annual Report	81
11. Electric Vehicle (EV) Ready Communities Phase II - Blueprint Implementation - GFO-19-603	97
a. Ventura County Regional Energy Alliance.	
b. Kern Council of Governments.	
12. Discussion of Developing and Demonstrating Advanced Combustion Systems for The Industrial Sector - GFO-20-501	107
a. Gallo Glass Company.	
b. Institute of Gas Technology DBA Gas Technology Institute.	
13. Solar Heating, Cooling, and Power for Industrial and Commercial Applications - GFO-20-502	112
a. Winston Cone Optics, Inc.	
14. Lawrence Berkeley National Laboratory	116

## I N D E X (Cont.)

	Page
15. Technology & Investment Solutions, LLC.	125
16. Rocky Mountain Institute	132
17. Polaris Energy Services, Inc.	139
18. OhmConnect, Inc.	147
19. Bridge 2020: Bringing Rapid Innovation Development to Green Energy - GFO-20-301.	154
a. All Power Labs, Inc.	
b. Caban Systems, Inc.	
c. Cuberg, Inc.	
d. Nextech Batteries, Inc.	
e. Freewire Technologies Inc.	
20. Ramp 2020: Realizing Accelerated Manufacturing and Production for Clean Energy Technologies - GFO-20-302	165
a. Clark Pacific Technology, LLC.	
b. Antora Energy, Inc.	
c. Ubiquitous Energy, Inc.	
d. Halo Industries, Inc.	
e. Opus 12 Incorporated.	

I N D E X (Cont.)

	Page
21. Advanced Plug Load And Smart Exterior Lighting - GFO-20-303	171
a. Electric Power Research Institute, Inc.	
b. The Regents of The University of California, On Behalf of The Davis Campus	
22. Minutes	176
23. Lead Commissioner or Presiding Member Reports	177
24. Executive Director's Report	190
25. Public Advisor's Report	190
26. Public Comment   25, 42, 49, 56, 67, 78, 102, 109, 114, 119 136, 149, 159, 168, 174, 192	
27. Chief Counsel's Report	199
a. Pursuant to Government Code Section 11126(e), the CEC may adjourn to closed session with its legal counsel to discuss any of the following matters to which the CEC is a party:	
i. <i>In the Matter of U.S. Department of Energy             (High Level Waste Repository) (Atomic Safety             Licensing Board, CAB-04, 63-001-HLW); State of             California v. United States Department of Energy             (9th Cir. Docket No. 09-71014)</i>	
ii. <i>Communities for a Better Environment and Center             for Biological Diversity v. Energy Resources             Conservation and Development Commission, and             California State Controller, (Alameda County             Superior Court, Case No. RG13681262)</i>	

	Page
27. Chief Counsel's Report (Cont.)	199
iii. <i>State Energy Resources Conservation and Development Commission v. Electricore, Inc. and ZeroTruck</i> (Sacramento County Superior Court, Case No. 34-2016-00204586-CU-BC-GDS)	
iv. <i>State Energy Resources Conservation and Development Commission v. HyGen Industries, Inc.</i> (Sacramento County Superior Court, Case No. 34-2019-00252543-CU-BC-GDS)	
v. <i>Olson-Ecologic Testing Laboratories, LLC v. CEC.</i> (Orange County Superior Court Case No. 30-2019-01115513-CU-BC-CJC)	
vi. <i>Interlink Products International, Inc. v. Xavier Becerra, Drew Bohan, Melissa Rae King</i> (United States District Court for the Eastern District of California, Case No. 2:20-cv-02283)	
vii. <i>Southern California Gas Company v. California State Energy Resources Conservation and Development Commission</i> (Sacramento County Superior Court Case No. 34-2021-80003576-CU-WM-GDS).	
b. Pursuant to Government Code, section 11126, subdivisions (a) and (e), the CEC may also discuss any judicial or administrative proceeding that was formally initiated after this agenda was published; or determine whether facts and circumstances exist that warrant the initiation of litigation, or constitute a significant exposure to litigation against the CEC, which might include personnel matters.	
Adjournment	201
Reporter's Certificate	202
Transcriber's Certificate	203



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

P R O C E E D I N G S

MARCH 17, 2021 10:02 a.m.

VIDEO NARRATOR: (Introductory video begins.)

Today's Business Meeting is being held remotely.

To make public comments please call the Verizon line at  
888-823-5065. Again, that's 888-823-5065. The pass code  
is "Business Meeting." Provide the Operator your name, the  
organization you are affiliated with, if any, and the item  
number or numbers on which you seek to make a comment.

Also tell the Operator if you represent the federal or  
state legislature, a tribal nation or California tribal  
government, state agency or county or city government.

The lines for each person seeking to make a  
comment will be opened one at a time. After the meeting  
facilitator calls your name your line will be opened.  
Please restate your first and last name and spell your  
names. Also indicate the affiliation you represent, if  
any.

Finally, to help ensure you're heard clearly do  
not use the speakerphone feature when talking. Talk  
closely into the phone. And to avoid an echo or feedback  
loop leave Zoom or mute Zoom while making your public  
comment.

Welcome to the California Energy Commission's

1 Business Meeting. The meeting will now begin.

2 (End of Introductory Video)

3 CHAIR HOCHSCHILD: Well, good morning everyone.

4 Happy spring and welcome to the Energy Commission's April  
5 Business Meeting. If we could, let's start off with  
6 Commission Monahan leading us in the Pledge of Allegiance.

7 (Whereupon the Pledge of Allegiance is recited.)

8 CHAIR HOCHSCHILD: Thank you, Commissioner. So  
9 some good news on the horizon, California's set to open on  
10 June 15th. In the meantime, please continue wearing masks  
11 and get vaccinated when you can. I actually got vaccinated  
12 yesterday -- my first dose of Moderna -- no side effects,  
13 felt great. And I'm happy to see this finally rolling out,  
14 so encourage everyone to get on the list. You can register  
15 at "My Turn," the website created by the Governor's Office  
16 for notifications at [myturn.ca.gov](https://myturn.ca.gov).

17 Today's Business Meeting is being held remotely  
18 without a physical location for any participant consistent  
19 with Executive Orders N-25-20 and N-29-20 and the  
20 recommendations from the California Department of Public  
21 Health to encourage social distancing in order to slow the  
22 spread of COVID-19.

23 The public may participate and/or observe the  
24 meeting consistent with the direction in these executive  
25 orders. Instructions for remote participation can be found

1 in the notice for this meeting as set forth on the agenda  
2 posted on the Commission's website link for the Business  
3 Meeting.

4 We're using a combination of Zoom and Verizon for  
5 remote access. If Zoom shuts down today we will continue  
6 this meeting on our Verizon phone line. Call Verizon at  
7 888-823-5065. And the pass code is "Business Meeting."

8 The Commission values public participation and  
9 stakeholder engagement. Pursuant to California Code of  
10 Regulations Title 20, 1104(e) any person may make oral  
11 comment on any agenda item. To ensure that the orderly  
12 conduct of business such comments will be limited to three  
13 minutes or less per person as to each item listed on the  
14 agenda that is voted on today.

15 Any person wishing to comment on information  
16 items or reports, which are non-voting items shall reserve  
17 their comment for the general public comment portion of the  
18 meeting agenda and shall have three minutes or less total  
19 to state all remaining comments. To provide public comment  
20 please call Verizon phone line at 888-823-5065. The pass  
21 code is "Business Meeting."

22 All right, let me just begin with a little  
23 reflection. So it's, I think, almost exactly two years  
24 since I started as Chair. And I just wanted to share my  
25 incredible gratitude and satisfaction with where we are as

1 a group, starting with my peers Commissioner Douglas,  
2 Commissioner Monahan, Commissioner Gunda, Commission  
3 McAllister. They wake up every day and work their hearts  
4 out to make things better and make an impact. And I really  
5 have felt that so deeply the last few years, the things  
6 that we've been moving forward and across the board, the  
7 talent that we have, Drew and Linda on the Executive  
8 Office, Ferrera in Government Affairs and International  
9 Affairs, Lindsay Buckley at Communications, our amazing  
10 Public Advisor Noemi Gallardo, and all the deputies and all  
11 the advisors.

12           The team got a little bit stronger last week when  
13 we hired our new permanent Chief Counsel Linda Barrera. I  
14 wanted to just say, Linda, it's been a delight working with  
15 you these last weeks when you stepped up on very short  
16 notice to take over, as Commissioner Houck was appointed to  
17 the PUC. I've really appreciated your legal mind and your  
18 diligence and your passion for the Energy Commission's  
19 mission and your professionalism. It's really just been  
20 wonderful to see how you work and to see all the talent you  
21 bring in. I know you're going to continue to grow into the  
22 job, and so I just want to give a moment if we could just  
23 from any other Commissioners who'd like to say any  
24 congratulations or remarks about Linda.

25           Commissioner McAllister, do you want to start?

1                   COMMISSIONER MCALLISTER: Oh, sure. Yeah, it's  
2 always been a pleasure to work with Linda when she was on  
3 Commissioner row (phonetic) as an advisor and then in the  
4 Chief Counsel Office. And yeah, just welcome Linda. In  
5 particular, one of our biggest lifts at the Energy  
6 Commission is the Building Standards. And as we work  
7 through that environmental impact report and all the  
8 corollary activities that have to move down parallel tracks  
9 that all carry a lot of payloads, Linda is on top of it.  
10 And really interacting with our sister agencies and all the  
11 steps and stages of that process, so I'm really grateful  
12 already for her impact which is already huge. So thank  
13 you, Linda.

14                  CHAIR HOCHSCHILD: Good. Commissioner Douglas?

15                  COMMISSIONER DOUGLAS: Yeah, I just wanted to add  
16 my congratulations to Linda, I'm really excited. I've  
17 enjoyed working with Linda quite a lot in particular roles  
18 at the energy Commission. And I think, Linda, you'll do  
19 great as Chief Counsel, so congratulations.

20                  MS. BARRERA: Thank you.

21                  CHAIR HOCHSCHILD: Great. Commissioner Monahan?

22                  COMMISSIONER MONAHAN: Linda, I want to thank you  
23 for stepping up at this time when we so need you. And just  
24 really like the others I've really appreciated my  
25 interactions with you and look forward to working with you

1 more. And I just want to welcome you, together with  
2 Commissioner Douglas, in the world of women with children  
3 navigating a big job. And I just wanted to say that I  
4 appreciate it. I have struggled with that myself trying to  
5 figure out how to how to be a good mom and a good  
6 professional in the workplace. And just welcome you in  
7 this family of women leaders at the Energy Commission.

8 MS. BARRERA: Thank you so much.

9 CHAIR HOCHSCHILD: Commissioner Gunda?

10 COMMISSIONER GUNDA: Yes, thank you, Chair. Many  
11 congratulations, Linda. I mean, I literally could not  
12 have wished for a better person to be filling this role.  
13 And thinking, as I've kind of shared with you privately  
14 after you got your appointment, there is a list of like how  
15 smart and how capable you are, and the legal mind you bring  
16 to the table. Thank you always being very thoughtful. I  
17 really appreciate your spirit of collaboration and just  
18 your genuine spirit of kindness. And so I really hope that  
19 you make CEC a better place. I'm looking forward to your  
20 success and being a part of your success. Thanks.

21 MS. BARRERA: Thank you very much.

22 CHAIR HOCHSCHILD: Thank you, Commissioners.

23 Yeah, and Linda I think other than dealing with a  
24 difficult Chair I think you'll enjoy the job. We'd love to  
25 hear if you wanted to share any words or thoughts.

1 MS. BARRERA: Yes, I do. Thank you so much,  
2 Chair. Good morning, Commissioners. I am grateful and  
3 honored to be taking on the role of leading the  
4 Commission's Legal Office as we embark on what is truly  
5 transformative changes to meet our clean energy goals,  
6 while at the same time making sure that we're benefiting  
7 all of California. And it's just a true pleasure to be at  
8 the Commission at such an important and critical moment.

9 If I may just provide a really brief background  
10 about my path as an attorney. I mean, as you probably know  
11 and I've said this before, I'm an immigrant from Panama. I  
12 came to the United States when I was 18 years old. I had  
13 nothing. I had only a dream to work on clean, renewable  
14 energy. And after brief stints as a mechanical engineer  
15 and leader advocating for clean energy solutions for  
16 indigenous people in Latin America, I chose to come and get  
17 an education at the United States. And I focused on energy  
18 and environmental law.

19 Before joining the stellar team of attorneys at  
20 the Energy Commission in 2015, I worked as an attorney or  
21 practiced law at the California Public Utilities  
22 Commission, the Attorney General's Office and at the  
23 Department of Fish and Wildlife.

24 And I, as you probably know, we have a fantastic  
25 group of attorneys who are committed and passionate about

1 the work of the Commission. And as Chief Counsel I am  
2 committed to leading the team and supporting all of our  
3 attorneys to provide you outstanding legal advice and to  
4 support the staff at the Commission. And I look forward to  
5 working with all of you. And I just want to thank you so  
6 much from the bottom of my heart for this opportunity to be  
7 part of the Commission through really informative changes.  
8 Thank you so much.

9 CHAIR HOCHSCHILD: Thank you, Linda, and we're so  
10 excited to have you in this new role as part of leadership.  
11 Yes.

12 All right with that let's move on to the agenda.  
13 Today we are going to be approving, if we pass all these  
14 items, over \$73 million in funding. We're helping to  
15 accelerate California's economic recovery. I've asked  
16 Noemi to continue to compile these totals. It's really  
17 important for us to just bear in mind the significance of  
18 the impact that the Energy Commission is having. I just  
19 want to thank again all the staff from every Division who  
20 work so hard every week to prepare these projects for  
21 approval. This is really exciting to be able to continue  
22 to move this is kind of volume of funds.

23 So with that let's move to the Consent Calendar,  
24 Item 1. Is there any public comment on Item 1?

25 MS. GALLARDO: Hello, Chair. Good morning



1 everybody, this is Noemi Gallardo, Public Advisor. There  
2 are no public comments for Item Number 1.

3 CHAIR HOCHSCHILD: Okay, unless there's any  
4 Commissioner discussion is there a motion? Commissioner  
5 Douglas would you be willing to move Item 1?

6 COMMISSIONER DOUGLAS: Yes, I move Item 1.

7 CHAIR HOCHSCHILD: Okay. Commissioner Gunda,  
8 would you be willing to second?

9 COMMISSIONER GUNDA: I'll second Item 1.

10 CHAIR HOCHSCHILD: All in favor say aye.

11 Commissioner Douglas?

12 COMMISSIONER DOUGLAS: Aye.

13 CHAIR HOCHSCHILD: Commissioner Gunda?

14 COMMISSIONER GUNDA: Aye.

15 CHAIR HOCHSCHILD: Commissioner Monahan?

16 COMMISSIONER MONAHAN: Aye.

17 CHAIR HOCHSCHILD: Commissioner McAllister?

18 COMMISSIONER MCALLISTER: Aye.

19 CHAIR HOCHSCHILD: And I vote aye as well. That  
20 item passes unanimously.

21 Let's turn now to Item 2, Proposed Adoption of  
22 the 2020 Integrated Energy Policy Report, Volume II on  
23 Microgrids.

24 MS. RAITT: Thanks. Good morning, Commissioners.  
25 I'm requesting your approval of the second volume of the

1 2020 Integrated Energy Update, or the 2020 IEPR update for  
2 short. I'm Heather Raitt the Assistant Executive Director  
3 for Policy Development and the IEPR Program Manager. I'm  
4 joined today by the lead author for this volume, Mike  
5 Gravely from the Energy Research and Development Division.  
6 Next slide, please.

7           The Energy Commission prepares an IEPR every two  
8 years, with updates in alternate years, provide energy  
9 analysis and policy recommendations to the Governor and  
10 Legislature. IEPR is an important part of the state's  
11 efforts to ensure an equitable, clean, affordable and  
12 reliable energy system.

13           Under the leadership of Commissioner Patty  
14 Monahan the 2020 IEPR Update is comprised of three volumes.  
15 Volumes I and III were adopted last month in March. Volume  
16 I puts forward recommendations to advance California's  
17 clean transportation future. And Volume III is on energy  
18 demand. Volume II is on microgrids and is being considered  
19 for adoption today. Chair Hochschild and former Vice-Chair  
20 Scott led its development.

21           Microgrids are part of a suite of solutions as we  
22 work to ensure a clean and resilient energy grid for all  
23 Californians. In certain cases microgrids may provide a  
24 cost-effective solution to meet the individual needs from  
25 end users in the event that they cannot be served by the

1 grid. However, microgrids are not appropriate or cost-  
2 effective to address every problem; rather they must be  
3 deployed strategically. And Michael will go over the  
4 opportunities for strategic deployment in a moment. Next  
5 slide, please.

6 This volume of the 2020 IEPR Update draws upon  
7 the Energy Commission's decade of experience and research  
8 investments into microgrids. It also draws upon the  
9 technical expertise that experts who participated in a  
10 broadly attended two-day workshop on microgrids. And the  
11 volume benefits from thoughtful input from our sister  
12 agencies.

13 The draft of Volume II was posted on March 8th,  
14 2021, with a request for public comments. After carefully  
15 considering the public comments received the proposed final  
16 was posted on March 29th.

17 And now I'll introduce Mike Gravely the lead  
18 staff for the microgrid volume. Next slide, please. Go  
19 ahead, Mike.

20 MR. GRAVELY: Good morning Chair Hochschild and  
21 Commissioners. In developing the IEPR volume on microgrids  
22 we wanted to leverage the extensive knowledge the CEC R&D  
23 Division has gained over the last decade from funding  
24 grants through different Energy Commission research  
25 programs. To date the Energy Commission has funded 58

1 microgrids and of those, 41 were installed in disadvantaged  
2 and low-income communities.

3           As this slide shows over the years we have funded  
4 microgrids in a broad range of end-use applications from  
5 critical facilities such as medical centers, fire stations,  
6 community response centers and water treatment facilities.  
7 We have also supported critical infrastructure  
8 organizations such as ports, military bases, industrial  
9 operations, college campuses, and regional communities.

10           One of our focus areas in developing this volume  
11 was to assess where microgrids provide critical service and  
12 where they provide the best value. And where microgrids do  
13 not provide enough value to warrant their installation.

14 Next chart, please.

15           In addition to the key applications we have  
16 assessed the value of microgrids in key locations such as  
17 wildfire zones, areas that are predominantly receiving  
18 public safety and public shut-off, power shut-off  
19 activities, and under-resourced communities. These under-  
20 resourced communities typically suffer from poor air  
21 quality, resiliency issues, and historically do not attract  
22 the new infrastructure investments as rapidly as other  
23 areas.

24           By leveraging what the CEC has learned in these  
25 microgrid deployments we were able to identify critical

1 services and support structures that's needed to continue  
2 during these rare disturbances from these critical areas.  
3 Next chart, please.

4           As we assessed what we've learned over the years  
5 these next three examples illustrate the value microgrids  
6 can provide the range of microgrid operators. For example,  
7 the Borrego Springs Microgrid is owned and operated by a  
8 utility, San Diego Gas and Electric. This microgrid  
9 provided critical service to a community of approximately  
10 3,000. And has increased the community's service,  
11 reliability and resiliency significantly.

12           The Blue Lake Rancheria Microgrid located in a  
13 Native-American tribe community illustrates what a  
14 customer-owned microgrid can provide its community. This  
15 microgrid has provided many key community services during  
16 wildfire and PSPS events over the last few years, including  
17 providing some of the residents a way to continue their  
18 critical lifesaving equipment by relocating to an easy-to-  
19 access area where the microgrid could provide their  
20 electrical needs.

21           In fact, the Blue Lake Rancheria was credited in  
22 saving four lives during one of the events when they were  
23 able to easily transfer critical patients from their  
24 current facility to their hotel. And they'll provide them  
25 continual service throughout the event.

1           The microgrid provided other services for their  
2 community like allowing them to fuel their cars when the  
3 other power was out in other locations, receive ice so they  
4 can protect their food from spoiling in their homes, and  
5 the ability to charge cell phones and other critical  
6 personal devices.

7           Then, finally the Fremont Fire Station  
8 illustrates how our community can use a third-party  
9 management organization to support their critical microgrid  
10 needs. For this microgrid a third party operates and  
11 manages the microgrid for the government, so the critical  
12 facilities can focus on performing their community service.  
13 Next chart, please.

14           When summarizing the lessons learned while  
15 preparing this volume we found the following areas were  
16 good applications for microgrids. Responding to PSPS  
17 events and other unplanned grid disturbances was one of the  
18 top reasons provided by community organizations and others  
19 when explaining their need for a microgrid. Supporting  
20 life-saving services that requires uninterrupted  
21 electricity service also allows microgrids to assist these  
22 high-risk patients locally with minimal disruptions.

23           Delivering community service such as fire,  
24 police, emergency response during times of grid outages  
25 continue to be identified as a critical need by local

1 communities in government organizations.

2 Supporting low-income, tribal, rural and  
3 disadvantaged communities are disproportionately impacted  
4 by grid outages continues to rise high to our list of  
5 applications.

6 Enabling critical military installations and  
7 state infrastructure operations such as ports, water  
8 delivery, water treatment, so these installations can  
9 continue to provide these services uninterrupted to the  
10 community during grid outages.

11 Serving other unique energy demands where energy  
12 reliability is key such as key industrial operations and  
13 commercial enterprises that are disproportionately impacted  
14 by grid outages has also been identified by many key  
15 customers. Next slide, please.

16 Then finally we just want to cover a few  
17 recommendations the IEPR has pointed out for future  
18 actions. One, continue the research about clean  
19 alternatives to diesel generation for backup power. Being  
20 a public institution the information learned can be shared  
21 with the public instead of being limited due to trade  
22 secrets or company proprietary information.

23 Also the continued implementation of CPUC SB  
24 1339, which is usually referred to as a microgrid bill,  
25 Track Proceeding Number 3. The microgrid staff is

1 addressing many of the areas identified in this volume as  
2 they move forward implementing the different elements of SB  
3 1339.

4 Continue to streamline distribution  
5 interconnection. While there's been a significant  
6 improvement in the interconnection process over the last  
7 few years, more work can be done to shorten the time and  
8 lower the costs.

9 The right-of-way issues. This is an area where  
10 both the industry and CPUC staff are addressing and  
11 continue to work. And the results would permit microgrids  
12 to be much more broadly deployed throughout the state.

13 And finally, developing and making available  
14 market information and financial tools to successfully  
15 deploy microgrids without the need or use of state funding.

16 And with that, I'll turn it back to Heather to  
17 continue the presentation.

18 MS. RAITT: Thank you, Mike.

19 Before I close I'd like to take a moment to  
20 express my gratitude to Mike for his work on this report.  
21 I'd also like to thank David Erne for his contributions  
22 before he took on his new role in the Energy Assessments  
23 Division and to many others in the Research and Development  
24 Division who contributed. I'd also like to recognize the  
25 IEPR team, Denise Costa, Raquel Kravitz and Stephanie



1 Bailey, whose work behind the scenes was critical to the  
2 development of the report.

3 Finally, thank you Commissioner Monahan for your  
4 leadership on the 2020 IEPR Update overall and to Chair  
5 Hochschild for your leadership on this volume. And thanks  
6 to Le-Quyen Nguyen for helping us get us to the finish  
7 line.

8 So that concludes my presentation. Again, staff  
9 request that you adopt Volume II of the 2020 IEPR Update.  
10 Thank you.

11 CHAIR HOCHSCHILD: Thank you so much, Heather and  
12 Mike and the whole team. So I had asked that we add this  
13 volume, just given the threats to grid reliability. I'm  
14 very pleased with the progress on microgrids. And I do  
15 want to just repeat this number again, it's 58 microgrids  
16 and we've funded 41 in disadvantaged communities. This  
17 really is keeping with the strategy and philosophy of  
18 bringing these solutions out to the state in a way that  
19 lifts up the communities that have been hardest hit and our  
20 most vulnerable. So I'm really, really proud of the work  
21 and this report.

22 Let's go now to public comment. Noemi, do we  
23 have any public comment on Item 2?

24 MS. GALLARDO: This is Noemi, the Public Advisor.  
25 Yes, we do have a couple of people on the line. So we will

25

1 start off with Evelyn Loya. And Evelyn, this is a reminder  
2 to please restate your name, spell it and indicate your  
3 affiliation. We will open your line in just a second. So  
4 Evelyn your line is open, you may begin.

5 MS. LOYA: Hi, I'm Evelyn Loya. And the spelling  
6 is E-v-e-l-y-n, and my last name is L-o-y-a. And I'm  
7 speaking on behalf of Southern California Gas Company. Am  
8 I okay to begin?

9 CHAIR HOCHSCHILD: Yeah, please.

10 MS. GALLARDO: Yes.

11 MS. LOYA: Okay. Okay, I appreciate the  
12 opportunity to provide public comments on the Energy  
13 Commission's adoption of the 2020 IEPR Update, Volume II,  
14 on microgrids. SoCal Gas supports expanding microgrids as  
15 a resiliency solution for the electric grid and to enable  
16 California's clean energy future.

17 In March we announced our sustainability  
18 strategy, ASPIRE 2045, our commitment to achieve net-zero  
19 GHG emissions in our operations and delivery of energy by  
20 2045. We know clean decarbonized molecules have a role in  
21 the energy system of the future and can play a low-cost,  
22 flexible role in microgrids as well. Throughout  
23 California, wildfires and PSPS events are increasing the  
24 reliance on diesel backup generators for electrical power.  
25 For example, nearly 1 million people affected by a PSPS

1 event in 2019 utilized 125,000 diesel generators. While  
2 the CEC has seen an increase in small power plant exemption  
3 certifications for diesel projects up to 100 megawatts.

4 As stated by South Coast AQMD, diesel generators  
5 create NOx emissions 200 to 600 times greater per unit of  
6 electricity than new or controlled existing central power  
7 plants fired on conventional gas. And estimated that  
8 during a 2019 PSPS event in their jurisdiction fewer than  
9 2,000 diesel generators admitted six tons of NOx per day.  
10 This is higher than average daily emissions from the  
11 largest refinery under their authority. These air  
12 pollution and GHG emission trends could be offset by  
13 choosing cleaner alternatives, such as microgrids, which  
14 offer critical loads' resiliency to operate independently  
15 of the electric grid during unforeseen outages.

16 To fulfill this role a microgrid must be  
17 supported by a reliable fuel source. Today the gas grid  
18 provides Californians with reliable energy when it matters  
19 most. In fact, both CARB and South Coast AQMD recognize  
20 that natural gas backup generators are vastly cleaner than  
21 diesel and gasoline, especially when powered by renewable  
22 gases. Today, some gas fuel generation technologies have  
23 proven capable of operating on R&G (phonetic) and zero-  
24 carbon fuels like hydrogen with minimal modifications to  
25 the existing generator.

1           I am happy to share that SoCal Gas is advancing  
2 hydrogen innovation to help mitigate diesel generator use  
3 and to provide energy reliability. Gas generators and fuel  
4 cells can provide a direct and inexpensive pathway to  
5 decarbonization, help clean the air and provide resiliency  
6 for microgrids. Thank you again for the opportunity to  
7 provide comments.

8           MS. GALLARDO: Thank you.

9           This is Noemi the Public Advisor. I want to  
10 remind the audience, all of our attendees that we accept  
11 public comment through our Verizon phone line, so please  
12 call 888-823-5065 if you would like to make a public  
13 comment. That information is also on the screen. Again,  
14 that's 888-823-5065, the pass code is "Business Meeting."  
15 We do not accept to comment through Zoom at the moment.

16           So our next speaker, Chair, is Claire Warshaw.  
17 Claire, we will open up your line. A reminder to please  
18 spell your name and indicate your affiliation if you have  
19 one. So let's open up Claire's line on the Verizon side.  
20 Claire your line is open, you may begin.

21           MS. WARSHAW: Hi, can you hear me?

22           MS. GALLARDO: Yes, we can.

23           MS. WARSHAW: Hi, can you hear me? My name is  
24 Claire Warshaw, that's C-l-a-i-r-e, and then W-a-r-s-h-a-w.  
25 I am a public listener, I have no special affiliation or I

1 don't own the microgrid or live in one. I am very  
2 encouraged by the microgrid evidence that the California  
3 Energy Commission has been evaluating. I think it's a very  
4 positive bunch of projects. I am, however, concerned about  
5 electric magnetic fields and the lack of attention to  
6 possible damages that electromagnetic fields can have. And  
7 so my concern and reason for calling is to keep encouraging  
8 people that are doing these kinds of projects with  
9 electricity, especially wireless and invisible  
10 electromagnetic fields, to encourage the people living near  
11 them to report when they have unusual pain.

12           As you know, for example, under solar panels if  
13 they have people that ever experienced stray electricity I  
14 think that's something that can easily be ignored because  
15 it's so impossible to prove practically. But there are --  
16 if the people that are managing the microgrids would ask  
17 the people that are living in them to please report that  
18 stuff and not be shy or scared to, I think that would be  
19 good.

20           Also, if the people managing microgrids could do  
21 continuous evaluation of the heat and fire potential damage  
22 that some electromagnetic fields have and be careful how  
23 they direct them through biology to actually look at, you  
24 know, things that are in the way of electromagnetic fields.  
25 And be careful not to assume that small damages to biology,

1 are not going to be problems in the future. I'm talking  
2 about humans. You know, the example like when I was a kid  
3 we didn't want to be X-rayed over and over, similar kinds  
4 of things.

5 I do think that some of these fields have some  
6 potential to damage biology, including vegetation, which  
7 could be a problem for photosynthesis and Carbon-16  
8 (phonetic). So if people managing these grids could please  
9 continuously kind of keep an eye out for that and to check  
10 things that they can, double-check things and make certain  
11 that they're not going to cause heat to vegetation and  
12 things that might damage it and fire potential.

13 And long-distance electromagnetic fields, I'm not  
14 sure how you manage that. You know, we want to do  
15 something from one microgrid to another or want to start  
16 something from far away, I hope there is a way of making  
17 sure it doesn't go through like from human in an airplane  
18 or something. Anyways, it would be nice to hear more about  
19 the safety aspects and make sure that those concerns are  
20 evaluated.

21 Thank you for allowing me to speak.

22 MS. GALLARDO: Thank you.

23 We have one more speaker, Robert Perry. A  
24 reminder to please restate your name, spell your name and  
25 indicate your affiliation, if any. Robert your line is

1 open, you may begin.

2 MR. PERRY: Yes, hi. My name is Robert, R-O-B-E-  
3 R-T," Perry, P as in Paul, e-r-r-y. My affiliation is with  
4 Synergistic Solutions consulting firm. And I'd like to  
5 congratulate the IEPR team on the study that they released,  
6 the three-parts study. I consider the IEPR process to be  
7 critical, because it utilizes multiple agencies and creates  
8 solutions that deal with, that can deal with multiple  
9 problems. And I was very happy to participate in the  
10 process and I think it's definitely a worthwhile effort  
11 going forward.

12 I have a few points to make going forward. One  
13 would be I would really like to see, and I know there's a  
14 big focus, but on vehicle grid integration technologies.  
15 This is a technology that bridges both transportation and  
16 the power sectors and offers the opportunity to create  
17 tremendous amounts of resiliency with it at a given site  
18 being able to take the energy capacity of vehicles during  
19 emergencies. So I know it's on the radar, I just want to  
20 encourage continued focus in that area.

21 The other thing I would encourage the Commission  
22 to continue to focus on would be to look at ways to engage  
23 and incorporate the commercial, industrial sector in  
24 microgrid development. A recent survey came out and  
25 commercial, industrial customers basically said that even

1 disruptions of under five minutes were equally damaging as  
2 longer disruptions, because it forced them to have to  
3 reset. So they're tremendously motivated to develop  
4 resiliency. And commercial, industrial sites are very  
5 highly capacity, and are typically located adjacent to  
6 disadvantaged communities. So there's an opportunity to  
7 lower, decarbonize commercial, industrial, which will  
8 benefit a disadvantaged community if you can create jobs  
9 for the disadvantaged communities in these areas. I mean  
10 there's this is lots of potential there.

11 So, and then also commercial, industrial sites  
12 often have fleet vehicles. And these open the door for  
13 vehicle grid integration and the ability to develop very  
14 high amounts of generation located close to disadvantaged  
15 communities.

16 So again, thanks again for a great report. I'm  
17 looking forward to participating in later iterations of the  
18 IEPR process. And I urge you to adopt the Volume II  
19 Microgrid session. Thank you very much.

20 MS. GALLARDO: Thank you.

21 Chair, this is Noemi the Public Advisor. That  
22 was the last comment on Item Number 2.

23 CHAIR HOCHSCHILD: Thank you members of the  
24 public for speaking. Let's go now to Commissioner  
25 discussion. Commissioner Douglas, you have worked really



1 closely with tribes, you've actually visited the Blue Lake  
2 Rancheria project. I haven't had a chance to do that. I  
3 did go to the Fremont, and dedicate the Fremont Fire  
4 Station one. But what if we could begin with you.

5 COMMISSIONER DOUGLAS: Sure. So I'm really  
6 pleased to have heard the report and to see the chapter  
7 move forward. As you mentioned, Chair, I visited the Blue  
8 Lake Rancheria site, both the project at the casino that  
9 was referenced. And also a much smaller project that  
10 allows them to run their filling station and a small store  
11 and kind of off-grid with a mini-microgrid that hopefully  
12 will be deployable in that kind of model in other kinds of  
13 convenience stores/gas station setups. It's a very kind of  
14 standardized and deployable, I think. And so those are  
15 both exciting projects.

16 I had a chance to visit a similar setup, not  
17 technically a microgrid, but something very similar at the  
18 Chemehuevi Reservation as well, that the EPIC program  
19 helped fund. As well as some of the military  
20 installations, the one by Port Hueneme, for example.

21 You know, these are exciting projects. And as  
22 it's been noted not everybody necessarily needs a  
23 microgrid, right? Microgrids are a specialized application.  
24 They do two things for us. For entities that really have  
25 the enhanced need for absolute resiliency and reliability,

1 they help provide that. And certainly when you look at the  
2 military, when you look at some of the tribal applications,  
3 when you look at the last speaker was mentioning at some  
4 commercial operations. You know, wineries. If they lose  
5 power at the wrong time they could lose a year's work. And  
6 so for certain applications microgrids make a whole lot of  
7 sense,

8           And in addition to that they help us develop and  
9 deploy and lower costs on a range of technologies that can  
10 be put in place in other contexts as well. And so I think  
11 the chapter's really solid, I'm excited about the  
12 technology and the applications that we have been able to  
13 help foster throughout California. And so those are my  
14 comments. Thank you.

15           CHAIR HOCHSCHILD: Thank you, Commissioner.

16           Any other Commissioners wishing to make a  
17 comment?

18           COMMISSIONER GUNDA: Yes, Chair. I would like to  
19 just add a couple of thoughts.

20           CHAIR HOCHSCHILD: Yeah.

21           COMMISSIONER GUNDA: I just want to begin with  
22 thanking that incredible IEPR team, Heather and her entire  
23 team, for pulling off this last year's IEPR and also kick  
24 starting the next year. So thank you, Heather, and your  
25 team.

1           I also want to note Commissioner Monahan for the  
2   entire IEPR in the three-volume structure and it was really  
3   good. And kind of the context was well set up, so thank  
4   you Commissioner Monahan for your leadership on delivering  
5   the IEPR.

6           But then I just want to call a few high-level  
7   thoughts here. One is just beginning with thanking staff  
8   in the R&D particularly and then staff across the  
9   Commission that are beginning to develop this deep  
10   understanding into microgrids, but DERs at large. And I  
11   think I appreciated the briefings. And I'm really  
12   beginning to understand how robust of knowledge and thought  
13   leadership that is hosted at CEC. So I really would like  
14   the CEC staff in an intellectual leadership to continue to  
15   foster ideas for the future.

16           I also want to thank the public members for your  
17   comments. I think there are incredibly important comments  
18   for us to consider as we move forward on this research  
19   broadly with the DERs.

20           So our sister agency, specifically CPUC, has been  
21   undertaking a lot of efforts. Heather kind of noted that  
22   in her comments. There's a lot of work going on, on  
23   microgrids. But also really thinking through what DERs can  
24   offer as we get into the context of SB 100. We kind of put  
25   out the SB 100 report earlier this year, and it asks for an

1   incredible amount of new generation on the grid. Obviously  
2   that doesn't take into account the opportunities from DERs  
3   and microgrids and such. So I'm really hoping to continue  
4   the discussion of how DERs, microgrids at large can really  
5   help with broader clean-energy transition while ensuring  
6   reliability, equity and resiliency.

7               And I think CEC has a very unique opportunity to  
8   offer. We have a robust public process to ID important  
9   aspects and support CEC and collaborate with CPUC and CARB  
10   and other state agencies to really figure out robust  
11   thinking. And the landscape of the DER ecosystem moving  
12   forward into the future. And thinking how best to support  
13   the state of California and the clean-energy goals of the  
14   government, state. So thanks to everybody and  
15   congratulations Heather and everybody.

16              CHAIR HOCHSCHILD: Thank you, Commissioner.

17              Any other Commissioners wishing to make a  
18   comment, Commissioner Monahan?

19              COMMISSIONER MONAHAN: Yeah, just real briefly.  
20   I was inspired actually by Commissioner Gunda around --  
21   well first thanks to Heather and the IEPR team, because  
22   they are top notch. And I think we cannot say enough good  
23   things about her and her team.

24              But I also wanted to acknowledge the Chair and  
25   his leadership in proposing to do this volume. I think, as

1 Commissioner Gunda said, this is important territory for  
2 the CEC to take a leadership role as it's a -- I don't know  
3 if a crowded space is the right way put it, but the CPUC is  
4 deeply involved in this as well. And so navigating the  
5 important leadership roles that the Energy Commission can  
6 place through broadly, of course, in energy issues and  
7 energy analysis across the state. But also in this  
8 specific issue around DERs and resilience and how do we  
9 ensure that we're doing all we can to make sure  
10 Californians have a resilient, affordable. safe and clean  
11 energy system.

12           So just acknowledging the Chair for his  
13 leadership on that.

14           CHAIR HOCHSCHILD: Thank you, Commissioner.  
15           Commissioner McAllister?

16           COMMISSIONER MCALLISTER: Yeah. So I'll try not  
17 to repeat other points, because everybody's made incredibly  
18 good points. But I just remember back in the 1990s when I  
19 was in very remote places in developing countries doing  
20 standalone systems, right, which were sort of the  
21 precursors of the microgrids we're talking about today --  
22 and this was back in the analogue era -- and we have come a  
23 long way baby, as they say. And I think this, you know, to  
24 Commissioner Douglas's point microgrids can be relatively  
25 expensive. And if you really need that reliability it's

1 totally worth it: hospitals and very critical loads,  
2 community centers, during PSPS, that kind of thing. And  
3 certainly remote travel regions and even just feeders where  
4 you've got a really weak connection with the main grid,  
5 there are definitely justification for it.

6 But I want to just emphasize two things. One,  
7 the spillover effects. We're going to be hanging a lot of  
8 technologies off the distribution grid that aren't  
9 necessarily as part of the microgrid, but are helping us  
10 manage the grid and large distribution grid overall. And I  
11 think that synergy where we're investing in and the power  
12 electronics and then the communications and controls and  
13 management of batteries and dispatch and things like that,  
14 that are actually going to really help us with the  
15 resilience of the grid at large not just in an islanded  
16 situation.

17 And then the second thing that (indiscernible)  
18 brought up that I just feel obligated is energy efficiency.  
19 When you're doing a microgrid every kilowatt hour of energy  
20 counts, you have to count those kilowatt hours. And  
21 because whatever you use you have to store in a battery,  
22 you have to generate independently; you can't rely on this  
23 broader grid. So you reduce the scale of everything else  
24 you have to do you're your loads and your end users are all  
25 as efficient as they possibly could be. And that's just

1     worth the investment if it optimizes your overall project.

2             And so I just want to reiterate the congrats and  
3     thank yous to Heather and the team. I'm sure you're very  
4     relieved to have the entire 2020 IEPR off your plate now,  
5     so you can focus on the 2021 IEPR. And I'm excited to work  
6     with you on that and it's starting to move down the tracks.

7             Yeah, so thanks a lot. And really, thanks again  
8     to you Chair for your leadership on this issue. I think  
9     it's very groundbreaking and it's going to pay off in  
10    spades as we move forward, Commissioner Gunda said, to  
11    decarbonize the entire grid via SB 100.

12            CHAIR HOCHSCHILD: Thank you, Commissioner. I  
13    really appreciate the point. I think it's true microgrids  
14    kind of become a mini-garden bed for further innovations  
15    and we're certainly seeing a lot of that. So again, my  
16    congratulations and thanks to the whole team.

17            I would entertain a motion for this item.  
18    Commissioner McAllister, would you be willing to move Item  
19    2?

20            COMMISSIONER MCALLISTER: Yes, I will move Item  
21    2.

22            CHAIR HOCHSCHILD: Okay, Commissioner Douglas  
23    would you be willing to second? (Silence on the line.)

24            We can't hear you Commissioner Douglas, but I  
25    assume that's a yes.

1 COMMISSIONER DOUGLAS: Second.

2 CHAIR HOCHSCHILD: Sure, okay. All in favor say

3 aye. Commissioner McAllister?

4 COMMISSIONER MCALLISTER: Aye.

5 CHAIR HOCHSCHILD: Commissioner Douglas?

6 COMMISSIONER DOUGLAS: Aye.

7 CHAIR HOCHSCHILD: Commissioner Monahan?

8 COMMISSIONER MONAHAN: Aye.

9 CHAIR HOCHSCHILD: And then Commissioner Gunda?

10 COMMISSIONER GUNDA: Aye.

11 CHAIR HOCHSCHILD: And I vote aye as well. That

12 item passes unanimously.

13 We'll move on to Item 3. By the way, let me just

14 say we have a long agenda today. We are definitely going

15 to be taking a lunch break. I'm going to try and as close

16 as I can around noon. And then we will reconvene at 1:00,

17 that's the goal. So let's move on to Item 3, Inland Empire

18 Energy Center.

19 MS. HUBER: Good morning, Chair and

20 Commissioners. My name is Elizabeth Huber. I manage the

21 Office of Compliance Monitoring and Enforcement of the

22 Siting, Transmission and Environmental Protection Division.

23 Yes, try saying that three times fast. (Laughter.) With me

24 are compliance project managers Eric Veerkamp and Keith

25 Winstead and from our legal team Kerry Willis. We're here



1 to present on Inland Empire Energy Center's request to  
2 terminate their CEC license. Next slide, please.

3 The closure of this nominal natural gas-fired  
4 plant, power plant illustrates a cradle-to-cradle  
5 opportunity in which a former power plant site is being  
6 repurposed into a facility that will help meet peak power  
7 needs and support California's goals of our clean energy  
8 future. Next slide, please.

9 A little background, the IEEC was first approved  
10 by the CEC in 2003 and was online by May of 2009. In June  
11 of 2019 the project owner submitted their decommissioning  
12 and demolition closure plan. At the December 11th, 2019  
13 Business Meeting the CEC approved that closure plan and the  
14 CEC staff approved the notice to proceed on February of  
15 2020.

16 Then on March 29th of this year the Delegate  
17 Chief Building Official submitted a Certificate of  
18 Completion on the closure project. Next slide, please.

19 Here is a before of the decommissioning and  
20 demolition of the site. Next slide, please.

21 And here is a picture of the future site. Nova  
22 Power purchased the site from GE and is utilizing some of  
23 the existing building and electric infrastructure, since  
24 the battery storage system requires a similar operational  
25 footprint at the former energy center with the potential of

1 hundreds of megawatts as described in the closure plan.

2 Next slide, please.

3 With that, in conclusion, staff is recommending  
4 that the CEC terminate its license. Thank you and we're  
5 here to answer any questions you may have.

6 CHAIR HOCHSCHILD: Thank you, Elizabeth.

7 Let's move on to public comment.

8 MS. GALLARDO: This is Noemi the Public Advisor.  
9 We do have a couple of people on the line for public  
10 comment for Item 3. First though I want to give a reminder  
11 to our attendees if you would like to provide public  
12 comment, please call our Verizon line, the phone number is  
13 888-823-5065. It's also on the screen the pass code is  
14 "Business Meeting."

15 All right, the first person to make public  
16 comment will be Ranji George. And Ranji, I'd remind you to  
17 please restate your name in case I mispronounced it. Also  
18 spell your name and indicate your affiliation, if any.  
19 Your line is open, you may begin.

20 MR. GEORGE: Hello, can you hear me?

21 MS. GALLARDO: Yes.

22 MR. GEORGE: Thank you. My name is Ranji George.  
23 I am with the Coalition for Advanced ZEV, zero-emission  
24 vehicles. It's a nonprofit voluntary organization  
25 representing hopefully the public.

1           I personally was involved with batteries and fuel  
2 cells and natural-gas technologies at the South Coast AQMD  
3 for 25-years plus. And we helped launch both the battery  
4 era and four years later the hydrogen era in the early  
5 '90s. We were the first in the country to do that. And we  
6 appreciate ARB and CEC later on joining in those efforts.

7           I have, I really applaud the CEC staff and the  
8 Board members for working hard on introducing the cleanest  
9 energy possible in California. I appreciate all the  
10 progress we have made. But I just want to flag a concern  
11 about batteries. Even though I personally was very much  
12 involved in actually helping ARB adopt the 1990s ZEV  
13 regulation, it was my research that prompted a whole chain  
14 of events on advanced batteries. But thinking through the  
15 issues, we really have to look at the disposal of these  
16 large-scale batteries. It helps the solar energy, wind  
17 energy. That's great, but at some point the CEQA analysis  
18 or at some point we have to figure out where will all these  
19 batteries line up? It's a substantial increase by a  
20 magnitude or maybe two orders of magnitude of batteries  
21 coming our way.

22           And I want to draw your attention to a company  
23 called GNB Exide (phonetic). Now that is a great company  
24 in mind, one sense, in the sense they were recycling these  
25 lead-acid batteries from gasoline cars, one battery per

1 car. But then the society, the residents felt the way they  
2 were doing it was polluting the environment, they were  
3 exposed to lead and other emissions from these battery  
4 plants. And guess what, ladies and gentlemen, we'll be  
5 having 20 or more of these battery large recycling plants  
6 coming our way in the future. And those will be located  
7 precisely in these communities, like AB 617 (phonetic).

8 Are we planning, I mean, is there a method to  
9 dispose these batteries? I mean, to take custody of these  
10 batteries, to dispose it and recycle it back in the  
11 cleanest possible way? Could we have a ceiling, some kind  
12 of ceiling put where there's the workers are not exposed,  
13 the community is not exposed? I would like to put that in  
14 front of you as you move forward with your microgrid and  
15 other planning.

16 That's where we, some of us support hydrogen. I  
17 know it's a little more expensive than this, but in Europe  
18 everybody is seriously looking at hydrogen as one very good  
19 alternative without all these battery-waste pollution  
20 associated with it.

21 And finally, if one has to go to batteries let's  
22 go to some sustainable battery chemistry that is non-  
23 cobalt, non-toxic. And I understand later on there will be  
24 some presentation on these sustainable batteries. But I  
25 would also invite all the big players. They are all doing

1 something to move us away from the current cobalt  
2 batteries, which has been great. But still, it has these  
3 environmental consequences. Thank you ladies and gentlemen  
4 for letting me share our concerns.

5 CHAIR HOCHSCHILD: Thank you. If I could just --  
6 thank you sir for those comments. Actually, and so this  
7 item we are entertaining public comment on the Inland  
8 Empire Energy Center. But for other public comments on  
9 general issues like that we take that usually at the end of  
10 the meeting. But your comments are well taken with respect  
11 to batteries. And there is some momentum happily away from  
12 cobalt in batteries.

13 Madam Public Advisor, do we have other public  
14 comments on Item 3?

15 MS. GALLARDO: This is Noemi, the Public Advisor.  
16 Yes, we do. The next person is Michael Carroll. And  
17 Michael, just a reminder to please restate your name, spell  
18 your name and also indicate your affiliation, if any. Your  
19 line is open, you may begin.

20 MR. CARROLL: Thank you. This is Michael Carroll  
21 with the law firm of Latham and Watkins. And I'm speaking  
22 on behalf of the Inland Empire Energy Center LLC, which is  
23 a wholly owned subsidiary of PE. I think staff has  
24 provided a good overview of the decommissioning process and  
25 the current status of the site, which as staff indicated is

45

1 intended to be redeveloped for battery storage. I don't  
2 really have anything further to add to that, but just  
3 wanted to thank the staff and the DCBO for overseeing the  
4 process that ran very smoothly during unexpected and  
5 sometimes trying circumstances that could have well  
6 disrupted the decommissioning process, but for the  
7 diligence of the staff and the DCBO and Inland's  
8 contractor.

9 I guess my only regret is that working on  
10 decommissioning the power plant that I helped permit  
11 initially is a stark reminder that I'm not getting any  
12 younger. But I'm going to choose to believe that it's just  
13 an indication of how quickly the grid in California is  
14 changing under the direction of the Energy Commission.

15 So with that I would ask that the Commission  
16 adopt the staff recommendation and relinquish jurisdiction  
17 over the site. Thank you very much.

18 CHAIR HOCHSCHILD: Thank you.

19 Any further public comments?

20 MS. GALLARDO: This is Noemi the Public Advisor.  
21 That was the last public comment on Item No. 3.

22 CHAIR HOCHSCHILD: Thank you. Let's move to a  
23 Commissioner discussion starting with Commissioner Douglas.

24 COMMISSIONER DOUGLAS: Yes, thank you. I  
25 appreciate the presentation by staff and thank the STEP

1 Division staff and Chief Counsel's Office for conducting  
2 the required analyses that we do to ensure that the  
3 decommissioning and closure of power plant complies with  
4 the licensing requirements.

5 I liked the phrase, "cradle-to-cradle" and in  
6 this case and it seemed appropriate, because here we are  
7 seeing the reuse of this industrial energy site for  
8 continued industrial energy, in this case for battery  
9 storage. And for this site will continue to help support  
10 our grid and support reliability.

11 And so I very much support approval of this item.  
12 And I'm prepared to move it unless there are additional  
13 Commissioner comments or questions. Seeing none, I move  
14 approval of this item.

15 CHAIR HOCHSCHILD: Okay, Commissioner Monahan,  
16 would you be willing to second that?

17 COMMISSIONER MONAHAN: I second it, I second.

18 CHAIR HOCHSCHILD: Thank you. All in favor,  
19 Commissioner Douglas?

20 COMMISSIONER DOUGLAS: Aye.

21 CHAIR HOCHSCHILD: Commissioner Monahan?

22 COMMISSIONER MONAHAN: Aye.

23 CHAIR HOCHSCHILD: Commissioner McAllister?

24 COMMISSIONER MCALLISTER: Aye.

25 CHAIR HOCHSCHILD: Commissioner Gunda?

1 COMMISSIONER GUNDA: Aye.

2 CHAIR HOCHSCHILD: And I vote aye as well. That  
3 item passes unanimously.

4 Let's turn now to Item 4, Huntington Beach Energy  
5 Project.

6 MS. HUBER: Good morning again, Commissioners.  
7 For the record, my name is Elizabeth Huber and I am the CME  
8 Office Manager. The Lead Compliance Manager on this is  
9 Joseph Douglas that unfortunately cannot be here today, but  
10 we do have Steven Kerr and Jeanine Hinde from the STEP  
11 Division, along with our Legal Counsel Renee Webster-  
12 Hawkins.

13 We are here to present a request to approve  
14 petition to modify the original VIS-1 section of the  
15 facility's conditions of certification. Next slide,  
16 please.

17 Engaging the local community through numerous  
18 stakeholder meetings and two virtual town hall meetings,  
19 AES the project owner at Huntington Beach Energy Center  
20 reached out to the community, agreed upon an alternative  
21 visual design concept that would make use of murals to  
22 provide iconic imagery when traveling into the city. Next  
23 slide, please.

24 Originally the project intended to feature an  
25 architectural design using thousands of blue plastic



1 spheres hung on a high-tension wire mesh to create a wave.  
2 The design's engineering and construction challenges has  
3 meant that it is not meeting the goal to mitigate views as  
4 part of the conditions of certification of the project.  
5 Next slide, please.

6 Here is a photo of the prototype that was  
7 developed of the original blue plastic spheres' wave wall  
8 design. Next slide, please.

9 And here we have a photo simulation of the  
10 proposed murals by California artist, Kim West, as adopted  
11 by the City of Huntington Beach's Resolution No. 2020-81.  
12 Next slide, please.

13 So in conclusion staff recommends approval of the  
14 petition to modify VIS-1 conditions of certification for  
15 the Huntington Beach Energy Project. And with that thank  
16 you and I'll open up to questions.

17 CHAIR HOCHSCHILD: Thank you.

18 Any public comment on Item 4?

19 MS. GALLARDO: This is Noemi the Public Advisor.  
20 Yes, we do have public comment on Item 4. First, we'll  
21 start with Stephen O'Kane. Stephen, a reminder to please  
22 restate your name, spell it and indicate your affiliation.  
23 Your line is open, you may begin.

24 MR. O'KANE: Thank you, good morning. This is  
25 Stephen O'Kane with AES Huntington Beach Energy. That's S-

1 t-e-p-h-e-n O'K-a-n-e. Well, thank you for the opportunity  
2 to speak today. To begin, I'd just like to thank our  
3 Deputy Director Shawn Pittard, the CME Office Manager  
4 Elizabeth Huber and their staff for helping AES to navigate  
5 this petition to amend process and work through the  
6 required staff analysis and proposed changes to our  
7 conditions and certification.

8 And as Ms. Huber already mentioned, our  
9 Compliance Project Manager Joe Douglas was unable to be  
10 here today. And of course Joe has been an immense help for  
11 us right through the entire construction of this project as  
12 we navigate the regulatory process.

13 However, it really is the community in Huntington  
14 Beach the drove the art concept and this mural selection.  
15 As the members of our Siting Committee Commissioners  
16 McAllister and Douglas can attest, it's been a very long  
17 road to get to the point of nearing completion of the  
18 Huntington Beach Energy Project. And this petition and  
19 proposed order before the Commission today is the third  
20 design that we have presented for this project.

21 All three of the designs we've presented have  
22 really been driven by public input. And we've always been  
23 there to seek the support from the City of Huntington  
24 beach. If you remember our very first design incorporated  
25 surfboards to go with a "Surf City U.S.A." theme. That was

1 back in the 2013-2014 timeframe. And that had to be  
2 reimagined once we changed the technology of our plant and  
3 the configuration of the new plant wouldn't support that.

4 The architectural stream, the wave wall as you  
5 saw a prototype there that we had proposed for the combined  
6 cycle-power plant, that is now complete and in operations.  
7 Really, it had to be reevaluated once we truly understood  
8 the scale and complexity of that design. As you can  
9 imagine it's an entirely different perspective when you're  
10 standing in front of a fully constructed plant versus a  
11 two-dimensional desktop computer simulation.

12 You know, we took a look at it and saw there was  
13 risks in engineering, risks in construction, risks in  
14 maintenance. But above all there is a risk that we  
15 potentially wouldn't have -- we'd have the opposite effects  
16 of improving the aesthetics of the plant, and really just  
17 end up making it look bigger. You can imagine wrapping a  
18 power plant in thousands of plastic spheres can really  
19 increase the overall mass of it.

20 So we went to the community. We held numerous  
21 meetings, we met with stakeholders like Visit HB the  
22 destination marketing organization for HB, our neighbors  
23 the Huntington Beach Weapons Conservatory and the public.  
24 In that process, you know, we looked at numerous different  
25 artists and mural designs. And that process came up with

1 Kim West's design. And with that that's the proposal in  
2 front of you today. We'd like to proceed with that.

3 And with the support of both the city and our  
4 community members AES urges you to approve our proposed  
5 order today. Thank you.

6 MS. GALLARDO: All right. This is Noemi the  
7 Public Advisor. We have another person wanting to comment,  
8 Jeff Harris. Jeff, a reminder to please restate your name,  
9 spell your name and indicate your affiliation, if any.  
10 Your line is open and you may begin.

11 MR. HARRIS: Thank you. This is Jeff Harris, J-  
12 e-f-f H-A-R-R-I-S. I'm here representing AES as well with  
13 Stephen. This amendment provides essential visual quality  
14 improvement, so I'm glad today to be heard and not seen. I  
15 think that's consistent with the theme here.

16 Stephen has covered everything very well so I'd  
17 like to echo his comments and again thank the members of  
18 the community who were very active in this process. It's a  
19 very collaborative process and we're excited about the  
20 outcome here. So I will stop there and make myself  
21 available to answer any questions. And thank you for your  
22 time.

23 MS. GALLARDO: Thank you.

24 Chair, that was the last comment for Item Number  
25 4.

1 CHAIR HOCHSCHILD: Thank you. Let's move on to  
2 Commissioner discussion, starting with Commissioner  
3 Douglas.

4 COMMISSIONER DOUGLAS: Absolutely. So thank you,  
5 Elizabeth, for that presentation. And thank you both to  
6 Stephen O'Kane and Jeff Harris for your comments. I  
7 remember well as does no doubt Commissioner McAllister, the  
8 surfboards and the other design changes. And appreciate  
9 you, Stephen, going through the -- and discussing with us  
10 the process that you went through with the community for  
11 envisioning what this would look like and coming up with a  
12 design that has the city's support, has community support.  
13 So I'm prepared to move approval of this item once we see  
14 if any other Commissioners would like to comment.

15 COMMISSIONER MCALLISTER: Yeah, I'll just step in  
16 and so -- yeah, great. So I also vividly remember. And  
17 it's great to see that multiple follow-up in the in the  
18 sort of reimagining as necessary, together with the  
19 community. That's really what the process requires to get  
20 to a satisfactory outcome.

21 That was originally, I think a really interesting  
22 process on the visual front and was very innovative and we  
23 all kind of went with it at the time. And I'm glad that  
24 the final conclusion has an outcome that everybody can live  
25 with. So I'm prepared to second after Commissioner Douglas

1 moves the item.

2 CHAIR HOCHSCHILD: Thank you. Commissioner

3 Douglas can you move the item?

4 COMMISSIONER DOUGLAS: Yes, I move this item.

5 CHAIR HOCHSCHILD: Commissioner McAllister, can

6 you second?

7 COMMISSIONER MCALLISTER: Yes, I'll second Item

8 4.

9 CHAIR HOCHSCHILD: Okay. All in favor say aye.

10 Commissioner Douglas?

11 COMMISSIONER DOUGLAS: Aye.

12 CHAIR HOCHSCHILD: Commissioner McAllister?

13 Commissioner McAllister you're muted, sorry. Yeah.

14 COMMISSIONER MCALLISTER: No, I think I said aye.

15 CHAIR HOCHSCHILD: I didn't get that.

16 Commissioner Monahan?

17 COMMISSIONER MONAHAN: Aye.

18 CHAIR HOCHSCHILD: And then Commissioner Gunda?

19 COMMISSIONER GUNDA: Aye.

20 CHAIR HOCHSCHILD: And I vote aye as well. That

21 item passes unanimously. Thank you.

22 Let's move on to Item 5, Gilroy Backup Generating

23 Facility.

24 MR KERR: Good morning Chair, Commissioners. My

25 name is Steve Kerr. I supervise the Siting and CEQA Review

1 Unit in the Environmental Office of the Siting,  
2 Transmission, and Environmental Protection Division. With  
3 me is Staff Attorney Renee Webster-Hawkins. We're here to  
4 present a proposed order appointing a committee to oversee  
5 a Small Power Plant Exemption, or SPPE, proceeding for the  
6 Gilroy Backup Generating Facility, which is associated with  
7 the proposed Gilroy Data Center in the City of Gilroy.  
8 Next slide, please.

9           The data center would consist of two data storage  
10 center buildings and an on-campus security building  
11 totaling approximately 438,500 square feet. The backup  
12 generating facility would consist of diesel-fired backup  
13 generators capable of providing an uninterruptible power  
14 supply of up to 96 megawatts during an emergency power  
15 outage. Pacific Gas and Electric Company is the utility  
16 which supplies grid power in this location.

17           The Applicant, Amazon Data Services, filed its  
18 SPPE application on December 17th, 2020, seeking an  
19 exemption from the Commission's power plant application for  
20 certification process. Staff has been informed by the  
21 Applicant that it intends to docket a revised project  
22 description and additional updated analysis associated with  
23 a change to Tier 4 backup generators. The Applicant also  
24 recently submitted owner/occupant and agency contact  
25 information, the absence of which delayed staff from

1 conducting standard noticing activities when the  
2 application was originally filed.

3 The SPPE option is only available for thermal  
4 power plants between 50 and 100 megawatts. And pursuant to  
5 Public Resources Code section 25541 the exemption can only  
6 be granted if, "no substantial adverse impact on the  
7 environment or energy resources will result from the  
8 construction or operation of the proposed facility."

9 Staff is conducting an environmental review of  
10 the exemption application and will produce an environmental  
11 analysis document. Next slide, please.

12 In conclusion, staff recommends approval of the  
13 proposed order establishing a committee to oversee the  
14 Gilroy Backup Generating Facility SPPE proceeding.

15 Thank you. We'd be happy to answer any questions  
16 you may have.

17 CHAIR HOCHSCHILD: Thank you, Stephen.

18 Let's move on to public comment.

19 MS. GALLARDO: This is Noemi Gallardo, Public  
20 Advisor. We do have several people on the line. I'll  
21 start first though with Scott Galati, who is coming through  
22 Zoom. Scott, you may speak.

23 MR. GALATI: Yes, good morning. Can you hear me?

24 MS. GALLARDO: Yes, we can.

25 MR. GALATI: Thank you very much. First of all,



1 welcome Commissioner Gunda. Good morning members of the  
2 Commission and Chair. And Commissioner Gunda, this is my  
3 first time in front of you. I will extend to you an invite  
4 to participate in siting projects. They are unique and  
5 interesting and fun and I will try to make them  
6 entertaining. The water is fine, please jump right in.  
7 (Laughter.)

8 Amazon Data Services is pleased to present our  
9 application in the Small Power Plant Exemption for the  
10 Gilroy Backup Generating Facility and the associated data  
11 center. With me today on the phone line -- they can answer  
12 questions if you need them to -- John Carlton, he's the  
13 Technical Program Manager and Steve Botic who's the  
14 Regional Environmental Engineer.

15 I want you to know that ADS strived to design the  
16 project, so that it does not cause any significant  
17 environmental impacts. We filed the application just days  
18 before the Bay Area modified its BACT guidance, which  
19 required us to retool portions of the application and the  
20 air quality analysis, much of which has been submitted to  
21 the Energy Commission already as modified.

22 We look forward to working with staff in  
23 providing the data to allow them to do complete, thorough  
24 and timely analysis for the committee. And we look forward  
25 to getting started, thank you.

1 MS. GALLARDO: This is Noemi the Public Advisor.  
2 Thank you, Scott. So there are several people on the phone  
3 line. I am going to open up their lines just in case they  
4 do want to make a comment.

5 So first Steven Botic. Please restate your name,  
6 spell it and also indicate your affiliation. Steven, your  
7 line is open, you may begin.

8 MR. BOTIC: Hello, my name is Steve Botic, that's  
9 "B as in boy, o-t-i-c. And I'm affiliated with Amazon Data  
10 Services and appreciate the time that you are giving this,  
11 our project. Thank you.

12 MS. GALLARDO: Thank you.

13 This is Noemi, the Public Advisor again. The  
14 next person is John Carlton. And John, a reminder again to  
15 please restate your name, spell it and indicate your  
16 affiliation. Your line is open, you may begin.

17 MR. CARLTON: Thank you and good morning. This  
18 is John, J-o-h-n Carlton, C-a-r-l-t-o-n. And I'm a  
19 Technical Program Manager also affiliated with Amazon Data  
20 Services. And I just wanted to say thank you for your  
21 consideration of this request.

22 MS. GALLARDO: Thank you.

23 Chair, that was the last person on the line to  
24 make public comment for Item 5.

25 CHAIR HOCHSCHILD: Okay, thank you. So I've

1 asked Commissioner Douglas to be Lead and Commissioner  
2 McAllister to be Associate Member for this committee. And  
3 I wanted to thank the staff and then members of the public  
4 for presenting.

5 Unless there's any Commissioner discussion I  
6 would entertain a motion to have Commissioner Douglas as  
7 the Presiding Member, Commissioner McAllister is the  
8 Associate Member of the committee to preside over this  
9 proceeding.

10 Any comments Commissioner Douglas you'd like to -  
11 -

12 COMMISSIONER DOUGLAS: Yeah, just a brief comment  
13 and then I'll make the motion. I just wanted, for the  
14 record, to report that I held stock in the Applicant's  
15 company and disposed of it in January 2021. So I checked  
16 in with our Legal Counsel, there's actually no requirement  
17 that I make this disclosure, because disposing of the stock  
18 ended any financial interest I may have had in Amazon. But  
19 I wanted to make it in the interest of full transparency.

20 And with that I don't have any additional  
21 comments, so I'll make a motion to approve the Committee as  
22 described by the Chair, with me serving as Presiding Member  
23 and Commissioner McAllister serving as the Associate Member  
24 of the committee.

25 CHAIR HOCHSCHILD: Thank you.

1 Commissioner McAllister, would you be willing to  
2 second?

3 COMMISSIONER MCALLISTER: Yes, I'll second that  
4 motion.

5 CHAIR HOCHSCHILD: Okay. All in favor say aye.

6 CHAIR HOCHSCHILD: Commissioner Douglas?

7 COMMISSIONER DOUGLAS: Aye.

8 CHAIR HOCHSCHILD: Commissioner McAllister?

9 COMMISSIONER MCALLISTER: Aye.

10 CHAIR HOCHSCHILD: Commissioner Gunda?

11 COMMISSIONER GUNDA: Aye.

12 CHAIR HOCHSCHILD: Commissioner Monahan?

13 COMMISSIONER MONAHAN: Aye.

14 CHAIR HOCHSCHILD: And I vote aye as well. That  
15 item passes unanimously. Thank you everyone.

16 Let's turn now to Item 6, Report from Committee  
17 and Possible Additional Direction to the Committee  
18 Regarding Progress on the Application for an SPPE for the  
19 Sequoia Backup Generating Facility. Susan Cochran.

20 MS. COCHRAN: Good morning Chair and Commission.  
21 I'm Susan Cochran with the Chief Counsel's Office. And I  
22 am the Hearing Officer assigned to assist the committee  
23 appointed to conduct proceedings on the application for a  
24 Small Power Plant Exemption, which I'll refer to as an SPPE  
25 for the Sequoia Backup Generating Facility.

1           The CEC appointed a committee consisting of  
2 Commissioner Douglas as Presiding Member and Commissioner  
3 Monahan as Associate Member to conduct proceedings on the  
4 application.

5           By way of background this proceeding was  
6 originally before the Commission on September 9, 2020, for  
7 consideration of the committee-proposed decision that had  
8 been issued in August of 2020. The project analyzed at  
9 that time was to construct and operate 54 Tier II compliant  
10 diesel backup generators to provide an uninterruptable  
11 power supply for the Sequoia data center in Santa Clara,  
12 California.

13           During the September 9 Business Meeting, the  
14 Commission received comments from the California Air  
15 Resources Board, CARB, and the Bay Area Air Quality  
16 Management District, which I will refer to as "Bay Area,"  
17 expressing concerns about the air quality analysis  
18 contained in the committee-proposed decision. The  
19 Commission voted at that time to remand the proceeding to  
20 the committee to obtain additional information from CARB  
21 and Bay Area about their concerns.

22           On November 16, 2020, the Commission affirmed its  
23 action to remand the proceeding back to the committee and  
24 added direction to the committee to provide an update at  
25 the January 2021 Business Meeting.

1           Prior to the January 25, 2021 Business Meeting  
2 Bay Area indicated that it had established a new guideline  
3 that would require the Sequoia project to meet Tier IV  
4 standards for its diesel backup generators. At the January  
5 25, 2021 Business Meeting, the Commission voted to continue  
6 the remand and directed the committee to report back on its  
7 progress at the April Business Meeting unless it had filed  
8 a revised committee proposed decision. The committee has  
9 not yet filed that revised decision, and therefore this  
10 agenda item is before you today.

11           On January 25, 2021, the applicant filed a  
12 revised project description that included modification to  
13 the project's diesel generators to make them compliant with  
14 the Tier IV emission standards. Applicant also filed  
15 additional documents related to emissions from the new  
16 backup generators over the next several weeks.

17           Since January, the committee has issued a  
18 scheduling order that set milestones for the preparation of  
19 key documents, including a revised environmental review  
20 document that would analyze the changes from Tier II to  
21 Tier IV compliant diesel backup generators. The parties  
22 have generally met the filing and other deadlines in the  
23 scheduling order. In specific, staff filed a revised  
24 initial study and propose mitigated negative declaration  
25 that revised portions of its original initial study and

1 propose mitigated negative declaration that was the basis  
2 of the August 2020 committee-proposed decision.

3 On March 12, 2021, the committee held a committee  
4 conference largely for the purpose of conducting closed  
5 session deliberations on the materials that had been being  
6 filed.

7 On April 12, 2021, the committee issued a notice  
8 of pre-hearing conference, notice of evidentiary hearing  
9 and related orders. This notice in order sets an  
10 evidentiary hearing date of May 11, 2021, with  
11 consideration of a revised committee-proposed decision at a  
12 June Business Meeting. There are several deadlines over  
13 the next few weeks for the parties to meet in order to  
14 maintain the schedule for the May 11 pre-hearing conference  
15 and evidentiary hearing and the ultimate disposition of the  
16 proceeding.

17 If you have any questions I'm available to answer  
18 them.

19 CHAIR HOCHSCHILD: Thank you, Susan.

20 This is not a voting item, so we're not going to  
21 take public comment on this. However, Madam Public  
22 Advisor, did Mike Gravely want to comment on this or the  
23 previous item?

24 MS. GALLARDO: This is Noemi, the Public Advisor.  
25 No, it was the Item Number 2 that Mike wanted to speak on.

1 But I do want to let you know Chair that Scott Galati is  
2 still on if needed or if there are any questions, so Susan  
3 wanted to let you know that. And also Lisa DeCarlo from  
4 our staff is available in case there are any questions.

5 CHAIR HOCHSCHILD: Okay, thank you. Let's go to  
6 Commission discussion. Commissioner Douglas.

7 COMMISSIONER DOUGLAS: Well, just very briefly.  
8 Thank you, Susan, for that really helpful status update. I  
9 think, just on behalf of the Committee I'm looking forward  
10 to meeting the milestones that she set out and presenting a  
11 committee-proposed decision at a June Business Meeting.  
12 Thank you.

13 CHAIR HOCHSCHILD: Okay. Thank you. Any other  
14 comments from any of the Commissioners?

15 COMMISSIONER GUNDA: Chair, I would just like to  
16 echo the thanks to Susan and the Siting team on kind of the  
17 work, continued work on this particular topic. And thank  
18 you, Scott, for welcoming me to the world of -- looking  
19 forward to contributing on this. Thanks a lot.

20 CHAIR HOCHSCHILD: Great. Okay.

21 COMMISSIONER MONAHAN: Well, and I want to say  
22 one quick thing, which is that Commissioner Douglas and I  
23 are really committed to moving as quickly as possible and  
24 collecting all the information we need to make a decision  
25 that's grounded in hard evidence, so just appreciate this



1 has been a long process. Hearing Officer Cochran has been  
2 quite a great steward of this whole process. And we are  
3 committed to moving forward as quickly, but with the  
4 evidence and the data that we need to make a good decision.

5 CHAIR HOCHSCHILD: Thank you, Commissioner  
6 Monahan.

7 Seeing no further comments let's move on to Item  
8 7, Zero Code Petition Submitted by the American Institute  
9 of Architects California, Peter Strait.

10 MR. STRAIT: Thank you, Commissioners. One  
11 moment, let me just pull up my script here. Thank you.  
12 Now, just to ask for the slides? There we go.

13 So good morning Chair and Commissioners. I'm  
14 Peter Strait, Supervisor of the Building Standards Office  
15 and I'm here to request that you take action to deny a  
16 petition from the American Institute of Architects  
17 California as it pertains to their Zero Code proposal.  
18 Next slide, please.

19 Denying this petition places the Petitioner's  
20 request in the correct proceeding for consideration. And  
21 it allows the Energy Commission to consider the contents  
22 this proposal within the context of the planned Title 24,  
23 Part 11 or CALGreen rulemaking proceedings, so the benefits  
24 to Californians can be more thoroughly assessed. Next  
25 slide, please.

1           As an overview on February 2nd, 2021, the Energy  
2 Commission received a petition from the California Building  
3 Standards Commission on behalf of the American Institute of  
4 Architects California. This petition requested that the  
5 Zero Code for California be included in the state's  
6 building standards, specifically in the voluntary  
7 appendices of CALGreen.

8           In consultation with the Building Standards  
9 Commission and with the California Department of Housing  
10 and Community Development Energy Commission staff found the  
11 petition is complete and its subject matter is within the  
12 specific jurisdiction of the CEC as the adopting agency for  
13 energy standards for buildings.

14           However, pursuant to Code Sections 1-313(e) of  
15 Chapter 1, Part 1, Title 24 of the California Code of  
16 Regulations, that's the admin code that governs and  
17 specifies the ability to submit a petition, petitions are  
18 not to be used -- and this is a direct quote, I apologize -  
19 "petitions are not to be used to address matters relating  
20 to a currently proposed building standard or an adopted  
21 building standard prior to its effective date. Any  
22 concerns relating to currently proposed building standards  
23 should be brought forward during the public comment period  
24 designated for the proposed building standards." Next  
25 slide, please.

1           Now for this reason a staff recommends the  
2 petition be denied on the grounds that the proposal  
3 addresses matters relating to a building standard that is  
4 already scheduled for review. And in addition it has some  
5 overlap with what is occurring in Part 6 that we're about  
6 to begin.

7           And as a next step CEC staff will work with the  
8 Petitioner to assess the contents of the proposal in the  
9 context of the plan to CALGreen rulemaking proceeding. So  
10 to be clear this doesn't take the train off the rails it  
11 simply switches which set of rails it's on, so that the  
12 content will be put into the rulemaking process as  
13 intended.

14           And I am joined by a Kirk Oliver from the Chief  
15 Counsel's Office to welcome any questions you may have.  
16 And this concludes staff's presentation.

17           CHAIR HOCHSCHILD: Thank you, Peter.

18           Let's move on to public comment on Item 7.

19           MS. GALLARDO: This is Noemi the Public Advisor.  
20 We do have someone on the line. We'll start with Michael  
21 Malinowski. Michael, a reminder to please restate your  
22 name, spell it and indicate your affiliation, if any. Your  
23 line is open, you may begin.

24           MR. MALINOWSKI: Thank you, and thank you  
25 Commissioners for allowing me to speak on this matter. My

1 name is Michael Malinowski, M-a-l-i-n-o-w-s-k-i, speaking  
2 today on behalf of the 11,000 design professional members  
3 of AIA California, who are the architects of our built  
4 environment.

5           It's startling to consider how much has changed  
6 since we submitted our petition to bring the Zero Code to  
7 California, in October of 2019. That was only 90 days  
8 after Berkeley's Electrification Reach Code made headlines  
9 around the world. And not long after our Board of  
10 Directors voted to endorse the Zero Code, which had been  
11 developed by the nonprofit organization Architecture 2030,  
12 led by Charles Eley who collaborated with CEC staff and  
13 other experts around the country to quantify what does it  
14 mean to create a zero-carbon building.

15           Today there are nearly 2,000 governments that  
16 have declared a climate emergency around the world. And in  
17 California 42 cities have adopted individually-crafted  
18 climate action reach codes, with many more in the pipeline.

19           In the 18 months since our petition was submitted  
20 the Zero Code for California has also changed. It was  
21 originally modeled after the National Zero Code, which has  
22 actually been adopted into the 2021 International Energy  
23 Conservation Code. The current version of the Zero Code,  
24 which we're promoting reflects the actual landscape of  
25 adopted reach codes in California, with a focus on

1 electrification, energy conservation and on-site solar  
2 where it's feasible. It reflects nationally recognized  
3 principles for net-zero energy performance in buildings.

4           In the last 18 months we've all seen the world  
5 become smaller and more fragile. Many of the principal  
6 drivers of our original petition request are now part of  
7 the broad conversations and bold actions being taken by you  
8 and your staff, world leaders in moving the needle toward  
9 more focused initiatives. And it's really breathtaking  
10 that the initiatives of the CEC, the breadth they span from  
11 buildings to transportation, industry and science.

12           As an organization the AIA California, is looking  
13 forward to continuing collaboration with the CEC dedicated  
14 and talented staff, ensuring that the next version of  
15 CALGreen is relevant, and forward-looking incorporating  
16 zero-carbon building design principles.

17           Thank you. And I'm happy to answer any questions  
18 also.

19           MS. GALLARDO: Thank you.

20           This is Noemi the Public Advisor. Chair, that  
21 was the final comment on Item Number 7.

22           CHAIR HOCHSCHILD: Okay, thank you. Let's move  
23 to Commissioner discussion, starting with Commissioner  
24 McAllister.

25           COMMISSIONER MCALLISTER: Great. First of all I

1 want to thank Michael Malinowski for your diligence and  
2 just persistence and really shepherding this conversation  
3 and acknowledge really broadly the AIA. As obviously  
4 interacted quite a lot with the AIA over the years and  
5 spoken at conferences. And just always am incredibly  
6 impressed with the level of commitment and passion and  
7 diligence and knowledge and the professionalism of all your  
8 membership, so thank you for representing them so well.

9           And also Charles Eley and Ed Mazrea and just the  
10 whole thought leadership that went into this process  
11 originally. I remember back, it must have been in 2017  
12 maybe, when with Ken Alex we started conversing about this  
13 possibility. And as Mr. Malinowski said he has the goal  
14 post has just been shifting all over the place, as really  
15 innovation sprouts, and these innovative flowers sprout all  
16 over the globe in terms of how we can build better  
17 buildings and lower-carbon buildings. And so the evolution  
18 of this proposal, I think, reflects that as you said. And  
19 so we're finding our way to find a proper process for this.  
20 And also shadowboxing a little bit with actually the Part 6  
21 mandatory proposals, which have also come, as you said, a  
22 long way in that same time.

23           I will also want to acknowledge Peter. Thank you  
24 for that great presentation, and Will Vincent and Kirk and  
25 the whole team for evaluating this proposal and keeping

1 those lines of communication open with the zero-code group  
2 and advocates.

3           So I really again just want to acknowledge the  
4 work that went into this effort by Architecture 2030 and  
5 the AIA California, really, to craft a building standard  
6 template designed to help in our collective enterprise to  
7 move California in the direction of a clean energy future.  
8 Of course we're all firmly on board with that goal. So  
9 it's worth repeating what Peter said, so the denial of  
10 AIA's petition is a formality in moving consideration of  
11 the proposed amendments into the rulemaking process. It's  
12 not a commentary on the content. And should not be taken  
13 to mean that we will not give its content the same review  
14 and consideration as any other code change proposal. So  
15 we're all about lifting the hood and examining it together  
16 with the advocates.

17           This is why this determination is paired here  
18 with direction to staff to bring consideration of this  
19 material into rulemaking process, so we're just switching  
20 tracks as Peter said.

21           So we want to be upfront that the proposal does  
22 have a few areas of concern that we need to unpack. And so  
23 staff has been following revisions of the proposal and has  
24 been working with the Building Standards Commission and HCD  
25 (phonetic) as its contents have been refined. And there

1 are areas of overlap between the proposal and the  
2 provisions in Part 6, most notably in relation to community  
3 solar and other proposed options for offsite solar  
4 including recs.

5           And so the process going forward needs to ensure  
6 that the options provided by any proposed model language in  
7 Part 11 need to fit the shape of the underlying mandatory  
8 requirement in Part 6, right? These two things are very  
9 related, the Part 6 and part 11. So we need to unpack some  
10 issues and determine what elements would appropriately fit  
11 in the building codes in either part and certainly  
12 coordinate between the two parts.

13           So we absolutely are committed to continue  
14 working with the AIA to find creative ways, creative  
15 alternatives. for buildings to reduce their carbon  
16 footprint and deploy more renewable technology. Our goals  
17 are definitely aligned on these topics. And there's some  
18 great ideas here about pushing buildings toward having  
19 lower impact on climate and the environment. And  
20 absolutely there's a hunger by local jurisdictions for a  
21 template that they can use to influence their own built  
22 environment and new construction and alterations.

23           So and I'll just point out of the 44 local  
24 ordinances actually it's even since we're not now 44, we're  
25 now 42, which represent almost a third of the state



1 population that had been heard under this code cycle, that  
2 40 of them require either all-electric or electric-  
3 preferred construction. Worth pointing out that both  
4 approaches do contain exceptions. And 24 of those  
5 ordinances require additional solar. So this gives us some  
6 idea of the direction California themselves are taking, and  
7 would like to take and reach those local and state, to meet  
8 local and state clean energy goals.

9           So we're looking at scheduling and determining  
10 what we can do in this rulemaking and what we can do in the  
11 next intervening cycle rulemaking. And based on the  
12 schedule, as we move forward, we want to ensure that we're  
13 doing so with AIA and with the input and collaboration of  
14 its membership.

15           So, supportive of this conversation absolutely.  
16 And I know that staff will be holding hands and working  
17 with you at every step of the way. And I will be  
18 overseeing this with a lot of interest and, fully.  
19 awareness of the context that we are in. Which, as you  
20 said Mr. Malinowski, is a climate emergency. And at the  
21 state level we all know that. And the agencies are looking  
22 for every way under every rock for ways to reduce carbon in  
23 our built environment.

24           So anyway, thanks for bringing this proposal to  
25 us. And I want to also express appreciation to the

1 Building Standards Commission and HCD for sort of helping  
2 develop the situational awareness, pushing it over our  
3 submission so that we can properly give it the look and  
4 consideration that it deserves.

5 So with that I'll ask if any of my colleagues  
6 have any questions or comments.

7 CHAIR HOCHSCHILD: Any further comments?

8 Okay, seeing none, Commissioner McAllister would  
9 you be willing to move the item?

10 COMMISSIONER MCALLISTER: I will, I'll move Item  
11 7.

12 CHAIR HOCHSCHILD: Commissioner Gunda, would you  
13 be willing to second Item 7?

14 COMMISSIONER GUNDA: I would like to second that  
15 item.

16 CHAIR HOCHSCHILD: Okay. All in favor say aye.  
17 Commissioner McAllister?

18 COMMISSIONER MCALLISTER: Aye.

19 CHAIR HOCHSCHILD: Commissioner Gunda?

20 COMMISSIONER GUNDA: Aye.

21 CHAIR HOCHSCHILD: Commissioner Douglas?

22 COMMISSIONER DOUGLAS: Aye.

23 CHAIR HOCHSCHILD: Commissioner Monahan?

24 COMMISSIONER MONAHAN: Aye.

25 CHAIR HOCHSCHILD: And I vote aye as well. That

1 item passes unanimously.

2 Let's move on to Item 8, Requiring ATT  
3 Certification for Mechanical Acceptance Testing, Joe Loyer.

4 MR. LOYER: Hello Chair and Commissioners. I am  
5 Joe Loyer, Senior Mechanical Engineer with the Standards  
6 Compliance Office. I am here to seek approval to make the  
7 requirement for mechanical acceptance test technician  
8 certification mandatory across the state. Next slide,  
9 please.

10 Every day new mechanical equipment is installed  
11 in nonresidential buildings across California. This  
12 equipment must be installed according to design  
13 requirements and in compliance with the Energy Code for  
14 building owners and tenants to realize the promised energy  
15 savings, cost savings, as well as their indoor air quality  
16 and comfort. Additionally, properly functioning equipment  
17 will reduce greenhouse gas emissions, which will help the  
18 state of California to meet its climate goals that benefit  
19 all Californians.

20 This will also help improve the consumer trust  
21 and reputation of newer energy-saving technologies.  
22 Technicians that are trained to provide the required  
23 acceptance tests properly will help to ensure that these  
24 mechanical systems are installed correctly and to code,  
25 allowing California building owners and tenants to realize

1 these promised benefits. Next slide, please.

2 Acceptance testing is the verification of  
3 installed equipment in nonresidential buildings. The  
4 Energy Code requires an acceptance test certification  
5 program for both lighting controls and mechanical systems.  
6 The mandatory requirements for the program are triggered  
7 when specific thresholds are deemed met by the Energy  
8 Commission. Until the mandatory requirements are triggered  
9 the acceptance testing certification is voluntary.  
10 Acceptance testing certification for lighting controls has  
11 been mandatory since 2014. There are two providers.

12 For mechanical systems, today we present evidence  
13 that the mechanical system program conditions have been  
14 satisfied and seek Commission approval for the mechanical  
15 system acceptance test certification program to be  
16 mandatory across the state. There are four providers that  
17 I'll elaborate about when discussing these, the findings.  
18 Next slide, please.

19 Two mechanical system acceptance test triggers  
20 must be satisfied before mandatory certification can occur.  
21 First, there must be a minimum of 300 certified technicians  
22 statewide. Second, eligible professionals must have  
23 reasonable access to the training to become a certified  
24 technician. Staff has found that there are more than 350  
25 certified technicians capable of performing the required

1 acceptance tests. And there are currently four CEC-  
2 approved mechanical systems acceptance test providers who  
3 train, certify, and provide oversight for technicians and  
4 employers.

5 Two of these providers are associated with trade  
6 unions and two are not. Between the four providers all  
7 eligible professions have access to training. The  
8 providers are the California State Pipe Trades Council,  
9 CSPTC, the National Energy Management Institute Committee,  
10 NEMIC; the National Environmental Balancing Bureau, NEBB;  
11 and Refrigeration Service Engineers Society, RSES. Next  
12 slide please.

13 Staff proposes three recommendations for the  
14 Energy Commission today. Make the requisite finding  
15 pursuant to Title 24, Part 1, Section 10-103.2 that the  
16 mandatory mechanical systems technician certification  
17 requirements have been met.

18 Second, encourage local enforcement of the  
19 requirements be delayed until October 1, 2021, to allow  
20 time for training and implementation.

21 And finally, direct staff to implement an  
22 intensive outreach and education plan to ensure building  
23 departments, the building industry, and other stakeholders  
24 are familiar with the mandatory certification program and  
25 its application.

1           With that I am available for any questions you  
2 may have. I am joined by Matthew Chalmers from the Chief  
3 Counsel's Office. Thank you for your time.

4           CHAIR HOCHSCHILD: Thank you. Any public comment  
5 on Item 8?

6           MS. GALLARDO: This is Noemi, the Public Advisor.  
7 We do have someone on the line. We're going to start with  
8 Bill Brown. Bill, a reminder to spell your name, restate  
9 your name, spell your name and also indicate your  
10 affiliation if any. Your line is open, you may begin.

11           MR. BROWN: Yes. My name is Bill Brown, B-i-l-l  
12 B-r-o-w-n. My affiliation is with Brownson Technical  
13 School, which we contract for doing the hands-on evaluation  
14 and testing for both NEBB and RSES.

15           And I just want to take a couple of seconds to  
16 encourage the Commission to adopt this. This has been a  
17 long time coming, and I think it's a very necessary step  
18 that California needs to take in order to really get the  
19 energy efficiency of HVAC systems, for non-residential  
20 anyway, under control. I think it's a very, very good  
21 idea. And I certainly encourage you to accept this. Thank  
22 you. That's all I have to say.

23           MR. HOCHSCHILD: Thank you. Any further comment?

24           MS. GALLARDO: This is Noemi the Public Advisor.  
25 That was the last comment on Item Number 8.

1           MR. HOCHSCHILD: Okay let's move to Commissioner  
2 discussion, Commission McAllister.

3           COMMISSIONER MCALLISTER: Yeah, thanks, Chair.  
4 And thank you, Joe, for that presentation and really for  
5 your shepherding this over the years. I'm sort of also  
6 looking at Commissioner Douglas here, because we both  
7 remember the origin of the ATP programs on the lighting  
8 and the mechanical side. And the lighting, I think, was a  
9 little bit more straightforward. And the mechanical has  
10 taken a few years longer than the lighting, and I think for  
11 good reason. The mechanical contractors -- today's HVAC  
12 systems, non-residential HVAC systems are complex. And  
13 they're digital and they require a lot of training. And  
14 obviously we live in a big state with far-flung projects.

15           And so the requirement of this to have enough  
16 technicians to go out and evaluate, mandatorily go out and  
17 evaluate all the new construction, all the new HVAC systems  
18 that are getting put in -- even if it's in relatively  
19 remote places in the state -- and making sure that the  
20 technical capacity and the number of certified technicians  
21 are plentiful enough to do that and it's sort of  
22 (indiscernible) enough to do that, is a big deal.

23           So staff has determined that there are enough  
24 technicians. And there's a plan in place to get to the  
25 final sort of ready for prime time, which is why we've

1 built in a little bit of time in this proposal to make the  
2 mandatory requirements (indiscernible). And so there's a  
3 little bit of time to polish things up and then start  
4 running when the rubber hits the road.

5 So anyway I'm grateful to all the stakeholders  
6 for their input and diligence and patience. And both up to  
7 now and going forward, actually, in cleaning up and making  
8 sure that our technicians are fully up to speed when the  
9 mandatory requirement kicks in. So I'm fully supportive of  
10 this action.

11 CHAIR HOCHSCHILD: Thank you, Commissioner.  
12 Unless there is further Commissioner comments on this I'd  
13 entertain a motion for Item 8 from Commissioner McAllister.

14 COMMISSIONER MCALLISTER: I will move Item 8.

15 CHAIR HOCHSCHILD: Commissioner Douglas, would  
16 you be willing to second?

17 COMMISSIONER DOUGLAS: Yes, second.

18 CHAIR HOCHSCHILD: All in favor say aye.  
19 Commissioner McAllister?

20 COMMISSIONER MCALLISTER: Aye.

21 CHAIR HOCHSCHILD: Commissioner Douglas?

22 COMMISSIONER DOUGLAS: Aye.

23 CHAIR HOCHSCHILD: Commissioner Gunda?

24 COMMISSIONER GUNDA: Aye.

25 CHAIR HOCHSCHILD: Commissioner Monahan?



1 Commissioner Monahan, I didn't hear.

2 COMMISSIONER MONAHAN: Oh, that's interesting.

3 Aye, (indiscernible).

4 CHAIR HOCHSCHILD: Thank you. And I vote aye as  
5 well. That item passes unanimously.

6 Item 9 was removed from the agenda, so let's move  
7 on to Item 10. What I suggest we do is get through this  
8 item and then break for lunch and plan to reconvene at  
9 1:00. So let's go ahead with Item 10, Eric Stokes.

10 MR. STOKES: Sure, so good afternoon Chair and  
11 Commissioners. My name is Erik Stokes with the Energy  
12 Research and Development Division. I'm seeking Commission  
13 approval today for the 2020 EPIC Annual Report.

14 First off I'd like to provide some highlights  
15 from our 2020 annual report. Next slide, please.

16 So the first slide shows the investment areas for  
17 how we've organized our EPIC funding. This slide gives a  
18 window into where we've kind of prioritized our EPIC  
19 investments. One of the things we do in our annual reports  
20 each year is feature a project or multiple projects that  
21 fall under each of these investment areas. I'll just note  
22 that a lot of EPIC projects hit on multiple investment  
23 areas. Just as an example, while it's not reflected in our  
24 low-carbon transportation funding number, our  
25 entrepreneurial ecosystem, for example, has done a lot of

1 work to support transportation electrification including  
2 supporting the development and manufacturing of next-  
3 generation EV batteries in California. Next slide, please.

4 Over the past couple of years we've developed a  
5 set of program-level metrics to evaluate the success of the  
6 program. The full list of these metrics is included in the  
7 annual report, but I wanted to highlight a couple of the  
8 more significant ones. The EPIC framework is structured  
9 around this concept of an innovation pipeline. And kind of  
10 within this pipeline is what we call, "valleys of death,"  
11 where the private sector isn't willing to invest in these  
12 technologies at those various stages. So one of the things  
13 we try to do with EPIC funds is target funding towards  
14 those valleys of death.

15 So one of the really critical metrics we use to  
16 assess our administration of EPIC is how much private  
17 sector investment companies have attracted after initial  
18 EPIC support. As you can see on the slide EPIC companies  
19 have attracted over \$3.5 billion in follow-on private  
20 investment. And this number doesn't tell the full picture,  
21 because the commercialization pathway for a lot of these  
22 start-up companies is through mergers and acquisitions of  
23 which we've had several in the EPIC program. And typically  
24 these dollar figures aren't reported in those deals. So  
25 our numbers are probably considerably higher than the \$3.5

1 billion.

2           The second metric I'd like to highlight is around  
3 equity. It's a priority for all our clean energy programs,  
4 including EPIC. AB 523 set a requirement that 35 percent  
5 of our demonstration deployment funds go to projects  
6 located in and benefiting under-resourced communities. For  
7 our cumulative EPIC investments through 2020 we've almost  
8 doubled what the statute requires. And we know there is a  
9 lot more work to do around equity, but it does provide an  
10 indication of how we've prioritized equity in EPIC. Next  
11 slide, please.

12           This next slide shows some of the more tangible  
13 benefits of our investments. Over the past year we worked  
14 with a consultant to develop more sophisticated tools to  
15 measure the benefits of our EPIC investments. As part of  
16 this effort the consultant conducted an independent  
17 assessment of a portion of our EPIC portfolio, mostly  
18 focusing on 19 EPIC technologies in the energy efficiency  
19 space and using kind of a fairly conservative estimate and  
20 market adoption. What they found was that these 19  
21 technologies have the potential to save \$18.6 billion. And  
22 then when we take that further looking at what the health  
23 benefits are it becomes even greater via the benefits to  
24 California in the range in the range of \$85 to \$191  
25 billion, just from these 19 technologies alone. Next slide

1 please.

2           In addition to kind of the more program  
3 highlights I also wanted highlight some of projects in this  
4 year's annual report. The first comes from our  
5 Entrepreneurial Ecosystem. So this company NeoCharge is  
6 addressing a pain point for many California households who  
7 are considering electric vehicles, is what do you do when  
8 you have in clothes dryer in the garage already taking up  
9 the 240-volt outlet? Or maybe you already have one  
10 electric vehicle and you are looking to add a second  
11 electric vehicle. So NeoCharge has developed a Smart  
12 Splitter for the 240-volt outlet. And this helps to avoid  
13 a lot of the costs to install an EV charger, including what  
14 can be some pretty expensive electrical work.

15           In addition, the charger's intelligence ensures  
16 that both the EV and whatever that second device are,  
17 aren't drawing electricity at the same time. And they're  
18 also working to develop DR-enabling capabilities so that  
19 both loads can be responsive to what is happening on the  
20 grid. Next slide, please.

21           So the next project I'd like to highlight is  
22 Caban Systems, which was part of our first RAMP cohort. So  
23 Caban is developing a battery storage solution to keep  
24 telecom towers up and running when power to the larger grid  
25 is lost. One of the key value propositions of Caban's

1 solution is that it can withstand harsh environments  
2 including high temperatures. So when Caban first started  
3 this project they were able to manufacture about one unit  
4 per month even though they probably have quite a bit of  
5 demand for their solution. So with the assistance of our  
6 RAMP program they are now able to manufacture one unit a  
7 day and they are even pushing beyond that in terms of their  
8 production capacity. Next slide, please.

9           So our next project is with the Rocky Mountain  
10 Institute which is demonstrating a new technology to  
11 improve the effectiveness of the building envelope,  
12 particularly for multi-family buildings. Conventional  
13 approaches to improving the building envelope are a lot of  
14 times labor-intensive. They are also disruptive to the  
15 residents. And it's tough on the contractor in having to  
16 get access to all the units in the multifamily dwelling,  
17 which can be a pretty long-time frame. So what Rocky  
18 Mountain is demonstrating is this prefabricated panel that  
19 can be installed over the exterior of the building. In kind  
20 of using this panelized approach contractors can reduce the  
21 amount of time to retrofit a multi-family building from  
22 over three weeks to less than one week. Next slide,  
23 please.

24           So the next technology I want to highlight was  
25 one that was built by SRI International that can improve

1 the cost-competitiveness of lithium recovery from  
2 geothermal brine. As I am sure you are all aware the  
3 Salton Sea is sitting on a very large lithium depository.  
4 In fact, large enough to produce over 11 million EV  
5 batteries in each year. The SRI technology aims to bring  
6 down the capital costs of lithium recovery from geothermal  
7 brine by a factor of six, which would make it cost-  
8 competitive with the more conventional lithium recovery  
9 processes such as evaporation ponds.

10 Following this project, SRI licensed the  
11 technology to a company called ExSorbition, which then  
12 received another EPIC award to further scale up and  
13 commercialize the technology. Next slide, please.

14 So the next EPIC project I'd like to highlight  
15 comes from our industrial space and this is Terzo Power,  
16 which has reimagined the hydraulic pump. Hydraulic pumps  
17 are used widely across the industrial sector. So Terzo has  
18 developed a hydraulic pump that uses a highly efficient  
19 liquid-cooled permanent magnetic motor. And what this has  
20 allowed them to do is not only significantly improve the  
21 efficiency of the hydraulic pump, but also downscale the  
22 physical footprint of the pump which you can see in the  
23 picture. And this will really help kind of improve the  
24 value proposition, it will increase adoption of their more  
25 energy efficient solution. Okay, next slide, please.

1           So the last project that I would like to  
2 highlight is Nuvve. So they have developed an energy  
3 management system that can enable vehicle-grid integration,  
4 including vehicle-to-grid applications. So Nuvve is  
5 demonstrating this project at the UC San Diego microgrid.  
6 And using a fleet of electric vehicles they were able to  
7 participate in demand-response options last summer to  
8 alleviate grid stress through the heat wave. And they were  
9 one of several EPIC projects that supported the state's  
10 reliability challenges last year by being able to drop  
11 load.

12           Nuvve was the recipient of two of our awards at  
13 our EPIC symposium last year. And we have in the slide  
14 that to date that through 2020 they had received \$18  
15 million in private-sector investment. More recently in  
16 February of 2021 they were able to secure an additional  
17 \$62 million in private investment, so a good sign that they  
18 are on their way towards really being able to scale up this  
19 technology and being able to have EVs provide a resource to  
20 the grid. Next slide, please.

21           So this slide shows some of the up-and-coming  
22 funding opportunities that we have planned in EPIC in 2021,  
23 it's a little bit of a look ahead. Several of these you'll  
24 hear about today, including some of the promising  
25 technologies that we recommended for funding from our

1 bridge grant programs.

2 We also have the map. It just kind of shows the  
3 geographic distribution of our projects. And as you can  
4 tell we've done a good job of really trying to make sure  
5 that EPIC supports the entire geography of the state of  
6 California. Next slide.

7 And with that I'm happy to answer any questions.

8 CHAIR HOCHSCHILD: Thank you so much, Eric. I do  
9 have some comments, but let's first go to public comment.  
10 Madam Public Advisor?

11 MS. GALLARDO: Yes, this is Noemi the Public  
12 Advisor. There are no public comments on Item Number 10.

13 CHAIR HOCHSCHILD: Thank you.

14 Well, Eric, first of all let me just thank you  
15 personally. I really appreciate your diligence and  
16 professionalism and attention to detail during the years  
17 we've worked together. I'm just blown away yet again. I  
18 feel like a kid in a candy store looking at this suite of  
19 projects and the whole EPIC team. This is the crown jewel  
20 of the Energy Commission.

21 I wanted to share that I love all these projects.  
22 I love the philosophy behind it. In my experience I came  
23 to the Commission out of the solar industry in Silicon  
24 Valley. And there was something of a contest, I would say,  
25 in innovation between what you might call revolutionary



1 innovation of moonshot deals and then what I would call  
2 evolutionary innovation. And I saw a lot of money go to  
3 the moonshot stuff. And actually, fairly few of those  
4 actually worked. And in the solar industry there was  
5 nanosolar and a bunch of these other technologies with  
6 chemistries that didn't really happen.

7           What actually happened in the solar industry is  
8 we had evolutionary innovation. Every year things got a  
9 little bit higher efficiency. And crystalline silicon  
10 ended up just coming down, down, down in costs. And you  
11 had actually a revolutionary result, but with this sort of  
12 evolutionary focus. So it can be kind of like Neo you just  
13 highlighted there. That one innovation to make it easy for  
14 somebody who's getting an electric car to not have to  
15 upgrade their panel and go to a 200-amp panel or higher.  
16 because they can save money with a little splitter like  
17 that. You might not say that's a revolutionary thing, but  
18 it's very significant, because many times the barrier to  
19 adoption is that additional capital cost you have to spend  
20 to upgrade your home's electric panel.

21           So I just saw that kind of throughout this  
22 portfolio of projects and just incredibly proud of the  
23 whole team, of you Eric in particular, and all the hard  
24 work. I really feel great about this portfolio. I think  
25 it was this kind of thinking that really helped win the 10-

1 year approval from the PUC to continue this program. We  
2 are on a roll here, so I just really wanted to pause and  
3 congratulate you on this report and all the work.

4 And with that let me open it up to comments from  
5 my colleagues. Would anyone like to chime in?

6 COMMISSIONER GUNDA: Yeah, Chair. I'm guessing  
7 Commissioner McAllister -- oh, Commissioner Monahan also  
8 raised her hand up. I'll go next to that.

9 CHAIR HOCHSCHILD: No, go ahead. Go ahead.

10 COMMISSIONER MONAHAN: No, you go.

11 CHAIR HOCHSCHILD: Yeah, go ahead.

12 COMMISSIONER GUNDA: Yeah. Chair, I just wanted  
13 to note kind of your incredible leadership in making the  
14 Energy Commission kind of a vehicle for clean energy  
15 funding for the state. And I think we are really doing  
16 some incredible work, through (indiscernible)  
17 transportation, through EPIC as well as some of the funding  
18 that we're doing through 1477 on the building side. I  
19 think the kind of amount of work that's CEC is doing in  
20 this space is incredible.

21 Specific to EPIC, I just want to thank Laurie's  
22 team and her vision and the entire village it takes to get  
23 things done. I know it's not always easy to conceive of a  
24 vision and then deliver holistically, so I just want to  
25 congratulate Laurie and her team. And specifically, as you

1 called out, Eric as well for his leadership in really being  
2 strategic and thinking through these elements in a holistic  
3 fashion. I also want to thank Eric's team over the last --  
4 the R&D team as a whole over the last couple of months  
5 since I started, providing briefings and important aspects  
6 in helping me understand the opportunity for investments  
7 and the larger public benefit for a lot of work we do.

8 So congratulations and thank you for that report  
9 out, Eric.

10 MR. STOKES: Yeah, thank you.

11 CHAIR HOCHSCHILD: Commissioner Monahan.

12 COMMISSIONER MONAHAN: Well, I heartily agree  
13 with Commissioner Gunda's comments. And just think that  
14 Laurie and Eric and the team have done a great job of  
15 articulating benefits. And I, actually, as I was reading  
16 through the report last night it really struck me as we're  
17 trying to support the Governor's budget request for  
18 reauthorization of the Clean Transportation Program.  
19 There's just a lot of great lessons learned about how to  
20 communicate impact. And I want to reach out to Eric and  
21 Laurie to learn more about the consultants that they hired  
22 to do that, because I think there's just great lessons  
23 learned for the Clean Transportation Program too. And just  
24 being able to lay out a narrative and a story about how  
25 impactful our investments are and can be.

1 CHAIR HOCHSCHILD: Thank you.

2 Commissioner Douglas. (Overlapping colloquy.) Oh  
3 sorry, go ahead.

4 COMMISSIONER MCALLISTER: Okay, okay. So yeah  
5 wholeheartedly agree with all the comments today and  
6 certainly echo appreciation to you, Chair, for your  
7 leadership on this. And then since I have stepped up to be  
8 the Associate on EPIC I've also been getting regular  
9 briefings sort of in doses because it's so content-heavy  
10 from each office across the Division. And I obviously have  
11 been aware of the buildings-related research and some of  
12 the analytical projects that the EPIC team, well just the  
13 R&D Division has been doing over the last few years, so was  
14 clearly very impressed with that.

15 But I think the appreciation of the system that  
16 they've got in place to detect innovative ideas, flesh them  
17 out, get a bucket, organize themes and do funding  
18 opportunities it's just incredible how rigorous and how  
19 complete I think they are in their consideration. I've  
20 always felt like I'll throw out a bunch of ideas about  
21 uncertainties that we have on the buildings or in any given  
22 sector. And they will latch onto it and they'll suss it  
23 out and figure out okay what's the actual topic? How do we  
24 craft a program opportunity notice about it? And get some  
25 funding out there to really see what's what. And I've

1 always felt that they've really taken ideas and run with  
2 them in a really positive way.

3 And I would just point out now I'm seeing that  
4 across the Commission from all the teams that have been  
5 putting work in. And so it's incredibly gratifying the  
6 level of talent in that division, the Research and  
7 Development Division, is just staggering.

8 And it is a great place that we bring in new  
9 talent from outside, young folks who want to get in this  
10 early in their careers into this sphere. And they learn  
11 about a topic from a firehose and they just blossom. And  
12 so it's really gratifying to see that.

13 Lastly I'll just point out that the EPIC program,  
14 all the R&D we do, positions us well for the federal  
15 conversation that's happening now, to align with federal  
16 policy in California is really locked in with where the  
17 feds want to go. And so I think as they work through this  
18 infrastructure conversation and figure out what pipeline  
19 they can use to really push innovation in very concrete  
20 ways, we are a great recipient and a great target for those  
21 funds. And I think because they know we can move markets,  
22 they know that we innovate well, they know that we do it  
23 quickly, and learn, and we make mistakes and we learn from  
24 those mistakes and then we have successes. And so I just  
25 think the various divisions that we have are a huge

1 leadership of key innovation and (indiscernible).

2           So I really want to express appreciation to  
3 Laurie and the whole team, Virginia for sure, and just  
4 everyone over there and keeps things moving forward. So  
5 thank you.

6           CHAIR HOCHSCHILD: Well, well said.

7           Commissioner Douglas?

8           COMMISSIONER DOUGLAS: Yeah, I just wanted to  
9 briefly add on to the thanks and appreciation to Laurie and  
10 her team on EPIC. This was a great presentation. And  
11 Chair Hochschild, your leadership on EPIC is also just  
12 super-valuable, because as Commissioner McAllister just  
13 said we build so much expertise we are moving markets.  
14 We're moving technologies, we're moving markets, we're  
15 bringing technology to commercialization that California  
16 needs, that the country and the world needs as we move to  
17 meet our climate goals. And foster resiliency and  
18 reliability and find better ways of doing this, better  
19 technologies, better approaches.

20           And so I always love hearing this presentation.  
21 I appreciate the work the EPIC team does. And I really  
22 love having this wonderful group of highly skilled and  
23 savvy people who know where the cutting edge of the  
24 technology is and have a good sense of where it's going.  
25 And their insights are valuable to me just across the

1 board, and connect to work that I do that may not be  
2 terribly related to research at all. And yet it's always  
3 important to be able to ask the question well where is this  
4 going? What do we see as we look forward? And so their  
5 perspectives there are great.

6 I've really appreciated the effort the EPIC team  
7 has put into ensuring that the clean energy research that  
8 we fund includes and benefits all Californians. And their  
9 focus on disadvantaged and underserved communities, their  
10 focus on tribal communities. I've really appreciated and  
11 seen the move they've made to really do a good job in that  
12 area, and so thank them for that as well. Thank you.

13 CHAIR HOCHSCHILD: Thank you, Commissioner. And  
14 just two final thoughts. One, I just again wanted to  
15 commend Laurie and the whole team for doing such a good job  
16 on these under-resourced communities. The fact we're doing  
17 68 percent of our demonstration projects is phenomenal.  
18 And that does not happen without intention. And I think  
19 it's unprecedented, actually, to be focused in the way that  
20 we are. And we've got to keep going. It's the right  
21 thing to do and I think it's a model for the country. And  
22 I just really wanted to call that out in particular.

23 And then, secondly, with the innovation space we  
24 have to at some level be comfortable with failure, because  
25 there's any time you're taking a risk, putting out funding

1 into these spaces, not every company is going to succeed.  
2 And I think we're all comfortable with that. That's what's  
3 necessary. Not every seed you put in the garden bed is  
4 going to flower, but we got to make the smartest  
5 investments that we can. I feel really good about this  
6 strategy. And we're comfortable with that risk and we're  
7 going to keep going, so commitment is there to continue  
8 pushing this as vigorously as we can. And getting this  
9 money out right now I think is a particularly important  
10 time on many levels. So thank you to the whole team, and  
11 congratulations.

12 Do we need to vote this out, the report? I guess  
13 we do, yes?

14 MR. STOKES: I believe so, Chair.

15 CHAIR HOCHSCHILD: Okay, so let's go ahead and do  
16 that. Commissioner McAllister, would you be willing to  
17 make the motion?

18 COMMISSIONER MCALLISTER: Absolutely. I'll move  
19 Item 10.

20 CHAIR HOCHSCHILD: Okay. Commissioner Douglas,  
21 would you second? Commissioner Douglas?

22 COMMISSIONER DOUGLAS: Second.

23 CHAIR HOCHSCHILD: Okay, thank you. All in favor  
24 say aye.

25 Commissioner McAllister?



1 COMMISSIONER MCALLISTER: Aye.

2 CHAIR HOCHSCHILD: Commissioner Douglas?

3 COMMISSIONER DOUGLAS: Aye.

4 CHAIR HOCHSCHILD: Commissioner Monahan?

5 COMMISSIONER MONAHAN: Aye.

6 CHAIR HOCHSCHILD: And Commissioner Gunda?

7 COMMISSIONER GUNDA: Aye.

8 CHAIR HOCHSCHILD: And I vote aye as well. Item

9 10 passes unanimously.

10 Let's take a break for lunch and reconvene at one

11 o'clock.

12 (Off the Record at 12:02 p.m.)

13 (On the record at 1:00 p.m.)

14 CHAIR HOCHSCHILD: Are we live yet?

15 MS. GALLARDO: Yes, we are live.

16 CHAIR HOCHSCHILD: Okay. Thank you, Noemi.

17 Welcome back everybody. Let's get back to the agenda.

18 We'll move on to Item 11, Electric Vehicle Ready

19 Communities Phase II-Blueprint Implementation.

20 MR. CORRIGAN: All right. Good morning,

21 Commissioners. I'm Kyle Corrigan and I'm staff in the

22 Advanced Vehicle Infrastructure Office. Today staff is

23 seeking the approval of two agreements awarded under the

24 Electric Vehicle Ready Communities Phase II-Blueprint

25 solicitation.

1           The purpose of this solicitation was to fund  
2 projects developed and identified in Phase I. Phase I  
3 advanced and supported communities in building a framework  
4 for their transition to zero-emission vehicles. This  
5 second phase will be implementing those frameworks.  
6 Funding is provided through the Clean Transportation  
7 Program. This solicitation provides \$7.5 million in  
8 funding to four proposed agreements. The first two  
9 proposed agreements went to the last month's Business  
10 Meeting. And those agreements were Contra Costa  
11 Transportation Authority and the City of Sacramento. Next  
12 slide.

13           The benefits to California are to improve  
14 accessibility to charging infrastructure by accelerating  
15 towards California's zero-emission vehicle infrastructure  
16 goals. This will also reduce the barriers to zero-emission  
17 vehicles in Kern and Ventura Counties. The EV workforce  
18 training component in both agreements will support green  
19 job creation and accessibility to those jobs in  
20 disadvantaged communities. Next slide.

21           One of the proposed agreements we have on the  
22 agenda today is the Ventura County Regional Energy Alliance  
23 agreement. The goals of this agreement are to accelerate  
24 and support the deployment of electrified transportation  
25 and charging infrastructure; establish an EV coach program

1 to extend EV awareness, outreach, and education; provide  
2 reliable and clean electric mobility services through  
3 electric vanpool and paratransit services, all while  
4 transitioning motor pools to electric fleets. Ventura  
5 County Regional Energy Alliance will also support workforce  
6 engagement and training within the Ventura County Community  
7 College District as well as other schools in their area.

8 Next slide.

9 Our next proposed agreement is the Kern Council  
10 of Governments agreement. The objectives of this agreement  
11 are for Kern COG to administer an effective and timely  
12 program to install electric-vehicle charging equipment and  
13 allow Bakersfield College to expand their curriculum and  
14 install equipment for hands-on training. Kern COG will  
15 conduct outreach through their TRANSITions Annual Transit  
16 Symposium and other EV outreach and marketing campaigns.  
17 The site host communities will have an impact on EV  
18 adoption and support electrified transportation options.  
19 And you can see all the site hosts by the seals of the  
20 cities that are involved in the agreement. All right, and  
21 next slide.

22 Staff recommend approval of both the Ventura  
23 County Regional Energy Alliance agreement for \$2.5 million  
24 and the Kern Council of Governments agreement for \$700,515.  
25 Staff also recommends the adoption of staff's determination

1 that these projects are exempt from CEQA.

2 I would like to thank you for your time and  
3 consideration with these items. I am available for any  
4 questions you may have about these agreements. Thank you  
5 so much.

6 CHAIR HOCHSCHILD: Thank you, Kyle.

7 Let's move on to public comment. Any public  
8 comments?

9 MS. GALLARDO: This is Noemi Gallardo the Public  
10 Advisor. Yes, we do have someone on the line. First let  
11 me remind the audience, attendees if you would like to make  
12 a public comment, please call our Verizon line at 888-823-  
13 5065. Pass code is "Business Meeting." Please tell the  
14 operator your name, affiliation and item number you'd like  
15 to speak to. This information is also on the screen on the  
16 slide that's currently being shown.

17 So our first commenter is Linda Urata. Linda,  
18 please restate your name, spell it and indicate your  
19 affiliation, if any. Your line is open, you may begin.  
20 (Silence on the line.) Linda your line is open, you may  
21 begin. Linda Urata, are you on the line, from Kern Council  
22 of Governments. All right, it looks like we might be  
23 having trouble with her line, or Linda is not hearing us.

24 CHAIR HOCHSCHILD: Okay. If we don't have any  
25 further comment let's move to Commissioner discussion, and

1 we can come back to her if she's able to reconnect. So  
2 Commissioner Monahan?

3 COMMISSIONER MONAHAN: Yes, thanks Chair. And  
4 thanks Kyle and to the whole team in the Advanced Vehicle  
5 Infrastructure Office for this. So as Kyle noted last  
6 month we approved blueprint implementation for Sacramento  
7 and Contra Costa. And this is now we're moving to the  
8 southern part of the state.

9 And a key component of the approved  
10 implementation blueprints is focused on increasing access,  
11 expanding beyond people who live in single-family homes to  
12 people who live in apartment buildings and need to charge  
13 their vehicles and get access, or even understand what an  
14 electric vehicle is. So I also really appreciate the  
15 workforce training components of these blueprints.

16 And again as I said last month, I mean, this is  
17 what we're hearing loud and clear from the different  
18 entities, advisory group and other stakeholders that we  
19 need to engage communities in the planning process for  
20 electric vehicles and then support them as they implement  
21 their blueprint. So I'm very excited to support this  
22 series of grants.

23 CHAIR HOCHSCHILD: Great.

24 Any other Commissioner comment on this item?  
25 Seeing none unless we have the woman who was trying to

1 connect let's --

2 MS. GALLARDO: Chair?

3 CHAIR HOCHSCHILD: Yes?

4 MS. GALLARDO: This is Noemi the Public Advisor.

5 Let's try again. And we do have one other person wishing

6 to speak. So we'll first try again with Linda Urata.

7 Linda, your line is open if you could begin speaking.

8 MS. URATA: Hi, can you hear me now?

9 CHAIR HOCHSCHILD: Yes, we can hear you, go

10 ahead.

11 MS. GALLARDO: Yes, we do.

12 MS. URATA: Okay, good. I see nodding. My name

13 is Linda Urata, that's U-r-a-t-a. And I'm with the Kern

14 Council of Governments. And I wanted to thank the

15 Commission staff and the Commissioners for this award on

16 behalf of KERN COGs member agencies and Bakersfield College

17 and the Kern community college district. And we're excited

18 for this opportunity to expand zero-emission transportation

19 and local workforce development in Kern County, especially

20 in our disadvantaged communities. We appreciate this

21 opportunity, and thank you.

22 CHAIR HOCHSCHILD: Thank you, Linda.

23 MS. GALLARDO: All right, this is Noemi, the

24 Public Advisor. The next speaker is Ranji George. And

25 Ranji, a reminder to please restate your name, spell it and

1 indicate your affiliation, if any. Your line is open, you  
2 may begin.

3 MR. GEORGE: Hello, can you hear me?

4 CHAIR HOCHSCHILD: Yes, we do.

5 MS. GALLARDO: Yes, we can.

6 MR. GEORGE: Thank you. My name is Ranji, R-a-n-  
7 j like in Japan, j-i, George like in George Bush, last  
8 name. I am with the Coalition for Advanced ZEV, and that's  
9 a voluntary nonprofit group advancing sustainable zero-  
10 emission technologies.

11 I just wanted to thank staff and the Board for  
12 supporting clean technologies and EV technologies for the  
13 last 10, 20 years now and even further than that. Thank  
14 you for that.

15 I just have a comment on the staff proposal. I  
16 appreciate the money for EVs going to the communities. But  
17 I wish the Board would treat hydrogen fuel cells and  
18 batteries on equal footing, 50-50 percent. If any funding  
19 is going for a broad category called EV or zero-emission  
20 technologies, it should be fairly distributed. That  
21 funding should be split to begin with, before awards, into  
22 two. And then make a judgment on awarding it.

23 For example, hydrogen fuel cell technology, we  
24 started it at the AQMD South Coast '90, mid-90s. And it  
25 took off and we helped California Air Resources Board form

1 the California Fuel Cell Partnership. And we had hired a  
2 company called BKI, "Bevilacqua-Knight (indiscernible).  
3 And they got input from us and we had projected hundreds of  
4 hydrogen stations by 2015. We are still 10 years and we're  
5 struggling to put 200 hydrogen stations. As a result, it  
6 lowers the enthusiasm big auto had for hydrogen fuel cells,  
7 fizzled out momentum. And only Toyota and Honda and  
8 Hyundai are there. Toyota got so frustrated I heard they  
9 went to China, and they are building a big infrastructure  
10 there for hydrogen fuel, so China embraced Toyota.

11 And I urge you, ladies and gentlemen, every time  
12 you put in some funding please put the equal amount of  
13 funding for hydrogen, including that \$15 million for heavy-  
14 duty trucks. Is it possible to split it 25/25? That way  
15 we can accelerate both technologies.

16 When I was working in South Coast under Dr. Alan  
17 Lloyd he was very fair to all three technologies: natural  
18 gas, batteries and hydrogen fuel cells. And under his  
19 leadership all three actually did so well. But since then,  
20 since his departure in late 90s, there was a big push for  
21 natural gas technologies under the billion-dollar funds of  
22 Carl Moyer (indiscernible). If you total that up in the  
23 last 20 years it was billions of dollars going to a few  
24 entities. But in the process the batteries and hydrogen  
25 fuel cell lost out, particularly the hydrogen fuel cells.



1           So I urge you to bring back the light-duty sector  
2 in hydrogen fuel cells and heavy-duty sector by fairly  
3 apportioning these ones. So again, thank you for all your  
4 great efforts, and appreciate to share my concerns. Thank  
5 you.

6           MS. GALLARDO: Thank you.

7           This is Noemi, the Public Advisor. Chair, that  
8 was the last comment on item 11.

9           CHAIR HOCHSCHILD: Okay. Thank you. Let's go to  
10 Commissioner discussion, Commissioner Monahan.

11           COMMISSIONER MONAHAN: Well, I already did. So I  
12 support these (indiscernible). Yeah, I gave my comments  
13 before the public comment.

14           CHAIR HOCHSCHILD: Okay. I wasn't sure if you  
15 wanted to respond anything else that was raised on that,  
16 but fine.

17           COMMISSIONER MONAHAN: Well, I just want -- I  
18 mean, one comment about hydrogen fuel cells. I mean we in  
19 the State of California have supported hydrogen fuel cells  
20 for a long time and plan to. I see a really important role  
21 for them, especially in the medium and heavy-duty side  
22 sector. And we're looking at this not just with a lens in  
23 California, but also globally, what's happening globally.  
24 And it's clear that what's happening globally is that  
25 batteries are ahead of fuel cells in terms of the cost

1 curve, they are cheaper. That doesn't mean we should stop  
2 investing in fuel cells. And we just need to be strategic  
3 and part of a, I think, recognize that this is important  
4 that we have momentum globally.

5 And we are soon going to be announcing a MOU  
6 actually with Zhangjiakou the lead city in China on  
7 hydrogen fuel cells and zero-carbon hydrogen, to work with  
8 them. So I just want to say we continue to look at this  
9 from a global context and really support and transition to  
10 ZEV. That includes both hydrogen fuel cells and battery  
11 electric in the sectors that make the most sense  
12 economically for them.

13 CHAIR HOCHSCHILD: Great. Thank you. Unless  
14 there is further discussion from Commissioners I'd  
15 entertain a motion from Commissioner Monahan on Item 11.

16 COMMISSIONER MONAHAN: I move to approve Item 11.

17 CHAIR HOCHSCHILD: Commissioner Douglas would you  
18 be willing to second that?

19 COMMISSIONER DOUGLAS: Second.

20 CHAIR HOCHSCHILD: Okay. All in favor say aye.

21 Commissioner Monahan?

22 COMMISSIONER MONAHAN: Aye.

23 CHAIR HOCHSCHILD: Commissioner Douglas?

24 COMMISSIONER DOUGLAS: Aye.

25 CHAIR HOCHSCHILD: Commissioner McAllister?

1 COMMISSIONER MCALLISTER: Aye.

2 CHAIR HOCHSCHILD: Commissioner Gunda?

3 COMMISSIONER GUNDA: Aye.

4 CHAIR HOCHSCHILD: And I vote aye as well. That  
5 item passes unanimously.

6 Let's turn now to Item 12, Discussion on  
7 Developing and Demonstrating Advanced Combustion Systems  
8 for the Industrial Sector.

9 MR. KRUPENICH: Good afternoon, Commissioners.  
10 Can you hear me okay?

11 CHAIR HOCHSCHILD: Yes.

12 MR. KRUPENICH: I am Ilia Krupenich from the  
13 Energy Efficiency Research Office in the Energy Research  
14 and Development Division. Next slide, please.

15 In California, the industrial sector accounts for  
16 one-third of natural gas consumption and almost one-fourth  
17 of greenhouse gas emission. Eighty-five percent of the  
18 natural gas consumed in the industrial sector goes for  
19 process heating. And air used for combustion is almost 80  
20 percent nitrogen, which is inert and does not participate  
21 in combustion. Replacing air with pure oxygen provides  
22 opportunities for substantial natural gas savings. And the  
23 goal of the two projects being recommended for approval is  
24 to reduce natural gas consumption by 20 percent and to  
25 reduce greenhouse gas emissions by 20 percent.

1           Anticipated total annual natural gas savings for  
2 the two projects I am presenting today are over 1.3 million  
3 therms, and annual reduction of greenhouse gas emissions  
4 are over 9,000 metric tons. Next slide, please.

5           The first project is with Gallo Glass Company.  
6 This project demonstrates an advanced oxygen-enriched  
7 combustion process with preheaters to improve recycling of  
8 heat that is usually wasted at its glass manufacturing  
9 facility in Modesto in a disadvantaged and low-income  
10 community. This project is anticipated to reduce natural  
11 gas by 25 percent. An interesting aspect is that  
12 installation and commissioning of this system will be done  
13 without shutting down the furnace.

14           This project will demonstrate improved economics  
15 of such upgrading for their future projects. And Gallo  
16 Glass is planning to convert their remaining three furnaces  
17 to this technology upon successful achievement of the  
18 natural gas reduction goals and verification of their  
19 performance. Next slide, please.

20           The second project is with Gas Technology  
21 Institute. GTI will demonstrate flameless oxygen-enriched  
22 combustion for an aluminum melting furnace located at the  
23 demonstration facility of Custom Alloy Sales in the city of  
24 Industry, a disadvantaged and low-income community.

25           The project is anticipated to reduce natural gas

1 use by 20 percent. The advanced burner to be demonstrated  
2 operates on a wide range of oxygen levels, which is  
3 necessary to optimize efficiency and ensure low emissions  
4 of nitrogen oxides in either a staged semi-flameless mode  
5 at low temperatures or a flameless mode at high  
6 temperatures. This demonstration will be at an aluminum  
7 melting furnace, but the technology is applicable to steel  
8 plants, cement plants and petrochemical industry as well.  
9 Next slide, please.

10 Staff recommends approval of the agreements with  
11 Gallo Glass Company and Gas Technology Institute and the  
12 adoption of staff's determination that these projects are  
13 exempt from CEQA. This concludes my presentation and I  
14 would be glad to answer your questions if you have any.  
15 Thank you.

16 CHAIR HOCHSCHILD: Thank you.

17 Let's go to public comment.

18 MS. GALLARDO: This is Noemi, the Public Advisor.  
19 Yes, we do have comments on this item. Toni Scott, you  
20 will be first. A reminder to please restate your name,  
21 spell your name and also indicate your affiliation, if any.  
22 Toni your line is open, you may begin.

23 MS. SCOTT: Good afternoon, my name is Toni  
24 Scott, T-o-n-i S-c-o-t-t. And I have the honor of calling  
25 in today on behalf of Gallo Glass Company. On behalf of

1 Gallo Glass I'd just like to thank you for the  
2 recommendation of the investment and funding through this  
3 program. Gallo is delighted to have the opportunity to  
4 leverage \$6.4 million of our own funding, with CEC's  
5 funding to advance really what is such an important and  
6 revolutionary demonstration projects in a low-income and a  
7 disadvantaged community.

8           We are looking forward to working closely with  
9 CEC staff on this effort and wants to acknowledge how  
10 wonderful Ilia has already been getting us to this process.  
11 It's been truly a delight to work with him. So thank you  
12 again for the recommendation of this investment and the CEC  
13 support of this effort.

14           MS. GALLARDO: Thank you. This is Noemi the  
15 Public Advisor. Chair, that was the last comment on Item  
16 12.

17           CHAIR HOCHSCHILD: Okay, thank you. Well, I just  
18 want to say I think these are terrific projects. Obviously  
19 we've made a lot of headway on reducing emissions in the  
20 electric generation sector. And we're now turning really  
21 aggressively towards the transportation sector, a lot of  
22 progress to come there. Industrial has not gotten nearly  
23 the attention that it deserves, so this is great to see.

24           And I open it up to any other Commissioner  
25 comments. Commissioner McAllister.

1                   COMMISSIONER MCALLISTER: Yeah, I was going to  
2 just comment on that industrial. We really, I think, need  
3 to find ways to focus and bring resources to industrial  
4 processes and improvement. Each plant is kind of  
5 different, and the leadership and the goals and the  
6 marketplace and the global versus local, lots of different  
7 ways that industries approach their marketplace and have  
8 opportunities to improve. And so we need to really be able  
9 to work with that as a state. And so I would support  
10 these. So I think it speaks well to Ilia, thank you for  
11 your collaboration with the applicants and getting these in  
12 front of us for a vote. And I'm very supportive.

13                  CHAIR HOCHSCHILD: Are there any other comments  
14 from Commissioners? Seeing none, I would entertain a  
15 motion from Commissioner McAllister.

16                  COMMISSIONER MCALLISTER: Yes, I will move Item  
17 12.

18                  CHAIR HOCHSCHILD: And Commissioner Douglas,  
19 would you be willing to second?

20                  COMMISSIONER DOUGLAS: Yes. Second.

21                  CHAIR HOCHSCHILD: All in favor say aye.  
22 Commissioner McAllister?

23                  COMMISSIONER MCALLISTER: Aye.

24                  CHAIR HOCHSCHILD: Commissioner Douglas?

25                  COMMISSIONER DOUGLAS: Aye.

1 CHAIR HOCHSCHILD: And Commissioner Gunda?

2 COMMISSIONER GUNDA: Aye.

3 CHAIR HOCHSCHILD: Commissioner Monahan?

4 COMMISSIONER MONAHAN: Aye.

5 CHAIR HOCHSCHILD: And I vote aye as well. Item  
6 12 passes unanimously.

7 Let's go to Item 13, Solar Heating, Cooling, and  
8 Power for Industrial and Commercial Applications.

9 MR. LASAM: Good afternoon, Chair and  
10 Commissioners. My name is Baldomero Lasam. And I'm a  
11 Mechanical Engineer in the Energy Research and Development  
12 Division. Today, I'm presenting one recommended award from  
13 the Solar Heating, Cooling and Power for Industrial and  
14 Commercial Application solicitation. Next slide, please.

15 This graph shows the natural gas consumption by  
16 various sectors in California. The industrial sector  
17 accounts for more than one-third of the total natural gas  
18 consumption and roughly one-fourth of the state's  
19 greenhouse gas emissions. The vast majority of this  
20 consumed natural gas, about 85 percent, is used for process  
21 heat or indirect boiler applications in the manufacturing  
22 industry. Next slide, please.

23 The objective of this solicitation and the  
24 project recommended today is to reduce the natural gas  
25 consumption from the industrial sector or commercial sector



1 by advancing the use of solar thermal systems capable of  
2 delivering process heat and refrigeration loads or solar  
3 electric and hot water. Developing and deploying solar  
4 thermal technologies targeting the industrial or commercial  
5 sectors can help reduce greenhouse gas emissions in the  
6 state.

7 In addition, the project will inform future  
8 deployment strategies by providing data on performance and  
9 cost-effectiveness. Next slide, please.

10 The project with Winston Cone Optics will develop  
11 a low-cost and high-efficiency solar thermal collector  
12 using non-imaging optics and metal-glass vacuum tube  
13 technology to provide cost-competitive thermal energy from  
14 a stationary collector for the 100 to 200 degrees Celsius  
15 temperature range. The project will reduce over 11,000  
16 therms of natural gas annually by replacing natural gas  
17 burned in a boiler. This reduces dependence on natural gas  
18 infrastructure and the need for natural gas large-scale  
19 transmission and storage. In addition, each square meter  
20 of installed collector area will avoid 329 lbs. of carbon  
21 dioxide emission equivalent annually. The technology will  
22 be demonstrated and deployed at Tyson's San Lorenzo  
23 facility. Next slide, please.

24 In conclusion staff recommends approval of this  
25 grant award and adoption of staff's determination that this

1 project is exempt from CEQA.

2 Thank you. And I'm joined by Kaycee Chang to  
3 answer any questions.

4 CHAIR HOCHSCHILD: Thank you.

5 Let's go now to public comment.

6 MS. GALLARDO: This is Noemi, the Public Advisor.  
7 We will start with Roland Winston. Roland, a reminder to  
8 restate your name, spell it and indicate your affiliation,  
9 if any. Your line is open, you may begin. And Roland, if  
10 you happen to have Zoom on at the same time please mute  
11 Zoom before you begin speaking.

12 (Audio difficulties - feedback.)

13 CHAIR HOCHSCHILD: Roland, unfortunately there is  
14 still a lot of background noise.

15 COMMISSIONER MCALLISTER: If you could turn your  
16 speaker off, I think that would help.

17 MR. WINSTON: Hello? (Feedback noise continues.)

18 CHAIR HOCHSCHILD: Roland, it's still  
19 reverberating there.

20 COMMISSIONER DOUGLAS: Perhaps he might submit a  
21 comment by -- Noemi, can he submit a comment in writing to  
22 you or by chat or anything like that if the speaker just  
23 won't work.

24 MS. GALLARDO: Yes. I wanted to see if he could  
25 try through Zoom first. And if not, if that doesn't work

1 then he can definitely submit comments. Roland, can you  
2 try speaking through Zoom now?

3 (Audio difficulties continue - echo.)

4 CHAIR HOCHSCHILD: Okay. You know what,  
5 unfortunately I don't think this is going to work. So  
6 Roland, maybe you could submit some written comments for  
7 the record and we'll get those in there. But I think we  
8 should move on.

9 So this is a terrific project, very encouraged to  
10 see this and it has my full support. Are there -- oh, I'm  
11 sorry, Noemi, were there any other public comments besides  
12 Roland?

13 MS. GALLARDO: No Chair, no other public  
14 comments. That was the only one for Item 13.

15 CHAIR HOCHSCHILD: Okay, let's see, are there any  
16 other Commissioners wishing to comment on this? If not,  
17 Commissioner McAllister would you make the motion?

18 COMMISSIONER MCALLISTER: Yes, I will move Item  
19 13.

20 CHAIR HOCHSCHILD: Okay. Commissioner Gunda  
21 would you second?

22 COMMISSIONER GUNDA: Yes. Second.

23 CHAIR HOCHSCHILD: Okay all in favor say aye.  
24 Commissioner McAllister?

25 COMMISSIONER MCALLISTER: Aye.

1 CHAIR HOCHSCHILD: Commissioner Gunda?

2 COMMISSIONER GUNDA: Aye.

3 CHAIR HOCHSCHILD: Commissioner Douglas?

4 COMMISSIONER DOUGLAS: Aye.

5 CHAIR HOCHSCHILD: Commissioner Monahan?

6 COMMISSIONER MONAHAN: Aye.

7 CHAIR HOCHSCHILD: And I vote aye as well. That

8 item passes unanimously.

9 Let's turn now to Item 14, Lawrence Berkeley

10 National Laboratory.

11 MR. FUNG: Good morning, Chair and Commissioners.

12 I'm Matt Fung from the Energy Efficiency Research Office.

13 And today we are seeking approval for this 4-year grant,

14 which resulted from a solicitation focused on advancing

15 load flexible technologies and strategies to help meet

16 Senate Bill 100 clean energy goals and support other CEC

17 efforts, including appliance and demand flexibility

18 regulations and the Load Management Standards. The primary

19 goals are to enhance grid reliability in a cost-effective

20 and equitable manner which is especially important to help

21 avoid power outages, such as during last summer's heat wave

22 that affected hundreds of thousands of customers. Next

23 slide please.

24 The benefits of this California Flexible Load

25 Research and Deployment Hub, or CalFlexHub, project include

1 improving grid stability and reliability by making customer  
2 use of load flexibility technologies easier and affordable,  
3 advancing technologies capable of responding to prices, and  
4 greenhouse gas emission signals that will be available  
5 through the CEC's Load Management Standards rate database.  
6 This could result in significant improvements in the cost-  
7 effectiveness, operational capabilities, and customer  
8 friendliness of load flexibility technologies will provide  
9 a foundation for expanding their adoption.

10 Other benefits include increasing participation  
11 which will encourage distributed energy resource adoption  
12 to more effectively integrate variable renewable generation  
13 than more costly storage resources or more emissions-  
14 intensive fossil generators. Achieving these benefits  
15 will bring California closer to achieving its  
16 electrification, decarbonization goals. Next slide.

17 In this agreement Lawrence Berkeley National  
18 Laboratory or LBNL, will develop a communication system  
19 that provides utility rates and GHG signals that originate  
20 from the CEC's rate database. This will enable virtually  
21 all Californians, including those without internet access,  
22 and their compatible devices to receive the signal to  
23 support the CEC's Load Management Standards. Demand  
24 flexibility projects tested and demonstrated under this  
25 agreement will respond to this Load Management Standards

1 signal so that those devices can dynamically adjust their  
2 demand based on price, GHG intensity, and user preference.

3           Some initial projects include using combined heat  
4 pumps for space conditioning and water heating, optimizing  
5 thermal or battery storage with other load flexible end  
6 uses, and building related vehicle grid integration in  
7 residential and commercial applications.

8           LBNL will also use a defined set of key  
9 performance metrics to annually evaluate existing research  
10 to determine if the current methodology requires a pivot  
11 based on current research results and market needs.

12           Also using the key performance metrics LBNL, with  
13 assistance of its technical advisory committee, will  
14 evaluate and prioritize future research needs. CalFlexHub  
15 will then be able to develop and perform additional,  
16 flexible demand research projects in the remaining years of  
17 the agreement.

18           CalFlexHub will also provide business development  
19 and technology resources to advance these load flexibility  
20 technology solutions into the market to support a clean  
21 energy economy. Next slide, please.

22           So this slide shows some examples of signal  
23 responsive demand flexibility projects that CalFlexHub will  
24 be performing in its first year. As you see there is a mix  
25 of projects revolving around optimizing electrical demand

1 flexibility from heat pumps for space conditioning and  
2 water heating, optimization of stationary energy storage  
3 and vehicle grid integration, and other load flexibility  
4 research such as tackling the electrical panel upgrade  
5 barrier to greater electrification. As mentioned before  
6 additional projects will be prioritized and performed based  
7 on industry needs. Next slide, please.

8           So staff recommends approval of this agreement  
9 and adoption of staff's CEQA determination. I am now open  
10 for any questions. And David Hungerford from Energy  
11 Research Division, Cory Irish from Chief Counsel's Office,  
12 and Mary Ann Piette from LBNL are also on the line to  
13 answer any questions. Thank you.

14           CHAIR HOCHSCHILD: Thank you, Matt.

15           Any public comment on this?

16           MS. GALLARDO: This is Noemi, the Public Advisor.  
17 We do have someone on the line, so we're going to try this  
18 again. The team has been trying to resolve that issue  
19 earlier. So that's Mary Ann. Mary Ann, a reminder to  
20 please restate your name, spell it and indicate your  
21 affiliation, if any. Your line is open, please begin.

22           MS. PIETTE: Lawrence Berkeley National Lab. My  
23 name is spelled M-a-r-y A-n-n P-i-e-t-t-e, it sounds like  
24 there's no echo problem now.

25           CHAIR HOCHSCHILD: Yeah, we can hear you fine.

1 MS. GALLARDO: That's right.

2 MS. PIETTE: Thank you. I just wanted to express  
3 our excitement about the opportunity to run CalFlexHub and  
4 supporting the concepts from Matt that this work will help  
5 accelerate the development and deployment of technology to  
6 allow a clean, affordable, reliable and equitable energy  
7 systems to allow buildings to be better integrated with the  
8 electric system for assistance in our demand management  
9 dealing with renewable over-generation, ramping and peak  
10 demand issues. And as Matt said we will coordinate closely  
11 with the Load Management Standards and the flexible demand  
12 appliances activities. And we appreciate the opportunity  
13 to conduct this research.

14 MS. GALLARDO: Thank you.

15 This is Noemi, the Public Advisor. That was the  
16 last comment on Item 14.

17 CHAIR HOCHSCHILD: Okay, thanks let's move to  
18 Commissioner discussion.

19 I'm really pleased to support this. I think for  
20 a long-time electric load with the exception of a few  
21 industrial demand-response programs was just seen as a  
22 fixed, rigid thing that we had to ramp up generation to  
23 support. And I think a more evolved understanding of the  
24 reality is that there's a lot about electric load that can  
25 be manipulated, and in ways that support electric



1 reliability and our climate goals as well and we're just  
2 getting going on this.

3 I want to once again thank Commissioner  
4 McAllister for his leadership and the team's work on the  
5 Load Management Standards, because I think when that's  
6 fully in place I see this work is really funding a lot of  
7 tools that we'll be able to make use of through good  
8 policy. But there's a lot we can do. It's still  
9 exceedingly early days in this and I'm really pleased with  
10 this project as a step towards a much more robust focus on  
11 flexible load. So I'm really pleased to support this.

12 Hoping that maybe Commissioner McAllister, would  
13 you care to begin?

14 COMMISSIONER MCALLISTER: Absolutely. So I am  
15 super excited about this and this is the culmination of  
16 literally generations of work that enable this. I mean, we  
17 have the digital economy helping us out in terms of low-  
18 cost communications and controls. What we really have in  
19 California a stable -- just a deep, deep, deep reservoir of  
20 knowledge. And LBNL is really the focus of that knowledge  
21 and I have to just call out Mary Ann as a long-term leader  
22 in these issues. So I'm super excited to have LBNL leading  
23 this work, having a runway that is a number of years to  
24 really deepen our knowledge as a state on this stuff. And  
25 make it really apply in a very pragmatic way all the tools

121

1 that we have at our disposal, including the Load Management  
2 Standards.

3 And I have to also mention David Hungerford as a  
4 long-term advocate for these issues. And Karen Herter,  
5 Gabe Taylor on the Load Management Standard side, Pierre  
6 duVair on the appliance flexible load side, all of these  
7 gears are working together in harmony to -- we'll keep it  
8 that way -- to really create a new regime and this vision  
9 is really compelling.

10 And I think the rest of the country is waking up  
11 to this fact that grid-connected buildings, that grid-  
12 connected loads and that flexible flexibility all around is  
13 going to help us. And we saw that conclusion even in the  
14 SB 100 report where flexible load is a way to reduce costs,  
15 as well as decarbonize and enhance reliability as the Chair  
16 said. So really, that triumvirate of goals is something  
17 that is absolutely in line with load flexibility. And  
18 we're going to create the body really, I think, create a  
19 significant body of work over the coming years on this and  
20 make it practically applicable in the real world for real  
21 people, to benefit Californians.

22 And so I'm super excited. Congratulations, Mary  
23 Ann. I know I've been sort of on the edge of my seat  
24 waiting for this to come to a Business Meeting. I'm glad  
25 to be able to vote for it now. And really look -- well,

122

1 this is a part of our future. You know it's a network, not  
2 a not a one-direction system anymore, it's a web.

3 And I think we have been funding this for a  
4 really long time in the context of demand response and open  
5 ADR, which also was a seed at LBNL that we helped to  
6 germinate and grow and is now in wide news. And this is  
7 sort of a, I'd say, a next-generation version of that; it's  
8 a real transformational initiative in all the good meanings  
9 of that word.

10 So thanks for bringing this to us. I really  
11 appreciate it, Matthew.

12 CHAIR HOCHSCHILD: Thank you, Commissioner.

13 Any other Commissioners wishing to make a  
14 comment? Commissioner Gunda.

15 COMMISSIONER GUNDA: Yeah Chair, thank you. I  
16 just wanted to echo the importance of this grant. I think,  
17 as Commissioner McAllister and you, Chair, had both noted  
18 this is an incredible intersection of a multitude of  
19 things. We're right now in the process of getting some of  
20 the IMD data. We're really thinking through enhancements  
21 to reliability and resiliency. We're thinking about how to  
22 reduce the cost burden as well as the build and the land-  
23 use burden, SB 100. So this is all coming together. And  
24 load flexibility has an opportunity to really redefine a  
25 lot of those elements.

1           So I just want to congratulate the EPIC team,  
2 Matt and the entire R&D team, for putting a lot of thought  
3 into bringing this together. And also do not want to lose  
4 the opportunity to really recognize Commissioner  
5 McAllister's leadership on Load Management Standards, the  
6 data, everything that he's been trying to shepherd over the  
7 last decade.

8           So I'm really thankful and really grateful for  
9 this beginning to become the fruition of the next step. So  
10 congratulations to everybody on your work and looking  
11 forward to LBNL's good work on this.

12           CHAIR HOCHSCHILD: Thank you.

13           Any other Commissioners wishing to make a  
14 comment? If not I'd entertain a motion from Commissioner  
15 McAllister.

16           COMMISSIONER MCALLISTER: Yeah, I guess I should  
17 mention one more thing before making a motion. This also  
18 has our (indiscernible) DNA in it. I just have to say that  
19 because price responsive, in particular, but all sorts of  
20 flexible demand is something that actually he envisioned a  
21 long time ago. And so I think that this is a fruition that  
22 really builds on that legacy. So I will, with that  
23 comment, I will move Item 14.

24           CHAIR HOCHSCHILD: Thank you. Commissioner  
25 Gunda, would you be willing to second?

1 COMMISSIONER GUNDA: Yes. Second.

2 CHAIR HOCHSCHILD: Okay all in favor say aye.

3 Commissioner McAllister?

4 COMMISSIONER MCALLISTER: Aye.

5 CHAIR HOCHSCHILD: Commissioner Gunda?

6 COMMISSIONER GUNDA: Aye.

7 CHAIR HOCHSCHILD: Commissioner Monahan?

8 COMMISSIONER MONAHAN: Aye.

9 CHAIR HOCHSCHILD: Commissioner Douglas?

10 COMMISSIONER DOUGLAS: Aye.

11 CHAIR HOCHSCHILD: And I vote aye as well.

12 Congratulations. That item passes unanimously.

13 Let's turn now to Item 15, Technology &

14 Investment Solutions.

15 MR. GOODHAND: Thank you, Commissioner. My name

16 is Robin Goodhand and I work in the Energy Research and

17 Development Division. Today with me are Attorney Christina

18 Evola and Mike Gravely.

19 Today I am presenting Item 15, an applied

20 research long-duration energy storage project from the

21 solicitation "Developing Non-Lithium-Ion Energy Storage

22 Technologies to Support California's Clean Energy Goals."

23 Next slide, please.

24 The recently published joint agency report on the

25 implementation of "The 100 Percent Clean Energy Act 2018"

1 Senate Bill 100, or SB 100 for short, highlights the need  
2 for long-duration energy storage and green hydrogen  
3 technologies for meeting California's energy goals.

4 This agreement will field test a green  
5 electrolytic hydrogen energy storage system and validate  
6 system performance in a long duration energy storage  
7 application. This proof-of-concept applied research  
8 project will focus on the use of metal hydrides as a  
9 hydrogen storage medium.

10 This project will validate the technology's  
11 potential future rate payer benefits including the  
12 technology's ability to safely store green electrolytic  
13 hydrogen in a smaller volume than compressed gaseous  
14 hydrogen, provide customer electricity savings through  
15 solar generation load shifting, and storing energy over  
16 long durations for energy resiliency applications. Next  
17 slide please.

18 This proof-of-concept project will field test the  
19 hydrogen energy storage system that will produce green  
20 electrolytic hydrogen in a small-kilowatt scale  
21 electrolyzer using electricity generated by an existing  
22 onsite solar PV array. Up to 67 kilograms of green  
23 electrolytic hydrogen will be stored safely within a metal  
24 hydride powder over long durations. Electricity will be  
25 re-generated on demand by a small-kilowatt scale fuel cell.

1           The project will validate the system's  
2 performance, which is predicted to achieve over 100 hours  
3 of energy resiliency.

4           The project research focuses on systems  
5 integration and optimizing thermal management. Next slide,  
6 please.

7           Green electrolytic hydrogen is typically stored  
8 as a high-pressure gas in a tank, or as liquid hydrogen.  
9 Conceptually, at an atomic scale, hydrogen in this project  
10 will be stored in the small spaces between the molecules of  
11 the metal hydride powder.

12           This project will optimize the thermal management  
13 and validate the ability of the metal hydride storage to be  
14 charged with low-pressure hydrogen and recover the hydrogen  
15 from the metal hydrides to generate electricity for use on  
16 demand. The hydrogen charging process releases heat,  
17 requiring cooling of the metal hydride powder. And the  
18 discharging process requires external heat to be applied to  
19 the metal powder to release the hydrogen. Theoretically a  
20 puncture of a hydride storage tank would cause the metal  
21 powder to rapidly cool and prevent an uncontrolled escape  
22 of hydrogen gas. This is a significant potential safety  
23 benefit compared to other forms of hydrogen storage. Next  
24 slide, please.

25           Future application and deployment of metal

1 hydride technology beyond the scope of this project may  
2 lead to additional benefits for California. This chart  
3 compares the volumes required for storing hydrogen in  
4 various forms relative to the equivalent energy density of  
5 diesel fuel.

6 Storing hydrogen in metal hydride powders may  
7 theoretically require a smaller volume than storing the  
8 equivalent amounts of hydrogen as a liquid or as a  
9 compressed gas.

10 Large-scale energy storage will be required to  
11 meet SB 100 goals. Metal hydrides have the potential to be  
12 deployed at scale and could reduce the overall land area  
13 that will be required for energy storage to meet SB 100  
14 goals.

15 The metal hydride powder's thermal management  
16 temperature range makes the technology well suited for  
17 hybridized integration with building thermal energy demands  
18 such as hot and cold water.

19 In this project hydrogen will be stored at  
20 approximately 40bar. Future thermal management approaches  
21 may include warming the metal hydride powder to pressurize  
22 the hydrogen. Other research projects have achieved  
23 hydrogen pressures of 200bar, which is approaching the  
24 pressure range required for vehicle refueling. Future  
25 research and demonstration initiatives may show that



1 storing hydrogen in metal hydride powders can significantly  
2 reduce the volume required for energy storage, as well as  
3 improve the energy efficiency of hot-water heating and  
4 reduce the energy required to produce compressed hydrogen  
5 gas. Next slide, please.

6 We recommend approval of this agreement and  
7 adopting staff's determination that this action is exempt  
8 from CEQA. This concludes my presentation. Staff and  
9 attorneys are available to answer any questions. Thank  
10 you.

11 CHAIR HOCHSCHILD: Thank you.

12 Let's go to public comment.

13 MS. GALLARDO: This is Noemi, the Public Advisor.  
14 There are no public comments for Item 15.

15 CHAIR HOCHSCHILD: Okay. Well I'm pleased to  
16 support this and thank the staff for preparing it.  
17 Obviously we're going to have to ramp up a number of tools  
18 to reach our SB 100 goals, including another six gigs  
19 annually of renewables. And storage is going to be a big  
20 part of that and we need everything at our disposal. So  
21 I'm happy to be able to support this today. I don't see  
22 any other Commissioners wishing to make a comment. Oh  
23 sorry, Commissioner Monahan. Oh, please go ahead.

24 COMMISSIONER MONAHAN: Yes, well thanks Robin for  
25 that presentation. I'm really excited about this

1 investment and others where we're expanding. We're looking  
2 more deeply into how hydrogen and fuel cells could be used  
3 beyond the transportation sector. I think to drive down  
4 the price of hydrogen we will need as many technologies as  
5 possible to be able to use hydrogen fuel for delivering  
6 zero-carbon energy, so I just really think this is a big,  
7 exciting project.

8 I just had one question for Robin, because I  
9 haven't heard of this strategy before. Is this something  
10 that is -- do you know if there are global investments in  
11 this space? Or is this something where California is kind  
12 of out in front in exploring this?

13 MR. GOODHAND: Certainly, thank you for your  
14 question, Commissioner. In short, hydrate and metal  
15 hydride as a hydrogen energy storage medium is not new, it  
16 has been deployed in other projects around the world. In  
17 California this project is certainly the first foray that  
18 we have seen in this area.

19 COMMISSIONER MONAHAN: Great. Thank you.

20 CHAIR HOCHSCHILD: Sorry, Commissioner  
21 McAllister?

22 COMMISSIONER MCALLISTER: I'd like to comment  
23 briefly. Yeah, so it's interesting how hydrogen kind of  
24 coming to the foray, a little bit in fits and starts, but  
25 it's kind of cross-cutting, complimenting what Commissioner

1 Monahan just said. You know, trying to build on the  
2 transportation sector and figuring out how to sort of  
3 decarbonize the existing hydrogen economy, which is  
4 actually quite large and tied to the oil and gas sector in  
5 large measure, but not completely. And that's a big carbon  
6 footprint in this state that we have to work with.

7 And then figuring out what other sectors of the  
8 economy it can actually apply to, so I'm also happy to see  
9 this project. And supportive in this kind of ecosystem  
10 sense that trying to figure out ways to fund integrative  
11 technologies that can span sectors and do storage and  
12 piggyback on existing infrastructure, and dovetail with our  
13 path forward to decarbonize. All of those things are, I  
14 think, have potential and really a lot of need for  
15 exploration, so this is a good project along those lines.  
16 So this is a good project along those lines.

17 CHAIR HOCHSCHILD: Thank you, Commissioner.

18 Commissioner Monahan, would you be willing to  
19 move this item? And Commissioner McAllister, would you be  
20 willing to second?

21 COMMISSIONER MONAHAN: I move Item 15.

22 COMMISSIONER MCALLISTER: I'll second.

23 CHAIR HOCHSCHILD: All in favor say aye.

24 Commissioner Monahan?

25 COMMISSIONER MONAHAN: Aye.

1 CHAIR HOCHSCHILD: Commissioner McAllister?

2 COMMISSIONER MCALLISTER: Aye.

3 CHAIR HOCHSCHILD: Commissioner Gunda?

4 COMMISSIONER GUNDA: Aye.

5 CHAIR HOCHSCHILD: Commissioner Douglas?

6 COMMISSIONER DOUGLAS: Aye.

7 CHAIR HOCHSCHILD: And I vote aye as well. That

8 item passes unanimously.

9 Let's go to Item 16, Rocky Mountain Institute.

10 MS. GALLARDO: (Silence on the line.) Karen,

11 you're muted. Make sure you unmute from your screen.

12 MS. PERRIN: Sorry, can you hear me now?

13 CHAIR HOCHSCHILD: Yes.

14 MS. GALLARDO: Yes.

15 MS. PERRIN: Okay, greetings Chair and

16 Commissioners. I am Karen Perrin, and my name is spelled K-

17 a-r-e-n," last name is P-e-r-r-i-n. And I'm from the

18 Energy Efficiency Buildings Office in the Research and

19 Development Division. Today, I will provide a presentation

20 on the recommended award, which requests cost share funding

21 to a federal funding award. Next slide, please.

22 Space conditioning and water heating are a

23 significant part of California's energy demand. And there

24 is a need for more efficient retrofit solutions in

25 buildings and especially in multifamily buildings. This

1 agreement responds to the increased demand second to  
2 improve energy performance in buildings, which fits into  
3 California's clean energy goals. Next slide, please.

4           The U.S. Department of Energy is providing Rocky  
5 Mountain Institute with two grant awards. This Commission  
6 agreement will provide cost share funding for the two DOE  
7 awards, which total \$5.5 million and the proposed  
8 Commission agreement is for \$1.3 million. The goals are to  
9 address affordability, decarbonization and market scaling  
10 in the construction sector. This agreement includes two  
11 project parts, that will occur concurrently. And the next  
12 two slides will summarize each of the two parts of the  
13 agreement. Next slide, please.

14           The pods will be designed as a simple, highly  
15 efficient, and easy-to-deploy package. It will use a  
16 standardized, modular, pre-fabricated approach. The pods be  
17 all-electric, with advanced mechanical systems and controls  
18 and will be a mass-producible product for multifamily  
19 buildings. Under Phase 1 these pods will be built off-  
20 site, which can remove some of the time consuming and  
21 costly barriers associated with retrofits.

22           The picture on the right shows the possible  
23 integrated system which will include -- actually, on the  
24 left -- high efficiency heat pumps for space conditioning  
25 and hot water, ventilation, and advanced grid interactive

1 controls. They will be designed to be affordable and  
2 attractive and commercialized for manufacturing scale-ups.

3 Phase 2 for the pod agreement will be a large-  
4 scale demonstration in multifamily buildings and is  
5 contingent on the future funding from DOE and CEC.

6 Demonstrating new technologies can send a signal  
7 to the market, but more than technology is the barrier of  
8 market adoption, which is also needed in tandem to drive  
9 demand. Next slide, please.

10 There is a strong interest from equipment  
11 manufacturers to bring advanced building technologies to  
12 the U.S. and to the California market, but they don't have  
13 the demand to justify it yet. The collaborative aims to  
14 accelerate demand in the market.

15 The Advanced Building Construction Collaborative  
16 will establish and coordinate a network of building  
17 stakeholders aimed at accelerating the uptake of  
18 innovative, high-performance construction technologies that  
19 achieve superior energy and carbon performance, are faster  
20 to deploy, have high quality and are affordable to building  
21 owners, developers and users.

22 The goals for California include promoting  
23 California-based manufacturing and expanding the statewide  
24 pipeline of supply and demand by connecting them to the  
25 national markets. My next slide will show a breakdown of

1 the funding. Next slide, please.

2 This slide shows that this federally funded award  
3 includes two projects: Project 1 and Project 2. Under the  
4 Commission's match share agreement they will be combined  
5 under one project agreement and both will be done  
6 concurrently.

7 As shown in the slide the cost share will include  
8 that CEC will initially fund \$62,500 in cost share towards  
9 the pre-fabricated pods for the design, building and  
10 testing of the prototypes. As shown in the asterisk, the  
11 CEC will provide an additional \$625,000 as cost share for  
12 Phase 2, which is a large-scale demonstration. Phase 2  
13 funds are subject to award of additional funds by DOE and  
14 the CEC. And the DOE Phase 2 funds are expected to be  
15 awarded in January. For the collaborative, CEC will fund  
16 \$625,000 in cost share.

17 If all the future awards are approved this  
18 project has the potential to leverage a Department of  
19 Energy investment of \$10.5 million versus a CEC investment  
20 of \$1.3 million, thus leveraging state funds by nearly  
21 eight times. All CEC funds will be spent in California.  
22 Next slide, please.

23 This is my final slide. Staff recommends the  
24 approval of the grant. Staff has determined that this  
25 action is exempt from CEQA on both projects. Thank you for

1 your time and I am available to answer any questions you  
2 may have.

3 CHAIR HOCHSCHILD: Thank you.

4 Let's turn to public comment.

5 MS. GALLARDO: This is Noemi, the Public Advisor.  
6 We do have public comment. First up is Martha Campbell.  
7 Martha, I'll remind you to please restate your name. spell  
8 it and indicate your affiliation, if any. And also a  
9 warning. We had a switch in our Verizon operator, so we're  
10 hoping that there aren't any echo issues, but I want to  
11 warn you.

12 So Martha your line is open, please begin. And  
13 we'll let you know if there are any issues with the echo.  
14 Go ahead. (Silence on the line.) All right, so Martha, we  
15 cannot hear you. I think it's an issue with our Verizon  
16 line. Verizon operator, if you could unmute the line?

17 MS. CAMPBELL: Can you hear me now?

18 CHAIR HOCHSCHILD: Yes, we can hear you.

19 MS. CAMPBELL: Okay, great. So this is Martha  
20 Campbell with RMI. I'm speaking regarding Item Number 16.  
21 And I basically just wanted to thank the Commission for  
22 continuing to support this work. This is definitely a  
23 longer-term vision that is going to take quite a bit of  
24 market mobilization and investment and determination to  
25 kind of transform the market in a way where these types of



1 solutions are the norm and they are the way that the  
2 construction sector does business.

3 And we hope that the work that we're doing here  
4 can not only provide a catalyst, but help to build the  
5 tipping points that are required to make this a norm across  
6 our state and, ideally, the country. So thank you for  
7 supporting this work.

8 CHAIR HOCHSCHILD: Thank you.

9 MS. CAMPBELL: And that's it for me.

10 CHAIR HOCHSCHILD: Any other public comment,  
11 Noemi?

12 MS. GALLARDO: This is Noemi, the Public Advisor.  
13 That was the last comment for Item 16.

14 CHAIR HOCHSCHILD: Thank you.

15 Well, I love this. I love the leveraging of  
16 federal funds, love leveraging funds generally. And this  
17 seems very timely. Let's just open up to Commissioner  
18 discussion. Commissioner McAllister?

19 COMMISSIONER MCALLISTER: Yeah, just quickly, I  
20 couldn't agree with the commenter more. We really need to  
21 move the market and get to those, get to the penetration  
22 and experience out there in California, where we need these  
23 penetrations to start ramping up. And so they can kind of  
24 fit the way we do market transformation and we can push it  
25 with all the instruments in our toolbox. And I agree that

1 this is essential for our decarbonization, so appreciate  
2 it.

3 And also, I have to say that we have a great  
4 relationship now with the Department of Energy and the  
5 leadership in EERE and the Building Technologies Office.  
6 And we want to do everything we can to dovetail with their  
7 resources and certainly leverage as many as we can, get  
8 those resources to California. So great vehicle for that  
9 as well.

10 CHAIR HOCHSCHILD: Great. Unless there's other  
11 Commissioner comments, Commissioner McAllister, would you  
12 be willing to move the item?

13 COMMISSIONER MCALLISTER: Yeah, I'll move Item  
14 16.

15 CHAIR HOCHSCHILD: Commissioner Gunda, would you  
16 be willing to second that?

17 COMMISSIONER GUNDA: Yes, second.

18 CHAIR HOCHSCHILD: All in favor say aye.  
19 Commissioner McAllister?

20 COMMISSIONER MCALLISTER: Aye.

21 CHAIR HOCHSCHILD: Thank you. Commissioner  
22 Gunda?

23 COMMISSIONER GUNDA: Aye.

24 CHAIR HOCHSCHILD: Commissioner Monahan?

25 COMMISSIONER MONAHAN: Aye.

1 CHAIR HOCHSCHILD: Commissioner Douglas?

2 COMMISSIONER DOUGLAS: Aye.

3 CHAIR HOCHSCHILD: And I vote aye as well.

4 Let's turn now to Item 17, Polaris Energy  
5 Services.

6 MR. DAVIS: Good afternoon, Chair and  
7 Commissioners. I'm Dustin Davis with the Energy Efficiency  
8 Research Office.

9 California has committed to sourcing 100 percent  
10 of electricity from renewable and zero-carbon resources by  
11 2045 and delivering it reliably. This will require  
12 California to not only remain diligent in implementing  
13 technologies that use electricity more efficiently, but  
14 devices with demand flexibility or the capability to shift  
15 timing of when electricity is consumed to better match  
16 energy demand and supply and enable excess renewable  
17 electricity to be used rather than curtailed.

18 Agricultural irrigation pumping demand can  
19 contribute a significant share of the needed demand  
20 flexibility to support the transition to a reliable and  
21 affordable zero-carbon electricity future. Lawrence  
22 Berkeley Lab identified agriculture pumping as an area with  
23 significant demand flexibility potential that is largely  
24 untapped. Next slide, please.

25 The Polaris technology uses software and

1 automation that integrates price and signals from the grid  
2 with agricultural irrigation scheduling and control to  
3 lower electricity costs by helping customers use less power  
4 when prices are high; increase grid reliability by reducing  
5 demand for power when stress on the grid is high; and  
6 reduce greenhouse gas emissions due to lessening the need  
7 for inefficient natural-gas peaker plants; and shifting  
8 operations to increase utilization of energy from renewable  
9 sources, such as wind and solar. Next slide, please.

10           This project aims to leverage the technology  
11 developed and tested under a recently completed EPIC grant  
12 which proved agricultural energy users can contribute to  
13 demand flexibility, but additional technology enhancements  
14 and support are needed to ensure customers' expectations  
15 are met and proven at scale.

16           This project will enhance Polaris' automated  
17 irrigation and energy management control platform to  
18 include additional functionality such as providing energy  
19 financial management for users across diverse portfolios of  
20 utility service points on different rates and tariffs. And  
21 adding intelligent scheduling recommendations that  
22 automatically generate irrigation schedules based on user  
23 preferences and constraints.

24           The technology enhancements will enable farmers  
25 for the first time to be able to enter irrigation

1 requirements and operational constraints, receive a  
2 recommended irrigation plan, then customize and deploy it  
3 directly to an irrigation controller.

4 The technology will be deployed at minimum 200  
5 sites located in PG&E and SCE utility service territories,  
6 leading to 25 to 40 megawatts of grid-responsive peak load  
7 reduction, especially during the summer. The project  
8 includes about \$600,000 in match funds. Next slide,  
9 please.

10 Staff recommends approval of this item as well as  
11 staff's determination that this action is exempt from CEQA.  
12 Thank you for your time and I am available to answer  
13 questions. Also with me today is the CEO of Polaris, David  
14 Meyers, who would like to make a few remarks. Thank you.

15 CHAIR HOCHSCHILD: Let's go to David Meyers.

16 MS. GALLARDO: This is Noemi, the Public Advisor.  
17 Yes, David Meyers is on the line. David, a reminder to  
18 restate your name, spell it and indicate your affiliation.  
19 Your line is open, you may begin.

20 MR. MEYERS: Thank you. My name is David Myers,  
21 D-a-v-i-d M-e-y-e-r-s. I'm the CEO of Polaris Energy  
22 Services. We appreciate the Commission's support during  
23 the last three years of research and development examining  
24 the obstacles to agricultural sector participation and  
25 demand flexibility. And developing solutions to integrate

141

1 water-pumping loads with the grid to meet the state's  
2 decarbonization goals and reliability needs.

3 Ag pumping has the second largest load shift  
4 potential of all sectors and end uses in this state,  
5 surpassed only by commercial and retail buildings according  
6 to a report by previous grantee and commenter Mary Ann  
7 Piette.

8 Commissioners McAllister and Gunda have shown  
9 interest in our work. I appreciated the agricultural  
10 references to "deep reservoirs," and "sprouting seeds" on a  
11 prior agenda item. And Commission staff Dustin Davis and  
12 David Hungerford provided guidance and exhibited  
13 flexibility that enabled us to follow the research and the  
14 data to develop and pilot solutions that deliver results,  
15 including shifting two thirds of ramp-hour load at  
16 participating sites in our transactive energy pilot.

17 This agreement will provide critical support to  
18 shift gears from research and development to wide-scale  
19 deployment in an uncertain regulatory environment that has  
20 not yet provided the clear, consistent market signals that  
21 are necessary for this demand flexibility technology to  
22 gain traction on purely commercial terms.

23 In addition to spurring 10-megawatts of load shed  
24 and load shift, this agreement will facilitate Polaris's  
25 continued participation in and contribution to the

1 development of load management standards in technologies,  
2 including CEC's latest project.

3 The technology will be deployed in disadvantaged  
4 areas, bringing economic benefits and upscaling to the  
5 companies and workers there. To this partnership we can  
6 make real progress towards the goal of fully integrating  
7 agricultural pumping as a grid resource in California.

8 Thank you for your consideration of this proposal.

9 MS. GALLARDO: Thank you.

10 This is Noemi, the Public Advisor. No more  
11 comments for Item 17.

12 CHAIR HOCHSCHILD: A question for either Dustin  
13 or David. I'm just curious, it's April now, how much  
14 capacity will be online by this August or September? Is  
15 there any ability to deploy this in a way that will support  
16 for this summer's grid reliability challenges?

17 MR. DAVIS: Did you want to go and grab that,  
18 David?

19 CHAIR HOCHSCHILD: Oh, he may not be able to.  
20 I'm not sure, David, can you hear us?

21 MR. MEYERS: Yeah, David Meyers here.

22 CHAIR HOCHSCHILD: Yeah.

23 MR. MEYERS: Can you hear me now?

24 CHAIR HOCHSCHILD: Yeah, I can hear you. Go  
25 ahead.

1           MR. MEYERS: Perfect. So we have the ongoing  
2 work, and additional to the work we've done under the grant  
3 in DR programs. Until we have a large number of projects  
4 coming online, some of that work was financed by the  
5 previous grant, some by our commercial efforts. Frankly,  
6 the prospect of this grant has kept us, has kept people in  
7 the company that perhaps we would have had to downsize  
8 after the prior grant. And so we have that pipeline.

9           In terms of new projects specifically from this  
10 grant we do have a number that are in the works that are  
11 marginal in the economics of the other funding sources and  
12 will be helped by the project, but it's a bit of a mix with  
13 DR program participation and time-of-use-response. But a  
14 short number would be there about 10 megawatts that are,  
15 let's say, interested in shifting from demand response to  
16 time-of-use response using this technology. And this will  
17 certainly help with that.

18           CHAIR HOCHSCHILD: Great.

19           Okay, other Commissioner comments or questions?  
20 Commissioner McAllister?

21           COMMISSIONER MCALLISTER: Yeah. So I think  
22 there's another example of this kind of ecosystem starting  
23 to take shape, right, where this company Polaris can  
24 utilize some of the infrastructure, world building and load  
25 management. And as the rate regime becomes more time-based



1 there's a lot of opportunity to shift load and really  
2 coordinate load with the grid needs, both in the ISO  
3 markets and the individual utilities.

4 And water pumping is really the perfect  
5 manageable load, because you can ramp it up and down, you  
6 don't have to turn it on and off, you can really provide  
7 the service you need. It's very manipulatable in that way,  
8 so a great target for this. And there's a lot of water  
9 pumping load throughout the state, so I think as a  
10 demonstrative project this will have a big impact.

11 And I really want to thank Polaris for -- and Dustin as  
12 well -- Polaris for really innovating in this space and  
13 doing really wonderful things to help California.

14 So I think as we start to revise and reform the  
15 DR landscape in the state as well, in conjunction with the  
16 PUC and the ISO that'll hopefully iron out some of the  
17 challenges you're having in terms of the commercial value  
18 proposition. So anyway lots of moving parts to that, but  
19 optimistic about solving it in the near medium term.

20 CHAIR HOCHSCHILD: Thank you. Unless there's  
21 other Commissioner comments--

22 COMMISSIONER GUNDA: Yeah, Chair?

23 CHAIR HOCHSCHILD: Oh, go ahead.

24 COMMISSIONER GUNDA: Just a couple thoughts  
25 there. I think, and I'm personally very excited about this

1 investment thanks to Dustin as well as David Meyers on the  
2 call today, for taking the time to just help us understand  
3 this. And also David Hungerford for his thought process  
4 and his work on this particular issue.

5 I watched a couple of testimonies from the  
6 project participants that David Meyers was kind enough to  
7 showcase and I'm just incredibly thrilled with the  
8 opportunity here. As kind of Dustin noted there's almost  
9 close to a gigawatt of opportunity in load flex here. And  
10 I know from some of the presentations that David Meyers  
11 shared there was a huge load shift last year during  
12 critical net peak hours, which is becoming harder and  
13 harder for California, so I personally am thrilled with  
14 this. I would really like to follow closely on this  
15 opportunity and ensure that the Energy Commission supports,  
16 both from an analytical standpoint as well as a funding  
17 standpoint, to advance this opportunity for the state. So  
18 thank you. And I'm very supportive of this.

19 CHAIR HOCHSCHILD: Commissioner Gunda, would you  
20 be willing to move the item?

21 COMMISSIONER GUNDA: Yeah, I move Item 17.

22 CHAIR HOCHSCHILD: Okay. Commissioner  
23 McAllister, would you be willing to second?

24 COMMISSIONER MCALLISTER: I'll second.

25 CHAIR HOCHSCHILD: All in favor say aye.

1 Commissioner Gunda?

2 COMMISSIONER GUNDA: Aye.

3 CHAIR HOCHSCHILD: Commissioner McAllister?

4 COMMISSIONER MCALLISTER: Aye.

5 CHAIR HOCHSCHILD: Commissioner Douglas?

6 COMMISSIONER DOUGLAS: Aye.

7 CHAIR HOCHSCHILD: Commissioner Monahan?

8 COMMISSIONER MONAHAN: Aye.

9 CHAIR HOCHSCHILD: And I vote aye as well. That

10 item passes unanimously. Congratulations.

11 Let's turn now to Item 18, OhmConnect.

12 MR. WILLIAMS: Great. Thank you, Chair and

13 Commissioners. My name is Brad Williams and I work in the

14 Energy Research and Development Division. In our past

15 project with OhmConnect, they successfully demonstrated

16 their software platform to recruit, motivate and retain

17 large numbers of small residential customers to shift

18 electric load when asked, typically for an hour at a time.

19 They had over 145,000 users and the potential to contribute

20 up to 66 megawatts of load reduction for the California

21 grid.

22 This project will expand on Ohmconnect's

23 successful demand response program by cultivating new

24 marketing channels, messaging and incentive strategies for

25 increasing program uptake, and adoption of automated

1 devices by residential users in both disadvantaged and non-  
2 disadvantaged communities statewide. Next slide, please.

3 This project seeks to bring immediate relief to  
4 California grid reliability shortages by the summer of  
5 2021. This chart demonstrates how an effective OhmHour  
6 would reduce energy demand during a given hour, when  
7 needed. Work during 2021 will set the stage for subsequent  
8 growth in latter years, enabling a minimum of 25 megawatts  
9 of demand response availability to the California utility  
10 operators in the first year.

11 OhmConnect anticipates enrolling more than 40,000  
12 new users into their platform, and at least 30 percent of  
13 these coming from under-resourced communities. Next slide,  
14 please.

15 This demonstration project improves and expands  
16 OhmConnect's demand response engagement platform to achieve  
17 increased load reductions from residential participants.  
18 Work will focus on three key elements:

19 Expanding participation by increasing user  
20 acquisition and accelerating user sign-ups through improved  
21 cost-effective outreach techniques.

22 Two, increasing adoption of smart devices by  
23 users connected to the platform.

24 And lastly, optimizing the platform performance  
25 to enable increased demand response benefits. Next slide,

1 please.

2 We recommend approval of agreement EPC-20-034 and  
3 adopting staff's determination that this action is exempt  
4 from CEQA. Thank you. This concludes my presentation.  
5 I'm happy to answer any questions. Cisco Devries the CEO  
6 of OhmConnect should also be on the line to answer any  
7 questions should you have them.

8 CHAIR HOCHSCHILD: Thank you.

9 Let's go to public comment. Is Cisco on with us  
10 now?

11 MS. GALLARDO: This is Noemi, Public Advisor.  
12 Cisco is on the line. Cisco, a reminder to please restate  
13 your name, spell your name and also indicate your  
14 affiliation. Your line is open, you may begin.

15 MR. DEVRIES: Thank you. It's a pleasure to  
16 virtually be with you. My name is Cisco Devries and I am  
17 the CEO of OhmConnect. My name is spelled Cisco, C-i-s-c-  
18 o, Devries, D-e-V like Victor-r-i-e-s. OhmConnect is based  
19 in Oakland, California. And as you heard we pay people to  
20 save energy when the grid is stressed. We then sell those  
21 aggregated savings bundled together into the energy market  
22 and return a good portion of those earnings to the users  
23 that created them.

24 So I'm -- it's really kind of an honor to listen  
25 to some of the earlier discussions today about all the

1 great DR that the state and the Commission are doing. And  
2 I'm honored to support you and to be here, of course, in  
3 support of Agenda Item 18.

4           The first thing I wanted to do is to thank the  
5 Commission for the 2016 grant to OhmConnect. It really did  
6 spur my company to develop, to be able to develop really  
7 cutting-edge ability to manage load across lots of small  
8 residential customers. And to grow our users from what was  
9 then a few hundred to then 30,000. As you heard, we're now  
10 actually just crossing 150,000 users. And those users  
11 stand ready to support the grid nearly every day.

12           Last year, for example, we were dispatched by  
13 CAISO for at least a portion of our users nearly 1,000  
14 times, and on 298 of the 365 days last year. So we're very  
15 proud of our not only being available in times of a crisis  
16 during the August peak but also, day in and day out, to  
17 help manage the duck curve and other intermittencies and  
18 issues as they develop on the grid.

19           The one thing I'd like to add about this new  
20 grant funding we're very excited about is that really core  
21 to our mission is we're really going to focus a lot on the  
22 lower-income and disadvantaged-community populations. We  
23 have had success reaching those communities, but this grant  
24 will significantly improve our ability to reach out to them  
25 dealing both with language and other barriers. As well as

150

1 to help get new smart energy devices to homes that often  
2 have not had such things before. So altogether we do hope  
3 to be able to bring 25 megawatts more of flexible demand on  
4 the grid. We're working as hard as we can to get that done  
5 for this summer and will report back as we make some  
6 progress.

7 Thank you very much.

8 CHAIR HOCHSCHILD: Thank you.

9 Noemi, any additional public comments on Item 18?

10 MS. GALLARDO: No additional public comment on  
11 Item 18.

12 CHAIR HOCHSCHILD: Okay. Let's go to  
13 Commissioner discussion. Commissioner Gunda?

14 COMMISSIONER GUNDA: Yeah, thank you. Thank you  
15 Chair. Thank you, Brad, for the presentation and Cisco for  
16 your comments. I think I just want to take this  
17 opportunity, I mean I'm kind of like I'm in my candy store  
18 right now as Jared had mentioned earlier. Anything to help  
19 with the reliability is candy or spicy chocolate for many  
20 years.

21 And so just going to making sure I kind of do two  
22 things here. I think I just want to first thank Virginia,  
23 David Hungerford again and all the EPIC team that has been  
24 extremely thoughtful in thinking through the opportunity on  
25 the demand side. I think this is critical as we go

1 forward, both from reliability resiliency and our clean  
2 energy goals. So I just want to recognize that and ask for  
3 us to continue to foster capacity building in that area and  
4 the thought leadership.

5 Also I really appreciate and also want to  
6 recognize my appreciation for the conversations we had with  
7 the DRPs (phonetic) over the last couple of couple of  
8 months, including OhmConnect. And all the comments we've  
9 received from the DR community, their thoughtful,  
10 productive comments to help unlock the opportunity for DR  
11 and reduce some of the barriers for more large-scale  
12 adoption of DR including the market participation, as well  
13 as the opportunity to really value and account for what DR  
14 could provide the state of California.

15 And so I'm thrilled with this particular project.  
16 And I really hope that we continue to invest in DR and  
17 provide a safe space. And then kind of a leeway to really  
18 understand the opportunity to continue to bring to the  
19 table and into the broader decade-to-decade journey we have  
20 here, a sprinting marathon that we have to be on for the  
21 next two decades. Thank you.

22 CHAIR HOCHSCHILD: Thank you.

23 Commissioner McAllister, did you want to --

24 COMMISSIONER MCALLISTER: Yeah, just briefly.

25 Commissioner Gunda, you said it extremely well. I think



1 these are the kinds of tools that we need, right? It's  
2 aggregated load flexibility that we can understand and  
3 dispatch and evaluate: predict, dispatch and evaluate. And  
4 so we really have to get better and better at that and it  
5 really does take getting a lot of technology out there to  
6 actually users. And the residential sector is arguably the  
7 most challenging sector to get in. And specifically,  
8 disadvantaged communities, low-income communities that have  
9 historically been hard to reach by programs, that set of  
10 utilities run in their efficiency portfolios and the like.  
11 And so a business model like OhmConnect's that gets in  
12 there and actually provides value to those customers, those  
13 ratepayers, is really important to develop and support.

14           So I'm happy to support this item as well.  
15 Thanks a lot to Cisco and Matt and the team at OhmConnect.

16           CHAIR HOCHSCHILD: Yes, and I'm in thunderous  
17 agreement with that. And, Cisco, congratulations on all  
18 the progress. And this is a great kind of poster-child  
19 story of the Energy Commission doing a grant like we did to  
20 get help as you say and get the company going. And then  
21 the 100 million you raised from Alphabet and scaling this  
22 at just the right time. And being part of a really  
23 important field of demand response that we want to see  
24 develop and evolve and really turn into a real force for  
25 grid reliability and our climate goals. So thank you.

1                   With that, Commission McAllister, would you be  
2 willing to move the item?

3                   COMMISSIONER MCALLISTER: Yes, I will move Item  
4 18.

5                   CHAIR HOCHSCHILD: Okay. Commissioner Gunda,  
6 would you be willing to second?

7                   COMMISSIONER GUNDA: Yeah, happy to second.

8                   CHAIR HOCHSCHILD: All right, all in favor say  
9 aye.

10                  Commissioner McAllister?

11                  COMMISSIONER MCALLISTER: Aye.

12                  CHAIR HOCHSCHILD: Commissioner Gunda?

13                  COMMISSIONER GUNDA: Aye.

14                  CHAIR HOCHSCHILD: Commissioner Douglas?

15                  COMMISSIONER DOUGLAS: Aye.

16                  CHAIR HOCHSCHILD: Commissioner Monahan?

17                  COMMISSIONER MONAHAN: Aye.

18                  CHAIR HOCHSCHILD: Let's turn now to Item 19,  
19 BRIDGE 2020: Bringing Rapid Innovation, Development to  
20 Green Energy.

21                  MR. FERREIRA: Again, good afternoon everyone.  
22 My name is Michael Ferreira and I work in the Energy  
23 Research and Development Division. I'm here today seeking  
24 approval for five new grant agreements that resulted from  
25 our BRIDGE 2020 solicitation. BRIDGE is one of a series of

1 programs we've established to support clean energy  
2 entrepreneurs, with this funding opportunity having the  
3 specific purpose of bridging the gap between public and  
4 private funding opportunities. Next slide, please.

5 One of the main benefits of BRIDGE is advancing  
6 the clean energy economy by providing funding for promising  
7 clean energy technologies that can enable the transition  
8 away from fossil fuels.

9 Some of the specific benefits associated with the  
10 agreements being discussed today, include improved grid  
11 resilience and reliability, as well as technologies that  
12 will enable mass adoption of EVs by lowering the cost of  
13 batteries and charging infrastructure. Next slide, please.

14 The first agreement is with All Power Labs to  
15 develop a dispatchable biomass energy microgrid. The  
16 deployment of resources like microgrids, which can provide  
17 reliability and resilience will be critical to help  
18 overcome impacts from wildfires and blackouts. In order to  
19 meet these challenges microgrid technology needs to be more  
20 advanced, standardized and cost-effective while utilizing  
21 renewable fuels.

22 All Power Labs is developing a solution that  
23 integrates their existing biomass gasifier technology with  
24 inverters, batteries and controllers into a containerized  
25 microgrid system.

1           Integrating these components makes for easier  
2 grid interconnection and allows for a modular and scalable  
3 design that can be adapted to specific applications by  
4 adding the appropriate number of containerized units.

5           This technology has potential for deployment  
6 within California areas where it can consume municipal yard  
7 wastes, and wood waste resulting from forest fire  
8 mitigation measures. Next slide, please.

9           The next agreement is with Caban Systems to  
10 develop a clean energy backup power system to serve  
11 critical infrastructure facilities during power outages.

12           The lack of a commercialized, clean energy backup  
13 power system for critical infrastructure such as cell  
14 towers, has left communities increasingly vulnerable during  
15 electrical power outages. Not only are people unable to  
16 communicate during emergencies, but facilities are also  
17 often forced to rely on gas and diesel-powered generators  
18 which emit greenhouse gases, harmful pollutants and  
19 exacerbate wildfire risks.

20           Caban's solution focuses on integrating a  
21 hydrogen fuel cell into their existing lithium-ion battery  
22 pack to supply a minimum of 72 hours of backup energy.  
23 When fully developed, this system will provide an emission-  
24 free alternative to diesel generators that has a lower cost  
25 of ownership, is more reliable and is safer than fossil

1 fuel generators. Next slide, please.

2 The next agreement is with Cuberg, who is  
3 developing an energy dense, lithium-metal battery that can  
4 accelerate the rise of electric mobility.

5 Current battery technology does not have the  
6 sufficient energy density and safety performance needed for  
7 mass-market electrification of the automotive and aviation  
8 sectors. While there are currently emerging approaches to  
9 improve battery performance, many suffer from major  
10 challenges with scalability and manufacturing  
11 incompatibility.

12 Cuberg proposes to design an ultra-safe battery  
13 module using their non-flammable electrolyte, and integrate  
14 it into a highly efficient and energy-dense pack that can  
15 enable electrification of medium and heavy-duty vehicles as  
16 well as electric aviation. Cuberg has designed their  
17 technology so the battery cells can be produced using  
18 existing lithium-ion production lines, minimizing the  
19 capital investment needed for commercial scale-up. Next  
20 slide, please.

21 The next agreement is with Nextech Batteries, who  
22 will develop and demonstrate a lithium-sulfur battery  
23 system for the utility scale, grid-storage market.

24 Storing the intermittent energy produced by solar  
25 and wind power is becoming more important as renewable

1 energy is continually added to the grid. The biggest  
2 challenge in finding the right battery for grid storage is  
3 cost, with much of the cost of current batteries being tied  
4 to expensive metals such as nickel and cobalt.

5           Nextech's batteries can replace the metal-rich  
6 cathode in lithium-ion cells with sulfur, one of the most  
7 cost-effective energy and abundant elements on earth that  
8 also has the potential for doubled energy density of  
9 lithium-ion technology. This allows their battery to target  
10 a price per kilowatt hour that is cheaper than incumbent  
11 lithium-ion technology, and less than the \$100-per-  
12 kilowatt-hour price set by the DOE.

13           In this project the team will demonstrate a grid-  
14 integrated storage system on the UC San Diego microgrid.  
15 This real-world demonstration will be used to qualify the  
16 battery for use in 8-hour duration storage applications.  
17 Next slide please.

18           The last agreement is with FreeWire Technologies,  
19 who will develop and demonstrate their direct current fast  
20 charging system that will merge the critical benefits of  
21 battery-assisted fast charging with grid services and  
22 microgrid support.

23           Currently, business owners and managers face  
24 multiple challenges when deciding whether to install EV  
25 charging systems, such as permitting and utility

1 requirements, capital costs, and electricity reliability.

2 FreeWire's turnkey, modular system design seeks  
3 to further reduce soft costs related to these challenges  
4 while addressing the critical needs of EV charging site  
5 hosts for resiliency and electricity reliability. Their DC  
6 fast charger provides power from an integrated battery that  
7 is charged during off-peak hours, reducing peak hour  
8 demand, alleviating grid strain and reducing electricity  
9 costs to the charger site.

10 Freewire's device uses a 240-volt connection,  
11 the same used for a Level 2 charger, while providing the EV  
12 charging output of a DC fast charging system. This reduces  
13 the need for costly utility upgrades, helping to fast track  
14 DC fast charging in California. Next slide.

15 Staff recommends approval of these five grant  
16 agreements and staff's findings that these projects are  
17 exempt from CEQA. This concludes my presentation. I  
18 believe Martin Lynch from FreeWire and Leland Price from  
19 Caban Systems are on the line and would like to comment.  
20 And also Alejandro Abalos from All Power Labs is available  
21 to answer any questions. Thank you.

22 CHAIR HOCHSCHILD: Thank you, that's terrific.

23 Let's go to public comment.

24 MS. GALLARDO: This is Noemi, the Public Advisor.  
25 We do have several people on the line as Michael just

1 mentioned. We'll start with Justin Knapp. And Justin, a  
2 reminder to please restate your name, spell it and indicate  
3 your affiliation, if any. Your line is open, you may  
4 begin.

5 MR. KNAPP: Hello, can everyone hear me?

6 CHAIR HOCHSCHILD: Yeah.

7 MS. GALLARDO: Yes.

8 MR. KNAPP: Yes, so my name is Justin Knapp,  
9 surname is spelled Kilo, November, Alpha, Papa, Papa, but  
10 I'm actually affiliated with All Power Labs, so I don't  
11 have any comment to make on any public questions. I'm just  
12 here in the same capacity as my colleague Alejandro Abalos,  
13 so no comment. Thank you.

14 MS. GALLARDO: Thank you. So next up is Justin  
15 Briggs. Justin, reminder -- excuse me, I'm on the wrong  
16 item number. Sorry Justin, that's incorrect.

17 So let me go back here, we will go next to Leland  
18 Price. Leland, a reminder to restate your name, spell it  
19 and indicate your affiliation. Your line is open, you may  
20 begin.

21 MR. PRICE: Thank you. Can you hear me now?

22 MS. GALLARDO: Yes, we can.

23 MR. PRICE: Great. So my name is Leland Price,  
24 L-e-l-a-n-d P-r-i-c-e. And I'm the Chief Financial Officer  
25 of Caban Systems. Good afternoon, Chair Hochschild,



1 Commissioners and Deputy Director Laurie ten Hope. Caban  
2 is very excited to receive this grant from the CEC to help  
3 accelerate our part development for clean, reliable, long-  
4 duration energy storage solutions for critical  
5 infrastructure in California.

6 The previous award from the CEC was critical to  
7 supporting the launch of our manufacturing line here in  
8 Burlingame as mentioned earlier today in the EPIC annual  
9 report.

10 And we're looking forward to working with the CEC  
11 on this project. I'm happy to answer any questions you may  
12 all have. Thank you.

13 MS. GALLARDO: Thank you.

14 Our next speaker is Martin Lynch. Martin, please  
15 restate your name, spell it and indicate your affiliation.  
16 Your line is open, you may begin.

17 MR. LYNCH: Yes, thank you. Yes, this is Martin  
18 Lynch, M-a-r-t-i-n, and last name, L-Y-n-c-h. I'm the  
19 Chief Operating Officer of FreeWire Technologies. And I  
20 first want to thank the Chair and the Commission for  
21 supporting this vital funding and grant for clean energy.

22 We provide a very unique product that provides  
23 three different types of services for the State of  
24 California in regards to its clean energy objectives. One,  
25 is it's an ultra-fast charger for electrical vehicles,

1    which supports electrification of the transportation sector  
2    in the state of California. But we also utilize lithium-  
3    ion batteries and high-density versions that allow us to  
4    reduce the infrastructure costs. So what that means is  
5    extensive transformer upgrade that also delay the  
6    deployment of fast charging (indiscernible) required with  
7    our products. The product installs under three hours, so  
8    you can bring on a boost charger and you'll be charging an  
9    electrical vehicle in under three hours.

10           But by way of our lithium-ion batteries we also  
11   connect with the grid. And this grant will allow us to  
12   provide the bi-directional energy flow to and from the  
13   batteries to the grid. And support our grid services and  
14   time-shifting energy, as well as when or if the grid does  
15   go down or has a brownout we also provide electrical  
16   vehicle charging when there's no energy. So when people  
17   are racing around to charge their cars they'll find a boost  
18   charger able to do that when or if there are brownouts or  
19   blackouts.

20           So I just wanted to thank everyone. This is  
21   critical for our ability to provide this type of bi-  
22   directional energy flow and provide those kind of product  
23   services to the State of California, as well to the  
24   electrical vehicle operators and owners in the State of  
25   California. So thank you very much.

1 MS. GALLARDO: Thank you.

2 Chair, there are no more comments on Item 19.

3 CHAIR HOCHSCHILD: Okay, thanks.

4 Let's go to Commissioner discussion. Anyone  
5 wishing to make a comment? Commissioner Monahan, did you  
6 want to speak to the EV charging one?

7 COMMISSIONER MONAHAN: Well, actually and all the  
8 battery ones too. It's just really an exciting set of  
9 investments. These always make me smile and feel happy  
10 inside, because these are the technologies that we need  
11 really to try to help decarbonize transportation, but also  
12 broadly to have a 100 percent clean energy system across  
13 all of our sectors. So yeah, a really exciting set of  
14 investments.

15 FreeWire, I would love to see the technology  
16 deployed and once we're able to actually go and see each  
17 other in person, to see this in person. But yeah, I'm just  
18 really excited to support these. I think it's a great set  
19 of investments.

20 CHAIR HOCHSCHILD: Well said.

21 Other Commissioners wishing to, McAllister.

22 COMMISSIONER MCALLISTER: Yeah, just quickly. I  
23 want to just call out the Division and Laurie and her  
24 leadership for kind of being very intentional about the  
25 development and diffusion of these sorts of innovations.

1 And starting and sort of hand-holding them on through and  
2 getting them market-ready and helping at all stages of the  
3 product development and commercialization cycle.

4 And that we've seen the presentation on the  
5 annual report and other items in previous meetings. But it  
6 just is, I think, unique in the R&D world to be that  
7 intentional and that multifaceted. And the BRIDGE program  
8 is really a great addition.

9 CHAIR HOCHSCHILD: Well said. Unless there are  
10 other Commissioners wishing to make a comment, Commissioner  
11 Monahan would you be willing to move the item?

12 COMMISSIONER MONAHAN: I move this item.

13 CHAIR HOCHSCHILD: All right. Commissioner  
14 McAllister, would you mind seconding?

15 COMMISSIONER MCALLISTER: I'll second.

16 CHAIR HOCHSCHILD: Okay. All in favor for Item  
17 19, Commissioner Monahan?

18 COMMISSIONER MONAHAN: Aye.

19 CHAIR HOCHSCHILD: Commissioner McAllister?

20 COMMISSIONER MCALLISTER: Aye.

21 CHAIR HOCHSCHILD: Commissioner Gunda?

22 COMMISSIONER GUNDA: Aye.

23 CHAIR HOCHSCHILD: Commissioner Douglas?

24 COMMISSIONER DOUGLAS: Aye.

25 CHAIR HOCHSCHILD: And I vote aye as well. That

1 item passes unanimously. Congratulations to all the  
2 companies and the staff.

3 Let's turn now to Item 20, RAMP 2020: Realizing  
4 Accelerated Manufacturing and Production. We're getting  
5 better with the acronyms. You know, I have to say RAMP,  
6 REAP, BRIDGE, this is progress from where we were. We had  
7 some tangled acronyms back in the old days. But so kudos  
8 to whoever came up with these.

9 Let's go. It's Benson Gilbert it looks like.

10 MR. GILBERT: Good afternoon, Chair and  
11 Commissioners. My name is Benson Gilbert from the Energy  
12 Research and Development Division. Today I am requesting  
13 approval for five grant agreements selected from the  
14 Realizing Accelerated Manufacturing and Production for  
15 Clean Energy Technologies solicitation, also known as RAMP,  
16 that will help clean energy entrepreneurs successfully  
17 advance their technology to the pilot production stage at  
18 California manufacturing facilities. Next slide, please.

19 The RAMP program supports clean energy  
20 entrepreneurs with increasing production capacity to help  
21 scale their technologies, allowing their innovations to  
22 reach a greater number of adopters while advancing  
23 California towards reaching its energy goals.  
24 Additionally, increasing manufacturing capacity can also  
25 lead to more skilled labor opportunities in California.

1 Next slide, please.

2           You just heard my coworker, Mike, describe the  
3 BRIDGE program and the clean energy technologies that will  
4 be advancing with the latest batch of projects. The RAMP  
5 program is the next step in the entrepreneurial ecosystem  
6 developed by the Market Facilitation Office to propel clean  
7 energy entrepreneurs to the initial production scale-up  
8 phase for their technology. The RAMP program provides the  
9 means to guide entrepreneurs from the end of the prototype  
10 phase, to navigating through the world of initial  
11 production scale-up in manufacturing their technology.

12           Let's go meet the newest technologies to the RAMP  
13 program. Next slide, please.

14           The first project will fund the design and build-  
15 out of a pilot-scale manufacturing line for a novel space  
16 conditioning system that integrates radiant heating and  
17 cooling with control systems into concrete slabs to create  
18 a high thermal-mass radiant system using a prefabricated  
19 production process. This technology offers substantial  
20 reductions in cost and construction time for radiant  
21 systems. Next slide please.

22           The next project is to design and build-out a  
23 pilot scale manufacturing line for thermos-photovoltaic  
24 cells that convert radiant heat into electricity, and when  
25 combined with inexpensive thermal storage can create a

1 cost-effective long-duration energy storage system. Next  
2 slide, please.

3           The third project will scale-up production of  
4 Ubiquitous Energy's high-efficiency, solar window coating  
5 technology. The solar window technology has the benefit of  
6 generating electricity while allowing the use of the window  
7 and reduces solar heating. This solar window technology  
8 creates the potential to increase solar generation on large  
9 multi-story buildings with proportionally smaller roof  
10 space available for PV solar. Ubiquitous illustrates the  
11 success of CEC's entrepreneurial ecosystem by progressing  
12 their technology from the BRIDGE program to the RAMP  
13 program. Next slide, please.

14           The purpose of the fourth project is to bring a  
15 silicon carbide wafer manufacturing method into the Low-  
16 Rate Initial Production phase. This manufacturing method  
17 uses a patented laser-based slicing technology and  
18 dramatically lowers the cost of these wafers, which are  
19 necessary for advanced, next-generation power electronics  
20 such as circuit breakers and EV chargers.

21           During the project the recipient will complete  
22 the manufacturing design and engineering work, develop a  
23 stable and scalable supply chain, and demonstrate the  
24 pilot-scale production system. Next slide, please.

25           For the last project, Opus 12 will ramp up its

1 manufacturing capacity to fabricate membrane electrode  
2 assemblies from the combination of carbon dioxide, water,  
3 and renewable electricity to produce valuable fuels and  
4 chemicals, such as carbon monoxide, ethylene, and other  
5 compounds.

6 Opus 12's technology creates a pathway to  
7 electrify, decarbonize, and improve the cost-  
8 competitiveness of non-petrochemical alternatives to  
9 chemical and industrial products. Next slide, please.

10 Staff recommends approval of these five grant  
11 agreements and staff's findings that these projects are  
12 exempt from CEQA. This concludes my presentation. And  
13 thank you for your consideration. Staff is available for  
14 questions. Representatives from Opus 12 and Antora wish to  
15 provide a comment, and representatives from Antora and  
16 Clark Pacific are available for questions.

17 CHAIR HOCHSCHILD: Thank you.

18 Let's move to public comment.

19 MS. GALLARDO: This is Noemi, the Public Advisor.  
20 We will start off with Justin Briggs. Justin, a reminder  
21 to restate your name, spell it and indicate your  
22 affiliation. Your line is open, you may begin.

23 MR. BRIGGS: Great. Thank you so much. Yeah hi,  
24 this is Justin Briggs. That's J-u-s-t-i-n B-r-i-g-g-s, and  
25 I'm one of the cofounders of Antora Energy.



1                   Good afternoon, Chair Hochschild, Commissioners  
2 and Deputy Director Laurie ten Hope. Thank you so much for  
3 your time today. I'll keep it super brief, I just wanted  
4 to say on behalf of the whole Antora Energy team we'd like  
5 to express our deepest gratitude and excitement for this  
6 project. Thank you so, so much for your support on this.  
7 We're really excited to jump in. Thanks so much.

8                   MS. GALLARDO: Thank you.

9                   The next speaker is Etosha Cave. Etosha, a  
10 reminder to restate your name, especially if I  
11 mispronounced it, and spell it, then indicate your  
12 affiliation. Your line is open, you may begin.

13                  MS. CAVE: Thank you. My name is Etosha Cave,  
14 spelled E-t-o-s-h-a, last name, C-a-v-e. I'm the cofounder  
15 of Opus 12 and I'm really excited to be here. And I want  
16 to extend a good afternoon to Chair Hochschild,  
17 Commissioners and Deputy Director Laurie ten Hope. I'm  
18 excited to express my gratitude from the entire team at  
19 Opus 12 for the RAMP award.

20                  We are a small electrochemistry startup in West  
21 Berkeley that is developing a platform to use electricity  
22 to convert CO2 emissions into usable products. And we want  
23 to be a player in electrifying the chemicals industry to  
24 reduce NOx (phonetic) CO2 emissions. And the RAMP award  
25 will give us the much-needed funds to build out our

1 manufacturing facility within the greater Bay Area region.  
2 And we hope to grow that facility into a future giga-size  
3 factory some day.

4 Getting the RAMP award has already allowed us to  
5 attract an additional 10X in private capital interests  
6 (indiscernible) emissions. And we are planning to double  
7 our team in size over the next 12.5 years.

8 So within the coming years we hope to make  
9 California proud with their investment. And we look  
10 forward to growing and developing our mission in the  
11 future. Thank you.

12 MS. GALLARDO: Thank you.

13 This is Noemi, the Public Advisor. Chair, that  
14 was the last comment on Item 20.

15 CHAIR HOCHSCHILD: Thank you. Great comments,  
16 great companies, great portfolio of projects here. I'm  
17 really pleased to support this and I think I'd be repeating  
18 myself if I went any further. This is in line with our  
19 earlier discussions, love the strategy here on all counts.

20 So are there any Commissioners wishing to  
21 comment? If not, let's see. Commissioner McAllister,  
22 would you be willing to move the item?

23 COMMISSIONER MCALLISTER: I will. I'll move Item  
24 19. Oh sorry, move Item 20. It's 20, 20.

25 CHAIR HOCHSCHILD: Commissioner Douglas, would

1 you be willing to second?

2 COMMISSIONER DOUGLAS: Second.

3 CHAIR HOCHSCHILD: All in favor say aye.

4 Commissioner McAllister?

5 COMMISSIONER MCALLISTER: Aye.

6 CHAIR HOCHSCHILD: Commissioner Douglas?

7 COMMISSIONER DOUGLAS: Aye.

8 CHAIR HOCHSCHILD: Commissioner Monahan?

9 COMMISSIONER MONAHAN: Aye.

10 CHAIR HOCHSCHILD: And Commissioner Gunda?

11 COMMISSIONER GUNDA: Aye.

12 CHAIR HOCHSCHILD: And I vote aye as well. That  
13 item passes unanimously. Congratulations to all.

14 Let's move on to Item 21, Advanced Plug Load and  
15 Smart Exterior Lighting.

16 MR. SULEIMAN: Good afternoon, Chair and  
17 Commissioners. I'm Adel Suleiman. I'm with the Energy  
18 Efficiency Research Office.

19 In California exterior lighting represents  
20 approximately 20 percent of all lighting loads and up to 50  
21 percent of all energy costs for local governments.

22 In low-income and disadvantaged communities  
23 exterior lighting is usually inefficient, unreliable, has  
24 poor light quality, and poses serious safety concerns for  
25 residents and the community. Exterior lighting also uses

1 electricity when the electric grid is not powered by  
2 carbon-free electricity. Next slide, please.

3           The two research projects being proposed will  
4 develop hybrid luminaires with the potential to reduce  
5 electricity use by up to 90 percent compared to the  
6 standard luminaires through use of solid-state lighting  
7 technology that incorporates photovoltaics and storage.  
8 The designs have the potential to increase reliability and  
9 safety by being on during grid emergencies, such as fire or  
10 public safety power shut-off events. These events could  
11 result in exterior lighting remaining off for days due to  
12 power distribution line damages.

13           In addition, community-based organizations  
14 representing some low-income communities expressed to  
15 Energy Commission staff that existing poor exterior  
16 lighting is a major safety concern for residents and the  
17 community. The proposed designs would address these  
18 concerns. Next slide, please.

19           The first proposed award is with the Electric  
20 Power Research Institute. They are partnered with Hubbell,  
21 a major lighting manufacture, to design and develop a  
22 hybrid luminaire for parking lots and street light  
23 application that uses the electric grid only as a backup.  
24 The proposed design uses existing renewable energy sources  
25 rather than grid electricity during the evening ramp. And

1 improves light levels and light quality to residents in  
2 low-income and disadvantaged communities. A total of 100  
3 luminaires will be demonstrated in 6 low-income  
4 communities. Demonstration sites are located in San Diego,  
5 Murrieta, Carson, Arcada and Fortuna. Next slide please.

6           The next project is with UC Davis and will be  
7 coordinated by the California Lighting Technology Center at  
8 UC Davis. The project will result in the development of a  
9 hybrid luminaire system with multiple exterior  
10 applications. This project will have an educational  
11 component as well where contractors will be trained on  
12 installation and programming.

13           A total of 200 luminaires will be demonstrated in  
14 7 low-income or disadvantaged communities. Demonstration  
15 sites are located in the cities of West Sacramento,  
16 Livingston, Kern, Dominguez Hills, Moreno Valley and Chula  
17 Vista.

18           Both projects by EPRI and UC Davis will design  
19 and develop smart controllers capable of monitoring grid  
20 conditions, battery charge stations, illumination output  
21 levels and off grid-charging activity for optimum balance  
22 and performance. Next slide, please.

23           Staff recommends approval of these agreements as  
24 well as staff's determination that these actions are exempt  
25 from CEQA. Thank you for your time and I am available to

1 answer any questions you may have.

2 CHAIR HOCHSCHILD: Thank you.

3 Let's go to public comment.

4 MS. GALLARDO: This is Noemi, the Public Advisor.  
5 We do have a person on the line. We're going to start with  
6 Andrew Coleman. Andrew, a reminder to restate your name,  
7 spell it and indicate your affiliation, if any. Your line  
8 is open, you may begin.

9 MR. COLEMAN: Thank you, this is Andrew Coleman.  
10 Last name is C-o-l-e-m-a-n. Chair Hochschild and  
11 Commissioners, this is Andrew Coleman from Electric Power  
12 Research Institute. EPRI and its team members, Hubbell  
13 Lighting and Redwood Energy, are very appreciative of this  
14 award. And also we applaud the Commission on their  
15 insights with disadvantaged communities and low-income  
16 communities, especially for really solving this problem  
17 with low-quality exterior lighting conditions in these  
18 communities. And what we're going to be doing is  
19 developing and testing and demonstrating reliable,  
20 affordable and hybrid solar LED lights. And we're striving  
21 towards really providing deeper energy savings.

22 So the addition of these grid connection LED  
23 lights will hopefully, you know, through the research  
24 provide higher reliability, higher light levels, and reduce  
25 the lights' electricity consumption. It's especially

1 important for these communities, they're far and wide  
2 across the state.

3 And so one of the things that I wanted to also  
4 say is that we're really looking towards charging batteries  
5 with solar power and also charging the battery during the  
6 solar over-generation periods of off-peak hours. And so we  
7 applaud the Commission, we applaud Adel's leadership, and  
8 we appreciate being part of this research. Thank you.

9 MS. GALLARDO: Thank you.

10 This is Noemi, the Public Advisor. Chair, that  
11 was the last comment on Item 21.

12 CHAIR HOCHSCHILD: Okay, thank you. Well look, a  
13 terrific group of projects. Love the focus on low-income  
14 and disadvantaged communities for demonstrating this and  
15 improving lighting safety and reducing energy use. I'm  
16 happy to support. Any Commissioners wishing to make a  
17 comment on this? If not, Commission McAllister, would you  
18 be willing to move the item?

19 COMMISSIONER MCALLISTER: Absolutely. Likewise  
20 agree with your comments and I will move Item 21.

21 CHAIR HOCHSCHILD: Okay. Commissioner Monahan,  
22 would you be willing to second?

23 COMMISSIONER MONAHAN: I second the item.

24 CHAIR HOCHSCHILD: All in favor say aye.

25 Commissioner McAllister?

1 COMMISSIONER MCALLISTER: Aye.

2 CHAIR HOCHSCHILD: Commissioner Monahan?

3 COMMISSIONER MONAHAN: Aye.

4 CHAIR HOCHSCHILD: And Commissioner Gunda?

5 COMMISSIONER GUNDA: Aye.

6 CHAIR HOCHSCHILD: Commissioner Douglas?

7 COMMISSIONER DOUGLAS: Aye.

8 CHAIR HOCHSCHILD: And I vote aye as well. That

9 item passes unanimously. Congratulations guys, we got

10 through a long series of projects. Great work to all the

11 staff on setting up all that.

12 All right, let's turn to Item 22, Approval of the

13 March 17th Business Meeting Minutes.

14 COMMISSIONER MCALLISTER: I'll move the minutes.

15 Oh, if there's no comment I'll move the minutes.

16 CHAIR HOCHSCHILD: Thank you, yeah.

17 MS. GALLARDO: Yeah, this is Noemi.

18 CHAIR HOCHSCHILD: Yeah. No public comments?

19 MS. GALLARDO: And that's correct, no public

20 comment on Item 22.

21 CHAIR HOCHSCHILD: Okay, moved by Commissioner

22 McAllister.

23 Commissioner Douglas, would you be willing to

24 second?

25 COMMISSIONER DOUGLAS: Second.



1 CHAIR HOCHSCHILD: All in favor say aye.  
2 Commissioner McAllister?  
3 COMMISSIONER MCALLISTER: Aye.  
4 CHAIR HOCHSCHILD: Commissioner Douglas?  
5 COMMISSIONER DOUGLAS: Aye.  
6 CHAIR HOCHSCHILD: Commissioner Monahan?  
7 COMMISSIONER MONAHAN: Aye.  
8 CHAIR HOCHSCHILD: Commissioner Gunda?  
9 COMMISSIONER GUNDA: Aye.  
10 CHAIR HOCHSCHILD: And I vote aye as well. That  
11 item passes unanimously.  
12 CHAIR HOCHSCHILD: Let's move on to Lead  
13 Commissioner, Presiding Member reports. How about we start  
14 with Commissioner Monahan.  
15 COMMISSIONER MONAHAN: It feels like I was just  
16 giving a report. I don't know why, maybe because I went  
17 with my daughter on spring break. I took a little vacation  
18 over the last couple weeks, so it feels like just yesterday  
19 I was giving a report out.  
20 So right now we're doing a lot of work. And I  
21 say "we," the Chair, Hannon, Anna from Governor Affairs,  
22 we're doing a lot of work supporting the Governor's budget  
23 proposal and also working with our partner agencies, both  
24 on that proposal, but also looking at federal funding  
25 opportunities. I know this is something we're all thinking

1 about what are the ways that we could leverage the Biden  
2 Administration support for clean energy and clean  
3 transportation to help us meet our goals here in  
4 California. So lots of discussions about how do we do  
5 this.

6 And with ARB focusing more on the vehicle side  
7 we're focusing more on the ZEV fueling and infrastructure  
8 side, GO-Biz kind of knitting it all together. So there's  
9 been a fair amount of work around that.

10 And I just want to acknowledge the Chair for  
11 stepping in when I went on spring break with the ZEV  
12 hearing. (phonetic) I haven't seen it yet, but I plan to  
13 watch it this weekend. I hear he did a bang-up job and so  
14 did Hannon Rasool. And I want to give Hannon just so much  
15 credit. I've said it before, I'll say it again, he's  
16 really stepped in and led on all sorts of ways. He does it  
17 with humor, he does it with intelligence, he does it with  
18 vision and just has been a great partner on all the work to  
19 zero-out pollution from transportation.

20 So our last Business Meeting was approved, the  
21 \$50 million grant to fund ZEV infrastructure for commercial  
22 vehicles and transit vehicles, transit buses that CALSTART  
23 is leading. And Lindsay and her team pulled together a  
24 virtual event on that, so that was really quite a fun  
25 event. And I just want to give Lindsay and her team credit

1 for all they're doing too in this virtual world still drum  
2 up good media, including videos of like what's happening AC  
3 Transit and what's happening with the Port of Long Beach.  
4 And just they did a great job at Frito-Lay, I don't want to  
5 forget Frito-Lay for their investments on zero emissions.  
6 So that's been a lot of fun.

7 I also want to thank Lindsay, because we've been  
8 working for almost a year on an op-ed with Commissioner  
9 Rechtschaffen from the CPUC and that just got published  
10 today in the "Sacramento Bee." It's been a long haul and  
11 it was really due to Lindsay and her team's diligence that  
12 we finally got it to the finish line. And it's all about  
13 how electric vehicles can support a clean grid. That if we  
14 charge these vehicles in the right way they lead to lower  
15 electricity rates and, of course lower transportation  
16 costs.

17 So really, this idea that we need to build that  
18 ZEV infrastructure, because we want to make sure that  
19 everybody gets the benefits from the cost savings that come  
20 when we electrify transportation in a smart way. So that's  
21 it.

22 CHAIR HOCHSCHILD: Thank you, Commissioner  
23 Monahan. And yes, I did my best Patti Monahan impersonation  
24 at the (indiscernible) on Friday. Not as good as the real  
25 thing, but I did my best.

1           Let's go to Commissioner Douglas.

2           COMMISSIONER DOUGLAS: So similarly I did take a  
3 little time off at spring break and it's been a very  
4 incredibly busy time. But not as external, not as many  
5 events and conferences. We did hold another Lithium Valley  
6 Commission meeting and I'm really happy to see that  
7 commission coming together and doing well. A lot of work  
8 supporting the Governor's Office and budget, lot of  
9 support, a lot of work coordinating with the Biden  
10 Administration on a whole host of fronts. And so it's been  
11 a really good time, but I don't have a lot of substantive  
12 reports this time around.

13           CHAIR HOCHSCHILD: Okay, thank you.

14           Commissioner Gunda.

15           COMMISSIONER GUNDA: Yeah Chair, thank you. And  
16 I have a little bit of a report here, so I'm going to go  
17 through this quickly as I can. But first I want to just  
18 share that it's been almost two months since I started, and  
19 I cannot believe that it's been two months in this role.  
20 And I think it's a timely moment just to kind of pause and  
21 share some thank yous for helping me transition into this  
22 role as seamlessly as possible. So I want to begin by  
23 thanking my fellow Commissioners for taking the time to  
24 help me understand what this job means and helping me not  
25 fall on my face. And making sure I understand the nuances,

180

1 the kindness and guidance that you've shared over the last  
2 two months, so thank you to the four of you.

3 I also want to thank the Executive Office. Drew  
4 and Linda, thank you for helping me with all that I need to  
5 be as productive as I can. I want to recognize my Interim  
6 Chief of Staff. Chair, thank you for sharing Le-Quyen and  
7 she's been fabulous in helping me stay grounded and make  
8 sure that I'm hitting all my time commitments. I'd like to  
9 thank you, you're actually a rock star. And also Nina  
10 Holloway from my office, who's been fabulous in organizing  
11 everything that the office does. And so just wanted to  
12 note those thanks.

13 Also to our divisions, our deputies for all the  
14 briefings specifically Natalie and Laurie for a numerous  
15 amount of briefings on interconnection issues, storage  
16 issues and so on. So thank you for all your staff time  
17 helping me stage, get it and learn the different aspects  
18 that are happening in the divisions.

19 And also have to note Aleecia. Aleecia has been  
20 doing a great job stepping into as the Deputy for the  
21 Energy Assessments Division. As she promised she's  
22 definitely delivering on being a better and improved  
23 version of her predecessor, who shall stay unnamed in these  
24 next few minutes.

25 And just kind of substantive issues, reliability

1 has been a focus, especially 2021-'22, and all the way to  
2 2026. And I'm going to share a few thoughts for the sake  
3 of my fellow Commissioners here. So we've been doing some  
4 reliability analysis for this summer and all the way to  
5 2026 and understanding the potential shortfalls and the  
6 need for a new generation that needs to be brought online.  
7 And supporting our sister agencies, both CAISO and CPUC on  
8 the different programmatic actions that they have to take.

9 I want to call on Lana Wong for her analysis that  
10 she's done for reliability as well as Mark Kootstra and his  
11 team for more detailed analysis that they've been doing. I  
12 really do believe that CEC has a very important role in  
13 developing objective analysis that can help, even kind of  
14 inform the state, the stakeholders in a robust public  
15 process. And I'm thankful to the team for taking those  
16 things on.

17 We've been working on natural gas coordination.  
18 And as you know, natural gas is one of the key elements  
19 this year. We are thinking through various aspects of the  
20 analysis that we should undertake.

21 And also looking at getting ready for the summer,  
22 and looking at how the summer reliability plays out. And  
23 so we're working with CPUC, CalGEM and other entities to  
24 think through that.

25 I'm really excited to kind of re-start up the

1 energy insights work that we've done last year. We really  
2 focused on the COVID impacts last year. And then kind of  
3 looked at how what COVID meant to the changes in our energy  
4 landscape. But moving forward, we are going to on a  
5 monthly basis put out kind of a staff analysis on a  
6 critical timely item. And I will come to all of you to  
7 solicit the ideas that you might have.

8 Just for the public here, you know, there's an  
9 incredible amount of data at CEC. And what we're trying to  
10 do is both develop analysis, but also under Commissioner  
11 McAllister's leadership make sure that the data is  
12 available to share. And so this is our kind of attempt in  
13 modernizing the value of data at CEC.

14 So there are other elements, preparing for  
15 wildfires, and in the summer thinking through the  
16 contingency issues with Commissioner Douglas and how to  
17 stay prepared for this summer. And also launching some of  
18 the improvements that we talked about in IEPR in demand  
19 forecasting and about how best to look at the changing  
20 climate and how do we take the uncertainty in weather  
21 conditions and such moving forward.

22 I'm really looking forward to hosting the Town  
23 Hall with the Chair tomorrow. And I'm just incredibly  
24 thankful to the Chair's determination in ensuring equality  
25 for all of Californians. And being that taking care of

1 that sensitive issue and ensuring that that's given enough  
2 time to discuss in all forums, the Commission as well as  
3 the state. So thank you Chair for your leadership on  
4 bringing together its experts to bring to light the racial  
5 justice issues and ensuring that our staff feel protected  
6 and supported during this important time.

7 A couple of points on what I've been doing  
8 outside of that. I had a really great briefing from  
9 National Academy of Sciences, myself and Commissioner  
10 Douglas's Office on the future of electric power grid.  
11 We're really looking forward to taking some of the insights  
12 that they put out in terms of business practices, good  
13 architecture, security and resiliency and such.

14 I had a great tour of SDG&E's emergency operation  
15 center, a virtual tour, and how they are preparing for this  
16 summer. And I had the opportunity to speak at the Germany  
17 California Storage Symposium and highlight the importance  
18 of storage as we think through this transition to clean  
19 energy grid.

20 And so I know I used a lot of words there, but  
21 thank you. I just wanted to report out for everybody's  
22 sake.

23 CHAIR HOCHSCHILD: Thank you.

24 Let's go to Commissioner McAllister.

25 COMMISSIONER MCALLISTER: All right. So let's



1 see, I got my first shot last week, so we've been comparing  
2 notes. You know, I think that's not a BA violation,  
3 (phonetic) but to make sure that we're all getting  
4 vaccinated. So hopefully there's some light at the end of  
5 the tunnel here in terms of moving out of this year-long  
6 COVID event. So anyway, I'm looking forward to getting  
7 together in three dimensions instead of just two  
8 dimensions.

9           So I wanted to first have a few thank yous. I  
10 wanted to first say, really, congratulations to Mike Sokol,  
11 the Deputy over the Efficiency Division. His new daughter  
12 was born before the last Business Meeting, but I'm not sure  
13 he got his due. Or she got her due right, Skylar Rain  
14 Sokol (phonetic) was born on March 3rd. So he's going to  
15 be back with us next week. But I just wanted to say we're  
16 looking forward to having you back, but also  
17 congratulations. And then thanks to Christine Collopy for  
18 holding the fort while Mike has been out.

19           Lots has been going on in the Efficiency  
20 Division. I won't go through it all here, but I did just  
21 want a few highlights. On Monday we had a load management  
22 workshop, a load management standards workshop rather, and  
23 really to just get to present and discuss and get some  
24 initial stakeholder feedback on the Load Management  
25 Standards Draft Report. And I will say Gabe, Karen, Gavin,

1 Corrine, the whole team has just been -- Jen Nelson -- the  
2 whole team has been just knocking it out of the park. And  
3 it's very well received and very well-conceived. And so I  
4 think that's the fact that it's so solid and I think both  
5 visionary and pragmatic at the same time is generating a  
6 lot of excitement, and rightly so. Really excited to get  
7 that moving.

8           And I think we have a pretty clear runway now to  
9 when we do open the rulemaking to have it without a whole  
10 lot of obstacles in the way. So I think I'm hopeful we can  
11 get that rulemaking done this year; hopefully, fingers  
12 crossed. But it's going to be a great resource for many of  
13 the things we've been talking about throughout this meeting  
14 in terms of load flexibility and enabling markets to solve  
15 the problems that we have with the grid. And then enhance  
16 reliability, get harmonization and cost reduction. So want  
17 to just call out the staff for a job well done there.

18           On SB 49 really similarly another tool in our  
19 toolbox for load flexibility. That's the appliance  
20 flexibility standards. Now that's a longer haul a little  
21 bit, it's a multi-step endeavor. We're really building the  
22 structure from scratch to do appliance flexibility  
23 regulations. We have to build the backbone of the process  
24 and then do it device category by device category. But  
25 there's a really great regime, sort of a vision in place

1 for that. And Pierre duVair is leading that charge, so a  
2 lot of confidence in him and the team.

3 And then also on the appliances front I want to  
4 just note, and for those who don't know it. that we are in  
5 a leadership role across states on appliance efficiency  
6 standards and different from the flexibility standards our  
7 traditional appliance efficiency standards. More and more  
8 states have been doing their own work there and  
9 standardizing often around what we've done already. And  
10 the U.S. Climate Alliance and stakeholders are really  
11 looking to us for leadership and even some infrastructure  
12 to help them along and on the appliance standards. And  
13 Karen (indiscernible) and her team have been very, very  
14 helpful to the other states in that regard so I wanted to  
15 just note that.

16 Then on the Building Standards, I won't talk much  
17 about that, but I just wanted to congratulate and thank  
18 Will Vincent for his emerging leadership. You know it's a  
19 complex topic, it's an office with a lot going on. We have  
20 some incredible staff doing modeling and all the  
21 relationships that it takes to get really get that village  
22 walking down Main Street towards the finish line on the  
23 building standards. And Will has been really, I think,  
24 just incredibly collaborative. And his ability to  
25 encourage stakeholders and bring people into the tent is

1 emerging as a big scale, a big bonus for the Energy  
2 Commission. So I want to just say thanks to Will and Alanna  
3 for that.

4 I got a briefing from Noemi about the Diversity  
5 Report and really appreciated that, it's amazing. I think  
6 we're leading in that respect. And thanks to the Chair for  
7 really setting the tone for that.

8 And finally just thanks to Heather and the IEPR  
9 team for sort of really carrying two batons at once and now  
10 running forward from here on out with the 2021 IEPR. I'm  
11 really excited about working with all of you, but certainly  
12 Commissioner Gunda primarily on the various topics. But I  
13 think everybody will have a nice piece of the IEPR. And  
14 we're doing some pretty heavy topics this year and I'm  
15 looking forward to being in the room, either virtual or  
16 physically with all of you too on the workshops and all the  
17 different interactions that we're going to have with  
18 stakeholders along the way. So thank you.

19 CHAIR HOCHSCHILD: Thank you, Commissioner.

20 I will just share a few very quick updates. I  
21 wanted to just call out Lindsay and thank her for her work  
22 on the event, I guess it was yesterday, publicity event  
23 around the \$50 million we're doing for heavy-duty charging  
24 infrastructure and thank Commissioner Monahan. I think  
25 there were 230 people who joined that virtually and just

1    tremendous work.  And also again to Commissioner Monahan,  
2    terrific work on the op-ed.

3               We did have the Legislative Hearing, Joint  
4    Committee Hearing before the Senate on Friday.  I presented  
5    along with Commissioner Rechtschaffen and Liane Randolph  
6    and Tyson (phonetic) on our \$1.5 billion ZEV budget  
7    proposal.  I think it went really well.  Great, robust  
8    dialogue with the Legislature, and a four-hour hearing, so  
9    fingers crossed that that gets over the finish line.

10              Commissioner Gunda and I presented to the  
11    Governor as part of a larger group on just a reliability  
12    periodic update earlier this week and went over all the  
13    measures that we were taking.  I would say, generally, I  
14    think CAISO, PUC and the Energy Commission are working more  
15    closely together than I've ever seen.  It really does start  
16    to feel like one close-knit family solving this problem  
17    together, so trying to get ahead of it.

18              And I've been really enjoying this spring.  I  
19    should say just the air is clear and it's not too hot.  
20    We're not dealing with heat waves and smoke yet, but it's a  
21    good time to kind of get our house in order and get things  
22    shipshape.

23              I guess the last thing I'd just share was  
24    yesterday I convened a meeting with Commissioner Monahan  
25    and Hannon and Liane Randolph and a number of folks the

1 around the permit problem we face with electric-vehicle  
2 charging infrastructure. We're the largest market for  
3 electric vehicles in the country, and we have the worst  
4 delay in getting EV chargers. So it's a 78-day delay. And  
5 talking to a couple of the big EV charger companies,  
6 including Electrify America and EVgo they were just walking  
7 through what the issues are.

8           GOBiz has done great work to kind of set this,  
9 sort of a permit Olympics. And they're grading counties,  
10 again to produce a map on that. There is legislation that  
11 would kind of accelerate that and set, essentially, our  
12 shot clock. So you do the application and you give them a  
13 14-day time for the county to respond. If they don't then  
14 you can actually install it. So that's in motion this  
15 summer. But we need to really be focused on that. We're  
16 asking for a billion dollars for infrastructure,  
17 potentially much more from a potential infrastructure  
18 package. And so we can't get gummed up on a on a really  
19 slow permit issue.

20           We had the same problem with solar some years  
21 ago. Focused on it in a much, much better place, so we  
22 need do that with this as well.

23           And I will stop there. So thank you everybody.

24           Let's move on to Item 24, Executive Director's  
25 Report. Linda, you're covering for Drew, yeah.

1 MS. SPIEGEL: Yes. Good afternoon, everybody.  
2 Linda Spiegel, Chief Deputy Director for the Executive  
3 Director Drew, who's touring the new CNRA building today.  
4 He told me he has nothing to report.

5 CHAIR HOCHSCHILD: Okay, thank you.  
6 Item 25, Public Advisor's Report.

7 MS. GALLARDO: Hello there everybody, this is  
8 Noemi Gallardo for the record. I'm the Public Advisor and  
9 I do have a quick report. So if Dorothy, if you could show  
10 on the screen the slide. I'm excited to announce that we  
11 have set up the web page for the 2021 Clean Energy Hall of  
12 Fame. We're planning for the event to happen in December.  
13 And for those in the audience not familiar with the Hall of  
14 Fame it's an annual event the Energy Commission launched  
15 last year as part of our 45th Anniversary. And the purpose  
16 is to honor leaders in our state contributing to  
17 California's clean energy future through bold, innovative  
18 moves leading to equitable outcomes.

19 I recommend going to the website to get more  
20 details and to submit nominations for any individuals or  
21 entities that you know that could qualify. The deadline to  
22 submit nominations is June 25th. And the nomination form  
23 can be found on the Energy Commission's website on the  
24 "About" page, that's [www.energy.ca.gov/about](http://www.energy.ca.gov/about). That  
25 concludes my report. Thank you.

1 CHAIR HOCHSCHILD: Thank you. That was a home  
2 run when we did that last year. And really glad we're  
3 going to make them again.

4 Let's move on to Item 26, Public Comment. Do we  
5 have any public comment on the line?

6 MS. GALLARDO: Yeah, this is Noemi again, we do.  
7 But before I do that let me give the instructions. So this  
8 is the period for any person wishing to comment on  
9 information items or reports of the meeting agenda or any  
10 other items. Each person has three minutes to comment.  
11 And comments are limited to one representative per  
12 organization.

13 We are not accepting public comment through Zoom.  
14 Please call our Verizon line at 888-823-5065. I repeat,  
15 888-823-5065. This information is also on the slide show  
16 we're showing now. The pass code is "Business Meeting."

17 After your line is open, please restate your  
18 name, spell it and also indicate your affiliation, if any.  
19 Do not use the speakerphone when talking because we won't  
20 hear you clearly. If you're also on Zoom either mute or  
21 leave Zoom to avoid feedback.

22 All right, so we're going to start off with Scott  
23 Galati. Scott, a reminder to please restate your name,  
24 spell it, and indicate your affiliation. Your line is  
25 open, you may begin.



1                   MR. GALATI: Hi. Good afternoon, Commissioners.  
2 I know it's a long meeting, but we wanted to bring  
3 something to your attention that I think is positive news.  
4 This is Scott Galati, S-c-o-t-t G-a-l-a-t-i. My company is  
5 DayZen, LLC. And I represented Roseville Energy Park on a  
6 project that got permitted here by the Energy Commission  
7 and recently got an amendment to add an enhancement to the  
8 turbine to increase its efficiency and its output. This is  
9 the kind of thing that Commissioner Douglas's and others  
10 committee was exploring with respect to squeezing out a  
11 little bit more electricity from our existing assets. And  
12 so there is Matt Garner who participated in that workshop,  
13 with Roseville Electric on the line, and he'd like to tell  
14 you just very quickly about the project.

15                   But before I exceed my time I wanted to make sure  
16 that the Commissioners heard from me directly, that this  
17 process worked. It worked extremely efficiently, thanks to  
18 the leadership of Shawn Pittard and the Compliance Project  
19 Manager Anwar Ali and staff and Geoff Lesh. We really  
20 actually had a very good interaction. Eric Knight came in  
21 at the end of the process to help us put it all together  
22 quickly. And I just wanted to call those people out. As  
23 you know, I generally complain about them. So I am here to  
24 say they did a fantastic job, this was a successful  
25 amendment process in my opinion, the way it should work.

1                   And now I'll let Matt Garner tell you about what  
2 they were able to accomplish over at that great municipal  
3 utility.

4                   MS. GALLARDO: This is Noemi, the Public Advisor.  
5 Matt, a reminder to please restate your name, spell it and  
6 indicate your affiliation. Your line is open, you may  
7 begin.

8                   MR. GARNER: Okay, thank you. Good afternoon,  
9 Chair and Commissioners, and thank you for your time today.  
10 My name is Matt Garner spelled, M-a-t-t G-a-r-n-e-r. I'm  
11 with Roseville Electric at the Roseville Energy Park. I  
12 just wanted to take a minute to talk about the performance  
13 enhancements we were able to take care of here at the  
14 Roseville Energy Park.

15                   We began with two 45-megawatt gas turbines and  
16 were able to upgrade those to get an additional two-and-a-  
17 half megawatts out of each gas turbine, and at the same  
18 time improve their efficiency by .55 percent and increase  
19 exhaust gas flow, thereby getting more steam to our steam  
20 turbine, improving overall plant efficiency.

21                   This is just the first of three upgrades that we  
22 wanted to perform in order to ensure that when the summer  
23 comes we can provide more power to the Sac region and also  
24 help with voltage support in this area.

25                   The second and third upgrades we performed, the

1 low load turndown and the automated -- excuse me --  
2 advanced emissions tuning, were put in place to help with  
3 reducing the load, the PMan (phonetic) of the units, while  
4 at the same time maintaining our compliance with our air  
5 permits.

6 And we thought going forward that this would be  
7 very important as we began to integrate more and more  
8 renewables, to be able to support that effort here at the  
9 Roseville Energy Park. So what we were able to do is  
10 install individual control valves on each of the gas  
11 turbines, 30-fuel gas burners and really fine tune the  
12 combustion process, really keep the NOx loads, the NOx  
13 levels down as we're going into these PMan, or these low  
14 load conditions, once again to help with the renewal  
15 integration.

16 I don't want to get into the details. I know  
17 you've got staff reports for all of that. But I did want  
18 to let you know that despite the COVID challenges, the  
19 travel restrictions we have been able to effectively  
20 complete this project. We have commissioned the gas  
21 turbines and we are now in the CAISO energy and balance  
22 market prior to this summer, which was our goal.

23 I don't want to parrot again everything that  
24 Scott Galati said, but the Commission, the working with the  
25 energy park do this process went as I would expect it to

1 be. It was a partnership to get this done and it was a  
2 pleasure working with the Energy Commission staff through  
3 the permitting process. Thank you again for your time.

4 MS. GALLARDO: Thank you.

5 This is Noemi, the Public Advisor. We have one  
6 more person wanting to comment. So that's Ranji George.  
7 Ranji, reminder to restate your name, spell it, and  
8 indicate your affiliation, if any. Your line is open, you  
9 may begin.

10 MR. GEORGE: Yes. This is Ranji George. I am a  
11 scientist with the Coalition of Advanced ZEV. It's a  
12 nonprofit volunteer organization to promote ZEV  
13 technologies in an environmentally sustainable manner.

14 I'm sorry I have to comment again, but I just  
15 want to talk about that \$50 million being set aside for  
16 heavy-duty infrastructure. I just am sharing this, because  
17 I've been in the trenches for 25-30 years fighting for many  
18 of these technologies at great cost to my own career. And  
19 I have learned, looking back, we have seen tremendous  
20 accomplishments. At the same time, tremendous blunders or  
21 mistakes.

22 Let me kind of share with you what happened. As  
23 I mentioned we had three technologies going very strong in  
24 the mid-90s. Then suddenly a change of management happened  
25 and big funding, substantially more funding like Carl

1 Moyer, Prop 1B, AB 923, you name it came down the pipeline  
2 from the Governor's Office and Sacramento. And then they  
3 had a criteria called, "cost-effective criteria." And that  
4 cost-effective criteria failed to look not only in the  
5 short -- it only looked on the short-term, didn't look at  
6 medium-term and long-term. There are different -- I mean,  
7 different implications if you put the different time  
8 horizons.

9           And as a result natural gas technology ran away  
10 with 80 to 90 percent of the funding at the cost of very  
11 little funding for battery, and almost negligible for fuel  
12 cells.

13           The same thing happened when ZEV funding came  
14 along and it was supposed to be, we thought, 50/50 for  
15 battery and fuel cells. But again that cost-effective  
16 criteria came in and batteries almost, if I may say so,  
17 crushed refuel cells. (phonetic) Today fuel cells in the  
18 light-duty sector is barely hanging on. We had predicted  
19 tens of thousands of fuel cell vehicles and hundreds of  
20 stations last decade. And we are barely even 10,000  
21 vehicles today and 200 stations now.

22           So this will continue into the heavy-duty  
23 structure, if you -- into the heavy-duty infrastructure if  
24 we don't pay close attention what kind of stumbling --  
25 maybe we may not notice that stumbling block, but it is a

1 stumbling block. If you just mention costs, yes battery is  
2 ahead of fuel cells and partly is driven by the funding CEC  
3 and the CEC, PUC, ARB is giving it. The cost is being  
4 driven down by all the focused funding on it.

5           If we had split the funding into fuel cell  
6 infrastructure, in particular, we could get the cost down  
7 in fuel cells infrastructure too and invite lots of funding  
8 for the vehicle side from the world of manufacturers. So  
9 they looked at a lack of support for light-duty  
10 infrastructure, so they didn't find much in the fuel cell  
11 light-duty sector.

12           So to avoid the same mistake, please, I  
13 appreciate split each funding into equal proportions so  
14 that the cost criteria will not be the dominant force and  
15 snuffing out again, suffocating the fuel cell technology.  
16 Otherwise we'll end up the same thing, which we have ended  
17 up in light-duty sector. And the heavy-duty sector, namely  
18 90 percent of the funding going to --

19           MS. GALLARDO: Ranji, your time is up. Apologies  
20 for interrupting, but your time is up. If you could close  
21 quickly.

22           MR. GEORGE: I want to encourage you in your  
23 talks with the Governor and with the Biden Administration  
24 to please put fuel cells as equal billing, because then the  
25 funds will come. I'm sure Toyota, all the big auto

1 manufacturers will start separating the funds into the fuel  
2 cell technology as well, both light duty and heavy duty.

3 Thank you again for listening to my concerns of  
4 the last 25 years. Thank you.

5 MS. GALLARDO: All right, so Chair this is Noemi  
6 again. That is the last comment on Item 26.

7 CHAIR HOCHSCHILD: Thank you. Well, thank you  
8 for all those comments. And with respect to Scott Galati's  
9 remark I rarely -- I can and I do agree with Scott Galati.  
10 And Scott you made a good point. I really want to  
11 attribute to Shawn Pittard and the team on all the work to  
12 promote getting the maximum efficiency out of the existing  
13 fleet. I think it is imperative, once these facilities are  
14 permitted and operating when we're in a period of threat to  
15 reliability that we do that. And I want to congratulate  
16 everyone on the progress and hopefully more to come. A  
17 very fruitful workshop I thought on that, gosh, back in  
18 November and nice to see the headway. So congrats to all  
19 involved.

20 Let's move on now to Item 27, Chief Counsel's  
21 Report.

22 MS. BARRERA: Good afternoon, Chair and  
23 Commissioners. I have no general reports today other than  
24 to recommend a closed session to discuss pending litigation  
25 which the Chair will disclose in a minute.

1 CHAIR HOCHSCHILD: Okay. Thank you, Linda.

2 So the Commission will now go into closed session

3 as specified in Agenda Item 27(a), which provides notice

4 that the Commission may adjourn to a closed session with

5 its Legal Counsel pursuant to Government Code Section

6 11126(e) to discuss litigation to which the Energy

7 Commission is party. The Commission will specifically

8 discuss item 27(a)(v) which is the Olson-Ecologic Testing

9 Laboratories, LLC v. Energy Commission. The case is at the

10 Orange County Superior Court, Case No. 30-2019-01115513.

11 We anticipate returning to an open session, I

12 couldn't say -- I mean, at this point what would you say,

13 Linda? How long would you say?

14 MS. BARRERA: I would say about less than 30

15 minutes, maybe 25 minutes.

16 CHAIR HOCHSCHILD: Okay, so we expect around 4:00

17 o'clock?

18 MS. BARRERA: Yes.

19 CHAIR HOCHSCHILD: Okay, thanks everyone. We'll

20 be back shortly.

21 (Off the record at 3:24 p.m. for Closed Session.)

22 (On the record at 3:46 p.m. for Open Session.)

23 CHAIR HOCHSCHILD: I am back and Commissioner

24 Gunda and Commissioner Douglas are with me. Noemi, are you

25 there?



1 MS. GALLARDO: Yes, I am and I just began  
2 recording.

3 CHAIR HOCHSCHILD: Okay, thanks everybody. We  
4 completed that item. And we are adjourned.


5 (The Business Meeting adjourned at 3:47 p.m.)  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of May, 2021.

  
\_\_\_\_\_


PETER PETTY  
CER\*\*D-493  
Notary Public

# **TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of May, 2021.



---

Myra Severtson  
Certified Transcriber  
AAERT No. CET\*\*D-852